

COMMISSION OF INQUIRY  
ON HORMONE RECEPTOR TESTING

BEFORE THE HONOURABLE JUSTICE CAMERON - COMMISSIONER

July 24, 2008

Appearances:

- Bernard Coffey, Q.C. . . . . Commission Co-counsel
- Sandra Chaytor, Q.C. . . . . Commission Co-counsel
  
- Rolf Pritchard/Jackie Brazil . . . . Her Majesty in Right of NL
  
- Peter Browne/Jane Hennebury . . . . . Doctors Kara Laing et al
  
- Daniel Simmons . . . . . Eastern Regional Integrated  
. . . . . Health Authority
  
- Pamela Taylor. . . . . Members of the Breast Cancer  
. . . . . Testing Class Action
  
- Mark Pike . . . . . NL Medical Association
- Jennifer Newbury . . . . . Canadian Cancer Society (NL Division)
- Blair Pritchett. . . . . Central, Western and Labrador-Grenfell  
. . . . . Regional Integrated Health Authorities

THIS PAGE ONLY REVISED NOVEMBER 18, 2008

LIST OF EXHIBITS

EXHIBITS P-2410 THROUGH P-2425 . . . . . Pg. 5  
 EXHIBITS C-0185 THROUGH C-0187 . . . . . Pg. 81  
 EXHIBIT P-2397 . . . . . Pg. 141

TABLE OF CONTENTS

DR. MAHMOUD KHALIFA - AFFIRMED

Examination by Bernard Coffey, Q.C. . . . . Pgs. 4 - 266  
 Examination by Daniel Simmons . . . . . Pgs. 266 - 274  
 Examination by Jennifer Newbury . . . . . Pgs. 275 - 306  
 Examination by Pamela Taylor . . . . . Pgs. 306 - 312  
 Examination by Peter Browne . . . . . Pgs. 312 - 324  
 Re-examination by Bernard Coffey, Q.C. . . . . Pgs. 325 - 327

Certificate

1 THE COMMISSIONER:  
 2 Q. Mr. Coffey.  
 3 COFFEY, Q.C.:  
 4 Q. Dr. Mahmoud Khalifa.  
 5 DR. MAHMOUD KHALIFA, AFFIRMED, EXAMINATION BY BERNARD  
 6 COFFEY, Q.C.  
 7 REGISTRAR:  
 8 Q. Would you please state and spell your complete  
 9 name for the Commission?  
 10 DR. KHALIFA:  
 11 A. My complete name is Mahmoud Abdelfattah  
 12 Khalifa. First name is spelled Mahmoud, M-A-  
 13 H-M-O-U-D. Last name Khalifa, K-H-A-L-I-F, as  
 14 in Frank, A.  
 15 REGISTRAR:  
 16 Q. Thank you.  
 17 COFFEY, Q.C.:  
 18 Q. Good morning, Doctor.  
 19 DR. KHALIFA:  
 20 A. Good morning, sir.  
 21 COFFEY, Q.C.:  
 22 Q. Commissioner, I do have some new exhibits,  
 23 please. They are exhibit numbers P-2410  
 24 through P-2425 inclusive. That's 2410 through  
 25 2425 inclusive.

Page 5

1 THE COMMISSIONER:  
 2 Q. Entered.  
 3 EXHIBITS ENTERED AND MARKED P-2410 THROUGH P-2425  
 4 COFFEY, Q.C.:  
 5 Q. Thank you, Commissioner. If we could, please,  
 6 Registrar--and I would point out,  
 7 Commissioner, we're having some technical  
 8 difficulty with the mice, electronic version  
 9 that is, and I'm going to be relying upon the  
 10 Registrar to scroll through documents this  
 11 morning. Exhibit, please, P-2423? Now  
 12 Doctor, I understand that this is a copy of  
 13 your curriculum vitae?  
 14 DR. KHALIFA:  
 15 A. That is correct.  
 16 CHAYTOR, Q.C.:  
 17 Q. Doctor, I'm going to ask you, first of all,  
 18 perhaps, if you could just give us a broad  
 19 overview of your educational and professional  
 20 background?  
 21 DR. KHALIFA:  
 22 A. Yes, thank you. I graduated from medical  
 23 school in Cairo, Egypt in 1978. I have my  
 24 Masters and PhD at the same university. I was  
 25 awarded a Fullbright scholarship to study

Page 6

1 breast and gynecological pathology at the  
 2 Armed Forces Institute of Pathology in  
 3 Washington, D.C.. That was '87. I spent a  
 4 few months there. After that, I was a  
 5 research assistant at the University of  
 6 Maryland in Baltimore. I did my anatomic  
 7 pathology residency training at the University  
 8 of Oklahoma between the years 1990 and '93.  
 9 After that, I did a surgical pathology  
 10 fellowship at George Washington University in  
 11 Washington, D.C. I became a junior staff in  
 12 Georgetown University for the year after, from  
 13 '94 to '95. I was appointed as an assistant  
 14 professor at Memorial University of  
 15 Newfoundland and became a staff pathologist at  
 16 the General Hospital in St. John's on April  
 17 '95. In July '99, I moved as an associate  
 18 professor at the University of Toronto, and a  
 19 staff pathologist at Sunnybrook Hospital. I  
 20 stayed there from '99 until 2003. In 2003, I  
 21 went for a year as a staff pathologist at  
 22 Northwest Medical Centre and Cancer Centre in  
 23 Oklahoma City. Came back to Toronto in August  
 24 2004 and I remain there as the Director of  
 25 Surgical Pathology, the Director of Oncology

Page 7

1 Quality Assurance Program, and currently, I am  
 2 a professor at the University of Toronto.  
 3 COFFEY, Q.C.:  
 4 Q. Doctor, just looking at the first page of your  
 5 curriculum vitae, which is there on the  
 6 screen, you graduated, as you indicated, as a  
 7 physician with a degree in medicine first in  
 8 1978 in Cairo, Egypt. Just so the  
 9 Commissioner has some sense of this, would  
 10 that be a degree at that time which would  
 11 entitle you to practise medicine in Egypt in  
 12 1978?  
 13 DR. KHALIFA:  
 14 A. In order to practise medicine in Egypt, one  
 15 needs a degree, a medical degree from a  
 16 recognized university, plus a one-year of  
 17 internship in a university hospital, after  
 18 which one acquires a medical license, yes.  
 19 COFFEY, Q.C.:  
 20 Q. So Doctor, did you do that internship at that  
 21 time?  
 22 DR. KHALIFA:  
 23 A. Yes.  
 24 COFFEY, Q.C.:  
 25 Q. Okay. So after you graduated in '78, you went

Page 8

1 on and did your internship?  
 2 DR. KHALIFA:  
 3 A. Yes.  
 4 COFFEY, Q.C.:  
 5 Q. Now as well then, you did refer to the fact  
 6 that you have a Masters degree and PhD, and we  
 7 look at the screen here, see you have a  
 8 Masters degree in Pathology, November of 1982,  
 9 and then a PhD degree in pathology, October of  
 10 1986. These degrees, I take it they are over  
 11 and above the degree that you obtained that  
 12 allowed you to practice medicine, these are  
 13 Masters and PhDs over and above?  
 14 DR. KHALIFA:  
 15 A. Yes, these are requirements for staff because  
 16 I was on the teaching staff in the same  
 17 university and I was required to do these  
 18 degrees.  
 19 COFFEY, Q.C.:  
 20 Q. Doctor, you've indicated that you were--so  
 21 that in between then, when you were studying  
 22 for the degrees of Masters of Pathology and  
 23 PhD in Pathology, were you actually practising  
 24 as a physician at the time?  
 25 DR. KHALIFA:

Page 9

1 A. Yes.  
 2 COFFEY, Q.C.:  
 3 Q. And that would be as, in effect, a staff  
 4 pathologist?  
 5 DR. KHALIFA:  
 6 A. As a staff pathologist, yes.  
 7 COFFEY, Q.C.:  
 8 Q. What would be the difference, if any, between  
 9 that sort of study and a residency, such as  
 10 occurs in North America?  
 11 DR. KHALIFA:  
 12 A. North American residency training is known for  
 13 being structured in terms of certain  
 14 requirements a physician has to fulfil before  
 15 they acquire--before they can sit for the  
 16 certification exam. In the United States,  
 17 that the Board, American Board, which I have.  
 18 In Canada, it's the Royal College  
 19 certification, which I also acquired in '95.  
 20 In Egypt, at that time, there wasn't such a  
 21 structured program. One would pursue a  
 22 certain area of research in which I get my  
 23 Masters and get exposed to a wide variety of  
 24 pathology which doesn't necessarily have to  
 25 meet certain structure.

Page 10

1 COFFEY, Q.C.:  
 2 Q. And so you did, in effect, in the academic  
 3 world, a Masters and a PhD?  
 4 DR. KHALIFA:  
 5 A. Yes.  
 6 COFFEY, Q.C.:  
 7 Q. And you had already, as is pointed out here in  
 8 this first page, under training intern, you  
 9 had already done your rotating internship?  
 10 DR. KHALIFA:  
 11 A. Yes.  
 12 COFFEY, Q.C.:  
 13 Q. Doctor, then there's a reference, and you've  
 14 already referred to this, to the--you were a  
 15 Fullbright Research scholar between September  
 16 1987 and March of 1988 in the Armed Forces  
 17 Institute of Pathology in Washington, D.C. So  
 18 I take it, Doctor, that after you finished up  
 19 your PhD in 1986, in Egypt, kind of the next  
 20 step professionally was you became a  
 21 Fullbright scholar in the U.S.? You had the  
 22 scholarship, you had -  
 23 DR. KHALIFA:  
 24 A. The Fullbright Commission is a highly  
 25 competitive student exchange program in the

Page 11

1 United States and the year when I applied in  
 2 Egypt, there was 4,000 applicants in the  
 3 country. All were PhD holders, and I was  
 4 selected through a competition to go and study  
 5 any area of research that the candidate  
 6 chooses, and that was the privilege of the  
 7 scholarship. I chose the Armed Forces. There  
 8 was an eminent gynecological pathologist over  
 9 there at that time, Dr. Henry J. Norris, who  
 10 accepted to host me for that duration of time.  
 11 We had research together and I participated in  
 12 his signing out of complicated breast and  
 13 gynecological cancer cases.  
 14 COFFEY, Q.C.:  
 15 Q. Doctor, out of the number of applicants at the  
 16 time, as you indicated, you were successful.  
 17 How many out of the 4,000 applicants, how many  
 18 were chosen?  
 19 DR. KHALIFA:  
 20 A. I know that it was less than ten.  
 21 COFFEY, Q.C.:  
 22 Q. Doctor, following then the period you spent at  
 23 the Armed Forces Institute of Pathology,  
 24 there's an indication that--well, I'm going to  
 25 ask you, where did you go from there, from the

Page 12

1 Armed Forces Institute?  
 2 DR. KHALIFA:  
 3 A. One of the requirements was for the fellow to  
 4 go back to their home country to transfer the  
 5 knowledge and technology they learned in the  
 6 United States to their developing countries,  
 7 and that's exactly what I did. I went back to  
 8 Egypt. I wrote my experience in a book that  
 9 was published and it was used for teaching. I  
 10 continued to teach using the skills and  
 11 knowledge I learned. More than a year later,  
 12 another opportunity came up to go back to the  
 13 States and as I said, to work in research at  
 14 the University of Maryland in Baltimore, and I  
 15 applied for that competition and I was granted  
 16 the opportunity.  
 17 COFFEY, Q.C.:  
 18 Q. And what did you study or research in  
 19 Maryland, the University of Maryland, do you  
 20 recall?  
 21 DR. KHALIFA:  
 22 A. That was in an eye institute. I did eye  
 23 research. It was mostly experimental on  
 24 hamsters. We injected them with virus and we  
 25 studied the lesions in their eyes, because the

Page 13

1 granting agency was an organization called  
 2 Research to Prevent Blindness.  
 3 COFFEY, Q.C.:  
 4 Q. And then looking at your list of training  
 5 here, Doctor, the next thing in the list here  
 6 is you took up or enrolled in or became part  
 7 of the anatomic pathology residency at the  
 8 University of Oklahoma?  
 9 DR. KHALIFA:  
 10 A. Yes.  
 11 COFFEY, Q.C.:  
 12 Q. In Oklahoma City. What type of a residency  
 13 was that, the standard North American anatomic  
 14 pathology residency?  
 15 DR. KHALIFA:  
 16 A. Yes, one of the reputable ones.  
 17 COFFEY, Q.C.:  
 18 Q. I understand you wrote and were certified by  
 19 the American Board, if we turn to the second  
 20 page, please, Registrar, top of the page, in  
 21 June of 1994?  
 22 DR. KHALIFA:  
 23 A. Yes.  
 24 COFFEY, Q.C.:  
 25 Q. Then Doctor, I understand, if I recall your

Page 14

1 account properly, you ended up in Canada?  
 2 DR. KHALIFA:  
 3 A. After a year in George Washington University,  
 4 a year at Georgetown University, I went to  
 5 Canada, yes.  
 6 COFFEY, Q.C.:  
 7 Q. Okay, yes, so I want to ask you about that.  
 8 What were you doing at George Washington  
 9 University and then Georgetown?  
 10 DR. KHALIFA:  
 11 A. Georgetown, I was a surgical pathology fellow.  
 12 A fellow is supposed to be a person with  
 13 training more than a resident, but less than a  
 14 staff, to acquire more specialized training  
 15 and the chief of service at the time was one  
 16 of another figure in gynecologic and breast  
 17 pathology, Dr. Stephen Silverberg, under whom  
 18 I trained for a year, and the training was  
 19 broad surgical pathology, but was also focused  
 20 on the art of inter-operative consultation,  
 21 also known as frozen section. After a year,  
 22 Georgetown University contacted me. They were  
 23 interested in a junior staff.  
 24 COFFEY, Q.C.:  
 25 Q. So this was at George Washington, this year

Page 15

1 you just accounted for?  
 2 DR. KHALIFA:  
 3 A. The fellowship was at George Washington.  
 4 COFFEY, Q.C.:  
 5 Q. Yes, I'm sorry, go ahead, and then Georgetown,  
 6 I'm sorry?  
 7 DR. KHALIFA:  
 8 A. Georgetown is another university in  
 9 Washington, D.C. They needed a junior staff  
 10 to help with the workload. I worked there as-  
 11 -they gave me a title of instructor. I was  
 12 signing out cases independently at that point  
 13 in time because I was Board certified.  
 14 COFFEY, Q.C.:  
 15 Q. And so you went to work at Georgetown?  
 16 DR. KHALIFA:  
 17 A. Yes.  
 18 COFFEY, Q.C.:  
 19 Q. How long were you there for?  
 20 DR. KHALIFA:  
 21 A. I was there, my initial contract was for a  
 22 year. In September of '94, I came to  
 23 interview in St. John's at Memorial  
 24 University. Early '95, the Chairman, Dr.  
 25 Haegert, called me and told me that they

Page 16

1 needed me to come here in April. So I excused  
 2 myself from Georgetown a couple of months  
 3 earlier than my contract and they had no  
 4 problem with that. They released me in April  
 5 to come to St. John's.  
 6 COFFEY, Q.C.:  
 7 Q. Doctor, can you tell then the Commissioner, so  
 8 you arrived in St. John's, when would that be?  
 9 DR. KHALIFA:  
 10 A. Sorry?  
 11 COFFEY, Q.C.:  
 12 Q. When did you arrive in St. John's? April of  
 13 1995?  
 14 DR. KHALIFA:  
 15 A. April '95.  
 16 COFFEY, Q.C.:  
 17 Q. Okay, and where were you--what were your  
 18 positions at the time and where were you  
 19 stationed? Which hospital were you at?  
 20 DR. KHALIFA:  
 21 A. My position at the time was assistant  
 22 professor at Memorial University, with a  
 23 teaching and academic mandate, and I was a  
 24 staff pathologist at the General Hospital.  
 25 COFFEY, Q.C.:

Page 17

1 Q. What then happened, Doctor? So you were on  
 2 the staff there. Did your status, first of  
 3 all, at the University, ever change?  
 4 DR. KHALIFA:  
 5 A. My status with the University changed sometime  
 6 in '98. Dr. Haegert agreed to apply on my  
 7 behalf for what was known at the time as  
 8 expedited promotion. I was promoted to an  
 9 associate professor. I received a cross  
 10 appointment at the Department of Gynecology  
 11 and Obstetrics and I was offered a tenure  
 12 status.  
 13 COFFEY, Q.C.:  
 14 Q. And then, Doctor, with respect to your work at  
 15 the Health Sciences Centre, you were a staff  
 16 pathologist initially. What then happened?  
 17 DR. KHALIFA:  
 18 A. What happened is sometime the following year--  
 19 so I came here in April. In May of the same  
 20 year, I successfully got the certification  
 21 from the Royal College. So now I am certified  
 22 by the Royal College as an anatomic  
 23 pathologist and sometime in '96, somehow, I  
 24 can't remember the exact date, but it was  
 25 early '96 and the Chairman came to me with the

Page 18

1 current site chief to tell me that she decided  
 2 to step down and they saw that I would be a  
 3 good candidate for that position, and I  
 4 accepted.  
 5 COFFEY, Q.C.:  
 6 Q. Who had been the site chief in the Health  
 7 Sciences Centre when you arrived in St.  
 8 John's? Who was that?  
 9 DR. KHALIFA:  
 10 A. That was Dr. Dzintra Fernandez.  
 11 COFFEY, Q.C.:  
 12 Q. And so by the beginning of '96, Dr. Fernandez  
 13 was interested in stepping down from the site  
 14 chief's position and Dr. Haegert approached  
 15 you and said "will you take it on?" and you  
 16 agreed to?  
 17 DR. KHALIFA:  
 18 A. Yes, sometime early '96.  
 19 COFFEY, Q.C.:  
 20 Q. What position did Dr. Haegert hold when you  
 21 arrived in St. John's? What was his position?  
 22 That would be David Haegert, I take it, and  
 23 what was -  
 24 DR. KHALIFA:  
 25 A. That's David Haegert, and I'm sorry, I'm not

Page 19

1 really sure of the exact date. I just want to  
 2 -  
 3 COFFEY, Q.C.:  
 4 Q. Okay. So what was Dr. Haegert's position when  
 5 you arrived?  
 6 DR. KHALIFA:  
 7 A. Dr. Haegert was certainly the Chairman of the  
 8 Department on the University side, and I  
 9 understand that around that time an  
 10 organization by the name Health Care  
 11 Corporation of St. John's was born. I wasn't  
 12 involved in that and I don't know when that  
 13 entity was born, but Dr. Haegert also was the  
 14 clinical chief of pathology in the  
 15 Corporation.  
 16 COFFEY, Q.C.:  
 17 Q. At the time when you arrived in St. John's, as  
 18 you pointed out, the Health Care Corporation  
 19 of St. John's came into existence around that  
 20 time. Other than being eventually employed in  
 21 that structure, you weren't involved in the  
 22 setting it up or anything like that?  
 23 DR. KHALIFA:  
 24 A. No.  
 25 COFFEY, Q.C.:

Page 20

1 Q. The other hospitals in St. John's at the time  
 2 were which? Do you recall?  
 3 DR. KHALIFA:  
 4 A. Yes, there was St. Clare's Hospital. There  
 5 was the Grace Hospital and there was the  
 6 Janeway Hospital.  
 7 COFFEY, Q.C.:  
 8 Q. Now Doctor, I understand that you left St.  
 9 John's in 1999?  
 10 DR. KHALIFA:  
 11 A. June '99.  
 12 COFFEY, Q.C.:  
 13 Q. June of '99, and you remained site chief up  
 14 until that point?  
 15 DR. KHALIFA:  
 16 A. Up to that point, I was.  
 17 COFFEY, Q.C.:  
 18 Q. And when you left St. John's, the hospital  
 19 structure was still--there was still the Grace  
 20 Hospital, still existed, and St. Clare's still  
 21 existed?  
 22 DR. KHALIFA:  
 23 A. Towards the end of my era, there was -- there  
 24 were discussions about, I think, closing the  
 25 Grace Hospital because I was engaged in

Page 21

1 meetings where we talked about what to do with  
 2 the pathologists from Grace Hospital, who  
 3 would join St. Clare's and who would join the  
 4 Health Sciences Centre. So I know there was  
 5 talk about the Grace Hospital closing.  
 6 COFFEY, Q.C.:  
 7 Q. And by the time you left, it was still - it  
 8 still existed?  
 9 DR. KHALIFA:  
 10 A. Yes.  
 11 COFFEY, Q.C.:  
 12 Q. Now these other hospitals -- I take it as well  
 13 the Janeway would have existed at that time?  
 14 DR. KHALIFA:  
 15 A. Yes.  
 16 COFFEY, Q.C.:  
 17 Q. The time you left. In these other hospitals  
 18 during your time as site chief at the Health  
 19 Sciences Centre, were there site chiefs for  
 20 the other hospitals too?  
 21 DR. KHALIFA:  
 22 A. Yes. Each site had its own chief, and Dr.  
 23 Haegert was the clinical chief for the whole  
 24 organization.  
 25 COFFEY, Q.C.:

Page 22

1 Q. Yes. So in your time, I take it at St.  
 2 Clare's, and we've already heard -- Dr. Cook  
 3 has already testified here. Dr. Cook would  
 4 have been the site chief at St. Clare's.  
 5 DR. KHALIFA:  
 6 A. He was, yes.  
 7 COFFEY, Q.C.:  
 8 Q. And during your time, Dr. Parai, Sushil Parai,  
 9 would have been the site chief at the Grace?  
 10 DR. KHALIFA:  
 11 A. That's correct.  
 12 COFFEY, Q.C.:  
 13 Q. Although I don't know that it's particularly  
 14 germane to what the Commissioner has to deal  
 15 with, who was the site chief at the Janeway,  
 16 was that Dr. Pushpanathan?  
 17 DR. KHALIFA:  
 18 A. Yes.  
 19 COFFEY, Q.C.:  
 20 Q. Doctor, I'm going to ask you then, so the  
 21 Commissioner gets some sense of the work  
 22 environment of the day, okay, when you arrived  
 23 in St. John's in 1995 and started as a staff  
 24 pathologist, describe for the Commissioner  
 25 what your typical work day would be as a staff

Page 23

1 pathologist when you first arrived?  
 2 DR. KHALIFA:  
 3 A. My typical work day would be come to the  
 4 office in the early morning. The slides would  
 5 come from the lab -- the slides would come  
 6 from the lab late in the afternoon. They'd  
 7 come, I would think, probably around one. So  
 8 I get the slides and I sit with the resident  
 9 to sign out the cases. The ones that can be  
 10 signed out, I sign them out; the ones that  
 11 need further investigation, I order the stains  
 12 and what not. Sometimes if there's an  
 13 autopsy, I think we took turn to perform  
 14 autopsies. Some days I would be on call for  
 15 frozen section examination, so I would have to  
 16 cover the operating rooms, but then because we  
 17 received the slides late in the day, of  
 18 course, one cannot finish them, so the drag  
 19 until the next day and that would be the first  
 20 thing I would do the next day.  
 21 COFFEY, Q.C.:  
 22 Q. The next day.  
 23 DR. KHALIFA:  
 24 A. And so on. Many days, of course, when the  
 25 school starts, we would be teaching, so we had

Page 24

1 that arm of our activity. I was particularly  
 2 interested in research as part of my academic  
 3 profile. I was engaged in several research  
 4 projects. You get residents involved, train  
 5 them to communicate with colleagues. After a  
 6 while -- my interdepartmental consultation is  
 7 a popular practice in pathology. My  
 8 colleagues would bring cases to me to seek my  
 9 opinion. Some cases, I seek opinion of my  
 10 colleagues who had certain areas of expertise  
 11 and interest. So that also was part of our  
 12 work, exchange opinions and diagnosis. I  
 13 respond to clinician's call when a clinician  
 14 calls to ask about a case or a diagnosis.  
 15 That's pretty much it.  
 16 COFFEY, Q.C.:  
 17 Q. Okay, and, Doctor, would you occasionally then  
 18 -- we've heard references to doing grossing,  
 19 okay, staff pathologists would be scheduled to  
 20 be on the grossing bench every so often.  
 21 Would that happen? What I'm getting at is  
 22 this, you would get slides, how would it be  
 23 determined which slide you would get?  
 24 DR. KHALIFA:  
 25 A. I wouldn't remember exactly how it worked, but

Page 25

1 it was known that "x" number of cases belong  
 2 to this doctor or that doctor. Maybe it was  
 3 weekly schedule, maybe it was daily, something  
 4 like that, but going back to the first part of  
 5 your question about grossing, most of the  
 6 grossing at that time was done by residents.  
 7 Sometimes for some scheduling issues, the  
 8 resident would not be available, so the staff  
 9 steps in and grosses.  
 10 COFFEY, Q.C.:  
 11 Q. Doctor, when you arrived in St. John's, what  
 12 was the structure in terms of -- I'll deal, in  
 13 particular, with this. Specimens such as, for  
 14 example, breast tissue, in particular,  
 15 mastectomy specimen, how would the fixation  
 16 occur in relation to that, the bread loafing  
 17 and so on which we've heard about? Would you  
 18 be involved with that as a staff pathologist  
 19 with a resident, would it sometimes vary?  
 20 Could you tell us about that.  
 21 DR. KHALIFA:  
 22 A. As a staff pathologist, I understand the  
 23 importance of proper fixation, proper handling  
 24 -- I would rather call it proper handling  
 25 because handling is a little bit more than

Page 26

1 fixation.  
 2 COFFEY, Q.C.:  
 3 Q. It's broader, yes.  
 4 DR. KHALIFA:  
 5 A. Proper handling of the specimen is absolutely  
 6 critical. As a staff pathologist, I would  
 7 instruct the residents how to do it, how I  
 8 expect them to do it. If I see any problem, I  
 9 would probably take that upon myself until I  
 10 became a chief -- that changed a little bit,  
 11 but at that point that's what I was doing.  
 12 COFFEY, Q.C.:  
 13 Q. That's what I asked you about, as a staff  
 14 pathologist.  
 15 DR. KHALIFA:  
 16 A. As a staff pathologist.  
 17 COFFEY, Q.C.:  
 18 Q. You've indicated that certainly some time in  
 19 '96, probably early '96, you became the site  
 20 chief?  
 21 DR. KHALIFA:  
 22 A. Yes.  
 23 COFFEY, Q.C.:  
 24 Q. Could you tell the Commissioner then how your  
 25 work pattern and what you ended up doing and a

Page 27

1 typical day evolved? How did that change over  
 2 time? When you became site chief, what  
 3 changed?  
 4 DR. KHALIFA:  
 5 A. By that time, remember I've been in the  
 6 department for quite some time, so I could see  
 7 things, I could see areas that could be  
 8 improved. As we all know, any lab pathology  
 9 anywhere in the world, any organization can --  
 10 there is room for improvement. So when I  
 11 became the chief, I started tackling the areas  
 12 that I thought needed to be improved a little  
 13 bit; issues like standardization of reports,  
 14 requesting special stains, policies -- we  
 15 needed many, many policies about how to handle  
 16 the work flow in the department. So it was  
 17 that sort of thing. Administration is a  
 18 constant thing. I tried to squeeze my work  
 19 between administration.  
 20 COFFEY, Q.C.:  
 21 Q. That's your clinical work?  
 22 DR. KHALIFA:  
 23 A. That's my clinical work. Troubleshooting in  
 24 the lab with residents, with staff,  
 25 personality conflicts. I mean, it's a very

Page 28

1 wide range of activity.  
 2 COFFEY, Q.C.:  
 3 Q. As the site chief?  
 4 DR. KHALIFA:  
 5 A. As a site chief.  
 6 COFFEY, Q.C.:  
 7 Q. Doctor, how many pathologists do you recall  
 8 were working at the General Hospital at the  
 9 time on site? Do you recall approximately how  
 10 many there were?  
 11 DR. KHALIFA:  
 12 A. I remember seven including myself, and  
 13 including renowned neuropathologist at the  
 14 time, and then you add to that the forensic  
 15 pathologists, so that will be eight -- I  
 16 apologize, maybe we were nine. Eight or nine  
 17 maybe.  
 18 COFFEY, Q.C.:  
 19 Q. That was about it in the mid '90s when you  
 20 first arrived?  
 21 DR. KHALIFA:  
 22 A. Yes.  
 23 COFFEY, Q.C.:  
 24 Q. Of course, this is before the Grace -- the  
 25 number of pathologists at the Grace got

Page 29

1 redistributed when the Grace closed  
 2 afterwards. So the numbers, I gather, have  
 3 changed in the General Hospital over the  
 4 years?  
 5 DR. KHALIFA:  
 6 A. That's correct.  
 7 COFFEY, Q.C.:  
 8 Q. But your recollection of it, and I notice --  
 9 you're just going to, I suspect, listing off  
 10 initials.  
 11 DR. KHALIFA:  
 12 A. Yes.  
 13 COFFEY, Q.C.:  
 14 Q. And remembering who they were. The  
 15 environment -- so the Commissioner has some  
 16 sense of the environment from which you had  
 17 come, and then coming to St. John's, the  
 18 environment at Georgetown, for example, how  
 19 many pathologists would have been working at  
 20 Georgetown when you were there approximately?  
 21 Again just a rough figure.  
 22 DR. KHALIFA:  
 23 A. Georgetown is one of the oldest universities  
 24 in the country. It's a very well established  
 25 program. We had probably, I would say, a

Page 30

1 dozen pathologists looking at doing clinical  
 2 work and probably half a dozen doing research,  
 3 R & D, and several PhD's. It was a much  
 4 bigger scale operation.  
 5 COFFEY, Q.C.:  
 6 Q. How about George Washington?  
 7 DR. KHALIFA:  
 8 A. George Washington was more hands-on. Again I  
 9 would say, including the (unintelligible)  
 10 pathologists, including the neuropathologists,  
 11 and dermapathologists, there's probably 15 or  
 12 16.  
 13 COFFEY, Q.C.:  
 14 Q. So it was again a larger operation?  
 15 DR. KHALIFA:  
 16 A. Oh, yes.  
 17 COFFEY, Q.C.:  
 18 Q. And the University of Oklahoma?  
 19 DR. KHALIFA:  
 20 A. The University of Oklahoma again is -- at that  
 21 time, we had the largest molecular lab in the  
 22 south. God knows how many researchers were  
 23 there, so we had many researchers, many PhD's,  
 24 but on the service side because we also had  
 25 the VA Hospital and the Children's Hospital,

Page 31

1 again I would say probably 20.  
 2 COFFEY, Q.C.:  
 3 Q. So again a much larger --  
 4 DR. KHALIFA:  
 5 A. Probably 20, yeah, on the clinical.  
 6 COFFEY, Q.C.:  
 7 Q. A much larger operation clinically?  
 8 DR. KHALIFA:  
 9 A. Absolutely.  
 10 COFFEY, Q.C.:  
 11 Q. Doctor, you've indicated that when you arrived  
 12 in St. John's, had worked for a while, and  
 13 became site chief and as you've pointed out,  
 14 of course, any organization can stand to be  
 15 improved.  
 16 DR. KHALIFA:  
 17 A. Absolutely.  
 18 COFFEY, Q.C.:  
 19 Q. That's the nature of human activity. At the  
 20 time, Doctor, when you took over as site chief  
 21 here in St. John's, did you have any  
 22 particular immediate goals, immediate in the  
 23 sense of more important goals from your  
 24 perspective?  
 25 DR. KHALIFA:

Page 32

1 A. As a staff pathologist?  
 2 COFFEY, Q.C.:  
 3 Q. As a site chief.  
 4 DR. KHALIFA:  
 5 A. As a site chief, immediate goals were to  
 6 tighten up quality assurance a little bit.  
 7 That needed some work.  
 8 COFFEY, Q.C.:  
 9 Q. And why was that, Doctor?  
 10 DR. KHALIFA:  
 11 A. Why?  
 12 COFFEY, Q.C.:  
 13 Q. Yes.  
 14 DR. KHALIFA:  
 15 A. Well --  
 16 COFFEY, Q.C.:  
 17 Q. I appreciate it's a desirable result.  
 18 DR. KHALIFA:  
 19 A. Yes.  
 20 COFFEY, Q.C.:  
 21 Q. But, I mean, what in particular needed to be  
 22 tightened up, I suppose is what I'm asking?  
 23 DR. KHALIFA:  
 24 A. Okay, for one thing, I thought that efficiency  
 25 could increase to decrease stressed



Page 33

1 pathologist who were very stressed.  
 2 COFFEY, Q.C.:  
 3 Q. Perhaps you could tell the Commissioner about  
 4 that, what you found in St. John's when you  
 5 arrived?  
 6 DR. KHALIFA:  
 7 A. Pathologists were very stressed because of a  
 8 variety of reasons. Do you want to get into  
 9 that? It's a very long --  
 10 COFFEY, Q.C.:  
 11 Q. Right now while we're at it, yes.  
 12 DR. KHALIFA:  
 13 A. Okay, pathologists were stressed because for  
 14 one thing I mentioned the slides would come  
 15 out of the lab in the afternoon. Everywhere I  
 16 worked, there was something called night shift  
 17 where the technologists come at night. By 7  
 18 o'clock, the staff goes to the office and the  
 19 slides are ready for them. So we start fresh  
 20 -- after your morning coffee, full of energy,  
 21 you start embarking on the slides. In St.  
 22 John's, the slides come in the afternoon when  
 23 you are tired, and, of course, the argument  
 24 was, well, you're busy from the slides the day  
 25 before, but still receiving the slides in the

Page 34

1 afternoon in my mind was not an optimal set  
 2 up. That could improve maybe, and I was told I  
 3 couldn't play with the shifts of the  
 4 technologists because they belong to a union  
 5 or something in the organization that I  
 6 couldn't --  
 7 COFFEY, Q.C.:  
 8 Q. You couldn't change?  
 9 DR. KHALIFA:  
 10 A. I couldn't change. So, okay, another thing,  
 11 just a simple thing, everywhere I worked  
 12 before, specimens are divided into large and  
 13 smalls, which means smalls would be something  
 14 like colon biopsy. Large would be an excised  
 15 whole colon. So obviously a clinician who did  
 16 a biopsy, which is a small specimen, expects a  
 17 diagnosis fast because the patient is coming  
 18 and we need to decide what to do with that  
 19 patient. The patient who had his or her colon  
 20 removed, they knew why it was removed, so if  
 21 that case delays 48 hours, it's not such a bad  
 22 thing. So when I arrived, cases were not  
 23 divided, and that was probably one of my very  
 24 early -- in fact, I think I did that even  
 25 before I became the site chief; who don't we

Page 35

1 divide the cases into small and large, or  
 2 biopsies and larges, or priorities and  
 3 routines. I think we ended up calling them  
 4 priority and routine. So if you would imagine  
 5 you show up in the office at 1 p.m. and you  
 6 get two piles, biopsies and routines, I guess  
 7 you know which ones to start with. You get  
 8 your priorities out so at least the clinician  
 9 will get their diagnosis. Things like that  
 10 which I would probably call just streamlining  
 11 the operation, that alleviated some of the  
 12 stress. Decreased phone calls -- stress was  
 13 coming from the fact that clinicians would  
 14 send the specimens without adequate clinical  
 15 history. Of course, the pathologist gets very  
 16 stressed by that, so I started working  
 17 formally and informally on improving  
 18 communication and trying to be more social  
 19 with the clinicians so they know our needs and  
 20 things like that, show up more in their  
 21 rounds, or just make your face a little bit --  
 22 so things like that to decrease the stress.  
 23 I'm not sure if the stress was because of the  
 24 complexity of cases or because of the total  
 25 number of cases because if you compare the

Page 36

1 total number of cases at that time with the  
 2 total number of cases I was doing at George  
 3 Washington or Georgetown, it wasn't that much;  
 4 if anything, it was actually less.  
 5 COFFEY, Q.C.:  
 6 Q. In St. John's.  
 7 DR. KHALIFA:  
 8 A. In St. John's at that time, the total number  
 9 of cases per pathologist I would say was less.  
 10 Complexity of cases was the same or probably  
 11 less.  
 12 COFFEY, Q.C.:  
 13 Q. In St. John's.  
 14 DR. KHALIFA:  
 15 A. In St. John's, but yet pathologists in St.  
 16 John's were which more stressed than any  
 17 pathologists I worked with before.  
 18 COFFEY, Q.C.:  
 19 Q. In the other institutions in the US?  
 20 DR. KHALIFA:  
 21 A. In the other institutions. Scheduling, for  
 22 example, I know that when you schedule people  
 23 on -- well, some people like to be scheduled  
 24 in weeks block or days blocks, so just put  
 25 some structure into the operation, and the

Page 37

1 stress level was get down a little bit. I  
 2 would like to believe that the stress level  
 3 came down. I don't know if --  
 4 COFFEY, Q.C.:  
 5 Q. After you got involved.  
 6 DR. KHALIFA:  
 7 A. If you ask the pathologists, I hope they would  
 8 say that.  
 9 COFFEY, Q.C.:  
 10 Q. So, Doctor, these were some administrative  
 11 work flow aspects of the matter that you  
 12 recognized because you came from a background  
 13 outside other institutions and these were some  
 14 things you wanted to, if you could,  
 15 immediately address?  
 16 DR. KHALIFA:  
 17 A. Yes.  
 18 COFFEY, Q.C.:  
 19 Q. Some you could, some as you've indicated,  
 20 rescheduling the technologists work was beyond  
 21 your ability, you were told?  
 22 DR. KHALIFA:  
 23 A. Yes.  
 24 COFFEY, Q.C.:  
 25 Q. Doctor, at the time, and this is in the mid

Page 38

1 1990s, again to try and put this in  
 2 perspective for the Commissioner, remuneration  
 3 levels for pathologists in St. John's compared  
 4 to elsewhere, like, money, the amount of  
 5 income they were paid, how did they compare --  
 6 do you know was that a cause of concern to the  
 7 pathologists at that time?  
 8 DR. KHALIFA:  
 9 A. Major.  
 10 COFFEY, Q.C.:  
 11 Q. Major?  
 12 DR. KHALIFA:  
 13 A. Major concern.  
 14 COFFEY, Q.C.:  
 15 Q. Could you tell the Commissioner what you  
 16 recall about that in the time that you were  
 17 here?  
 18 DR. KHALIFA:  
 19 A. When I came to St. John's, I was shocked by my  
 20 salary and my take home money after tax. Of  
 21 course, I was introduced to a new country, new  
 22 system, that I didn't fully understand. My  
 23 take home money would allow me as a staff  
 24 pathologist to do less to my family than my  
 25 take home money when I was a fellow back in

Page 39

1 DC.  
 2 COFFEY, Q.C.:  
 3 Q. A fellow --  
 4 DR. KHALIFA:  
 5 A. In surgical pathology back in DC.  
 6 COFFEY, Q.C.:  
 7 Q. Meaning below the level of a staff person?  
 8 DR. KHALIFA:  
 9 A. Well, a fellow is -- there's a huge difference  
 10 in salary between a fellow and a staff, but by  
 11 the time your take home -- at that time the  
 12 sales tax in St. John's was like 19 percent or  
 13 something like that. I had major difficulty.  
 14 I personally had major financial difficulties  
 15 when I arrived, but talking with people around  
 16 me, everybody was I would say dissatisfied  
 17 with the salary scale we were on. There was  
 18 one particular pathologist who was obviously  
 19 senior and very knowledgeable and was very  
 20 proactive about this, and he talked and  
 21 counselled me a lot to help me try to  
 22 understand. I was -- up to the moment I left  
 23 -- well, they talked about increasing salaries  
 24 and things like that, but up to the moment I  
 25 left, the salary scale in Newfoundland was

Page 40

1 significantly lower than any salary scale I  
 2 was aware of. I remember one particular --  
 3 one particular incident which I think is  
 4 significant, or at least it was significant at  
 5 the time, when I got promoted from assistant  
 6 professor to associate professor, that was a  
 7 huge deal, it was a huge deal to be promoted  
 8 in such a short time, and associate professor  
 9 is a big title. So I got the first -- my  
 10 first pay cheque after that, and the money  
 11 wasn't different, and I said, well, okay,  
 12 sometimes things drag a little bit, and I  
 13 waited one more month and it wasn't different  
 14 and I said, well, maybe they made a mistake.  
 15 The next month it wasn't different. So I went  
 16 back to the chair and said, David, what's  
 17 going on here, I got promoted and my salary  
 18 didn't change. He said, no, no, no, your  
 19 salary has nothing to do with your academic  
 20 rank. That was a shock to me and when I went  
 21 back and I talked to my colleagues, and one  
 22 senior pathologist said this is what I've been  
 23 tell you all the time, there is no credit for  
 24 your academic status, there's no credit for --  
 25 so there wasn't. Sorry, I did say there isn't

Page 41

1 -- I meant there wasn't, at the time there  
 2 wasn't any -- there wasn't recognition for  
 3 academic achievements and the overall salary  
 4 scale was significantly lower than anybody  
 5 else.  
 6 COFFEY, Q.C.:  
 7 Q. So, Doctor, and I take it that, as you've  
 8 indicated to the Commissioner, that in  
 9 discussing this with your colleagues, by the  
 10 late 90s you were the site chief, in  
 11 discussing it with your colleagues, the ones  
 12 who worked for you, nominally at least  
 13 reported to you, as site chief, they would  
 14 report to you, they were dissatisfied with the  
 15 relatively low incomes that they were being  
 16 paid.  
 17 DR. KHALIFA:  
 18 A. Yes.  
 19 COFFEY, Q.C.:  
 20 Q. Doctor, the structure of the department at the  
 21 time, I mean, as site chief, what were you  
 22 responsible for in the sense of who reported  
 23 to you and what parts of the lab were you, the  
 24 clinical laboratory were you responsible for?  
 25 DR. KHALIFA:

Page 42

1 A. That wasn't really clarified to me. I wasn't  
 2 presented with an organization structure. I  
 3 wasn't given a job description. I wasn't told  
 4 what the expectations were and I guess the  
 5 impression at the time was it was understood,  
 6 it was understood that Dr. Haegert was the  
 7 clinical chief, so I reported to him. I did  
 8 not make any significant decision without  
 9 consulting with him. I would go to him as a  
 10 resource, for guidance as to how to do things.  
 11 Who would report to me? I don't think anybody  
 12 reported to me or I didn't think people felt  
 13 that they needed to report to me. The overall  
 14 atmosphere was very collegial at that time,  
 15 people were very friendly with each other. We  
 16 were, at least as a group, we were tight. I  
 17 would say I would make a suggestion and people  
 18 would respectfully follow it or they may say,  
 19 it will not work, let's do this. So things  
 20 were run by, I don't know the word, collegial  
 21 or -  
 22 COFFEY, Q.C.:  
 23 Q. Consensus.  
 24 DR. KHALIFA:  
 25 A. Consensus, exactly, collegial and then when I

Page 43

1 started making staff meeting with agendas and  
 2 minutes and things like that to give it,  
 3 again, a little bit of structure -  
 4 COFFEY, Q.C.:  
 5 Q. I'm going to be asking you about that, I'll be  
 6 pursuing that a little bit more, Doctor.  
 7 Within the laboratory, as I take it there's  
 8 pathology is a division of the laboratory.  
 9 DR. KHALIFA:  
 10 A. Anatomic pathology.  
 11 COFFEY, Q.C.:  
 12 Q. Anatomic pathology, but there are other  
 13 aspects of the laboratory, hematology,  
 14 chemistry.  
 15 DR. KHALIFA:  
 16 A. Yes, Yes.  
 17 COFFEY, Q.C.:  
 18 Q. Did you have any involvement in those?  
 19 DR. KHALIFA:  
 20 A. No, I knew the directors, we have coffee and  
 21 stuff together, but I had no expertise and I  
 22 had nothing to do with it.  
 23 COFFEY, Q.C.:  
 24 Q. So the physicians who worked in hematology,  
 25 they had their own structure, their own

Page 44

1 director.  
 2 DR. KHALIFA:  
 3 A. Yes.  
 4 COFFEY, Q.C.:  
 5 Q. Or site chief, whatever the title was. What  
 6 about the technologists, how did the structure  
 7 work with respect to the technologists?  
 8 DR. KHALIFA:  
 9 A. We had a group of technologists. We had two  
 10 other, what you probably would call morgue  
 11 assistants and they mostly worked with the, of  
 12 course, they worked with the autopsy and they  
 13 had close relationship with the chief medical  
 14 examiner. So excluding these two individuals,  
 15 we had a fine group of histotechnologists. We  
 16 had a manager and I understand we had a lab  
 17 manager who was, I guess the manager of all  
 18 labs, so he was over our anatomic pathology  
 19 lab manager.  
 20 COFFEY, Q.C.:  
 21 Q. Over the anatomic pathology--you had an  
 22 anatomic pathology manager who reported to,  
 23 you understood, to the lab manager period.  
 24 DR. KHALIFA:  
 25 A. That's what I assumed, yes.

Page 45

1 COFFEY, Q.C.:

2 Q. And do you recall who the anatomic pathology

3 manager was?

4 DR. KHALIFA:

5 A. Yes, it was Mr. Terry Gulliver.

6 COFFEY, Q.C.:

7 Q. And so Mr. Gulliver then would have had a

8 number of histotechnologists reporting to him

9 at the time.

10 DR. KHALIFA:

11 A. Yeah.

12 COFFEY, Q.C.:

13 Q. Doctor, when you arrived, well as a staff

14 pathologist, were the technologists reporting

15 to you? Would they report to you or would

16 they report to Mr. Gulliver?

17 DR. KHALIFA:

18 A. I'm not sure if I understand the word

19 "report". If you mean if they want vacation

20 or overtime or -

21 COFFEY, Q.C.:

22 Q. Yes, talk about that.

23 DR. KHALIFA:

24 A. - things of that nature, I had nothing to do

25 with that. I knew nothing about that.

Page 46

1 COFFEY, Q.C.:

2 Q. That was presumably Mr. Gulliver's problem, as

3 it were.

4 DR. KHALIFA:

5 A. Probably, yes.

6 COFFEY, Q.C.:

7 Q. How about, but you've pointed out there's a

8 distinction between administrative function

9 and how about from a clinical sense, like in

10 terms of involving particular slides or stains

11 or whatever, would they be involved with you?

12 DR. KHALIFA:

13 A. As a staff pathologist?

14 COFFEY, Q.C.:

15 Q. Yes.

16 DR. KHALIFA:

17 A. As a staff pathologist the pathologist would

18 order the stain, would say I want such and

19 such antibody or such and such stain on such

20 and such block. They present that to the

21 technologist, the technologist would prepare

22 the slide and bring them back to the

23 pathologist. Sometimes if the pathologist

24 doesn't like the stain or something is wrong

25 with it, they take it back to the technologist

Page 47

1 and say "why don't you do this" and "let us

2 repeat it" or "why did this happen", stuff

3 like that. So that's, again, that's not a

4 reporting system, I guess it's a supervisory

5 role, rather than a reporting role.

6 COFFEY, Q.C.:

7 Q. And then as a site chief, what was your

8 interaction then with technologists as a group

9 and the manager of the technologists, how did

10 that work during your days as site chief?

11 DR. KHALIFA:

12 A. Now as a site chief, as I said, I had a

13 priority kind of, priority list in my head and

14 I wanted to change things a little bit. So at

15 that point, I had to interact more with the

16 technologists. For example, I just want to

17 give you one example. When I started, I

18 think, I think, if my memory is not failing

19 me, when I started, the technologists would

20 write the number of the case by a diamond pen

21 on the glass slide, and we did that in the old

22 country. In North America, people didn't do

23 that any more. It's just so time consuming

24 and it's not practical. So I told them to--

25 why don't we start putting labels on the

Page 48

1 slide, something of that nature. So I guess,

2 someone purchased the labels and they changed

3 it. The pathologists wanted to change the

4 protocol from getting three levels or five

5 levels on a liver biopsy to only three levels.

6 So I would go to the technologists and say

7 "guys, let us stop doing five levels. Let's

8 do three levels," things like that. So I was

9 a little bit more involved in their work.

10 COFFEY, Q.C.:

11 Q. Doctor, during your days as the site chief

12 with the Health Sciences site, the General

13 Hospital site, the reporting lines, such as

14 they were, was there--who did Terry Gulliver

15 report to? Do you recall the man or person in

16 Terry Gulliver's position reported to--the

17 anatomic pathology manager reported to the

18 clinical laboratory manager, which you just

19 described. You, as the site chief, would

20 report to the clinical chief, Dr. Haegert. So

21 was there a division between the clinicians

22 and the technologists, in terms of who they

23 reported to?

24 DR. KHALIFA:

25 A. I guess in the way you put it, yes, I reported

Page 49

1 to Dr. Haegert and Mr. Gulliver probably  
 2 reported to Vern?  
 3 COFFEY, Q.C.:  
 4 Q. Vern?  
 5 DR. KHALIFA:  
 6 A. Whelan.  
 7 COFFEY, Q.C.:  
 8 Q. Vern Whelan, yes, go ahead.  
 9 DR. KHALIFA:  
 10 A. I think that was the manager.  
 11 COFFEY, Q.C.:  
 12 Q. Clinical laboratory manager, yes.  
 13 DR. KHALIFA:  
 14 A. Yeah.  
 15 COFFEY, Q.C.:  
 16 Q. And they then reported to the Vice President  
 17 Medical probably, in its time?  
 18 DR. KHALIFA:  
 19 A. I wouldn't know that. I didn't know.  
 20 COFFEY, Q.C.:  
 21 Q. You wouldn't know. Even that was beyond your -  
 22 DR. KHALIFA:  
 23 A. No, no, that was behind my--I don't know.  
 24 COFFEY, Q.C.:  
 25 Q. Doctor, just another aspect of this matter,

Page 50

1 perhaps to give, again, the Commissioner some  
 2 sense of what the environment in which you  
 3 first arrived and then what you--your approach  
 4 to possibly changing it. Doctor, I understand  
 5 that you were involved--for example, you  
 6 referred to the fact pathologists would order  
 7 particular stains or antibodies for particular  
 8 blocks, right, you recall just described that?  
 9 DR. KHALIFA:  
 10 A. That's correct.  
 11 COFFEY, Q.C.:  
 12 Q. What was the situation when you first arrived  
 13 in St. John's in terms of that and then how  
 14 did it change over time?  
 15 DR. KHALIFA:  
 16 A. Well, this was, for example, this is one of  
 17 the early things that I noticed. The way it  
 18 was done, a pathologist sitting in his or her  
 19 office wanted to request a special stain, so  
 20 they have to physically walk down the hall, go  
 21 to the lab and there was a log, like one big  
 22 list on one page, one piece of paper, so they  
 23 write down the case number and they write down  
 24 the stain and the block. The next doctor  
 25 comes and writes this and so forth and so

Page 51

1 forth, and I think the technologists, they  
 2 will go down the list. When they finish one,  
 3 they cross it off or something like that.  
 4 That was in direct contrast to what I was  
 5 trained to in the United States, because I  
 6 know that we shouldn't include different  
 7 patients' information on the same page. So I  
 8 asked if we can develop what is called a  
 9 requisition form, and then my colleagues said  
 10 "go ahead." So I sat on my computer and I  
 11 developed a very simplistic form with all the  
 12 stains and the antibodies available, with a  
 13 spot for the pathologist to write down the  
 14 block and the case number and they would hand  
 15 over that stain--that sheet, requisition to  
 16 the lab. That will allow better checking down  
 17 of their workload. When they are done with  
 18 the stain, they put their notes on the form.  
 19 So now we have a record that actually the  
 20 stain was done. This was very useful because  
 21 we printed these in books and we dispatched  
 22 them to other pathologists in Newfoundland.  
 23 So now when they need a stain, they send the  
 24 block with the form and they tick on the  
 25 antibody or the stain they wanted. Of course,

Page 52

1 the criticism to a system like that would be  
 2 if you tell the pathologist all the stains we  
 3 have, then the pathologist is going to tick as  
 4 many as they want and -  
 5 COFFEY, Q.C.:  
 6 Q. Perhaps unnecessarily in some cases?  
 7 DR. KHALIFA:  
 8 A. Exactly. Which takes us to a whole different  
 9 issue here, which is lab utilization. We were  
 10 not in that position yet to collect data and  
 11 monitor, I mean, in Sunnybrook, I do that, but  
 12 because the system is old. Here the system  
 13 was new at the time, so and I said, but you  
 14 know, let us just have everything on the form  
 15 and then we can probably later on, monitor who  
 16 is abusing the system or whatever. There  
 17 wasn't really, I mean, something like that,  
 18 that was one of the things that I implemented  
 19 and of course, pathologists will go to  
 20 meetings and read literature and they read  
 21 about a new stain or a new antibody, they call  
 22 me. So we add to that list, so that list kept  
 23 growing.  
 24 COFFEY, Q.C.:  
 25 Q. And the requisitions would change accordingly

Page 53

1 over, from time to time?

2 DR. KHALIFA:

3 A. Yes, I think I was in the habit of printing

4 the date on the right upper corner of the

5 form, where the form was updated and if you go

6 back to the records, you will see that that

7 form went through evolution.

8 COFFEY, Q.C.:

9 Q. Doctor, on that point, the idea for example

10 there were these stains available, now I'll

11 just ask you about this, the

12 immunohistochemistry, when you arrived in St.

13 John's, where was immunohistochemistry

14 staining being performed?

15 DR. KHALIFA:

16 A. Well, okay, so now in the anatomic pathology

17 lab, you have the regular H&E, you have

18 special stains which are just regular

19 histochemistry and then you have

20 immunohistochemistry.

21 COFFEY, Q.C.:

22 Q. Yes.

23 DR. KHALIFA:

24 A. Immunohistochemistry uses antibodies and

25 immunology principles. The lab was up and

Page 54

1 running, I was actually, if anything, I was

2 really impressed by the number of antibodies

3 available, the quality of work done.

4 COFFEY, Q.C.:

5 Q. In IHC at the time?

6 DR. KHALIFA:

7 A. Yeah, in immunohistochemistry at that time.

8 The lab was up and running and in fact, I was

9 very impressed to know that this was the only

10 lab--up to the time when I left, it was the

11 only lab in the whole province who performs

12 this service, so this was a high volume, high

13 volume lab and it was functioning.

14 COFFEY, Q.C.:

15 Q. Now, Doctor, when you arrived as a staff

16 pathologist and looking around you, you

17 understood who amongst the pathologists was

18 responsible for the IHC end of the lab? And,

19 for that matter, for the histology and the H&E

20 end of it, who was the pathologist who was

21 responsible for that?

22 DR. KHALIFA:

23 A. Well Dr. Fernandez was the site chief.

24 COFFEY, Q.C.:

25 Q. I take it, it was the site chief from your

Page 55

1 perspective?

2 DR. KHALIFA:

3 A. Yes.

4 COFFEY, Q.C.:

5 Q. That was your understanding?

6 DR. KHALIFA:

7 A. That was my understanding.

8 COFFEY, Q.C.:

9 Q. Yeah, because I ask you about it because there

10 was no formal description of what the site

11 chief's role was?

12 DR. KHALIFA:

13 A. No, up to the time I became a site chief,

14 there wasn't a job description.

15 COFFEY, Q.C.:

16 Q. But you would have understood, as a staff

17 pathologist, that well Dr. Fernandez is the

18 site chief.

19 DR. KHALIFA:

20 A. Yes.

21 COFFEY, Q.C.:

22 Q. Therefore, she is responsible for the clinical

23 aspects of the pathology end of the lab, the

24 H&E staining, the histology staining, special

25 stains and the IHC staining?

Page 56

1 DR. KHALIFA:

2 A. Well, you can put it this way, but as a staff

3 pathologist, when I had problems with the lab

4 or a stain didn't work, I would go to the lab,

5 so I did not interact with her at that time as

6 the person responsible for seeing to it that

7 things are done in a certain way. I think

8 that was probably her role, but I'm not sure

9 if people acted this way in the lab.

10 COFFEY, Q.C.:

11 Q. When you became site chief, okay, I take it

12 that you did interact because you got involved

13 to the extent of even deciding, well, we'll

14 use particular types of requisition forms and

15 so on.

16 DR. KHALIFA:

17 A. Yes.

18 COFFEY, Q.C.:

19 Q. So as a site chief, certainly you were

20 involved in that end of it.

21 DR. KHALIFA:

22 A. Yes.

23 COFFEY, Q.C.:

24 Q. How was, during the time you were site chief,

25 Doctor, how was the laboratory physically laid

Page 57

1 out in terms of H&E staining, special staining  
 2 and IHC staining? How was that, do you recall  
 3 physically how they were--were they all kind  
 4 of lumped in together or were they, IHC at one  
 5 end, histology at another, do you recall how  
 6 that was laid out?  
 7 DR. KHALIFA:  
 8 A. There was an open concept area where all the  
 9 histotechnologists worked in the same area. I  
 10 would say probably immunohistochemistry was on  
 11 one bench with the stainer and the microtones  
 12 and the regular histology was on another end,  
 13 but it was all in one place.  
 14 COFFEY, Q.C.:  
 15 Q. Were there any particular technologists,  
 16 histotechnologists assigned to doing the IHC  
 17 work at the time?  
 18 DR. KHALIFA:  
 19 A. At the time and up to when I left, there were  
 20 two particular histotechnologists doing  
 21 immunohistochemistry, yes.  
 22 COFFEY, Q.C.:  
 23 Q. And that would be, in your day, Peggy Welsh  
 24 was one.  
 25 DR. KHALIFA:

Page 58

1 A. Yes.  
 2 COFFEY, Q.C.:  
 3 Q. And Mary Butler?  
 4 DR. KHALIFA:  
 5 A. That's correct.  
 6 COFFEY, Q.C.:  
 7 Q. Were you involved in any way in training them?  
 8 DR. KHALIFA:  
 9 A. Four-month training or in-service?  
 10 COFFEY, Q.C.:  
 11 Q. Yes, well, formal first.  
 12 DR. KHALIFA:  
 13 A. No.  
 14 COFFEY, Q.C.:  
 15 Q. Okay, how about in-service.  
 16 DR. KHALIFA:  
 17 A. No. I was involved with them in  
 18 troubleshooting and just explaining things as  
 19 we go.  
 20 COFFEY, Q.C.:  
 21 Q. Doctor, in giving the Commissioner some sense  
 22 of this, if we could bring up, please, Page  
 23 28--or go to Page 28 of this document,  
 24 Registrar. That's of your CV. Doctor, on  
 25 this page under the heading, "Local Lectures"

Page 59

1 - you see that there? - the second bullet is  
 2 "Med-path rounds every other Wednesday at  
 3 Memorial University, September '95 to  
 4 September '96," and then "Surgical pathology  
 5 rounds, Department of Pathology, Memorial  
 6 University every Tuesday." Okay?  
 7 DR. KHALIFA:  
 8 A. Yes.  
 9 COFFEY, Q.C.:  
 10 Q. Could you please tell the Commissioner then,  
 11 during your days of site chief at the Health  
 12 Sciences Center here in St. John's, how that  
 13 aspect of your job worked? I mean, how did  
 14 you organize that? Was it there when you  
 15 arrived? Did you reorganize it? Did you  
 16 institute anything, because I do understand  
 17 that there were certainly rounds, teaching  
 18 rounds and otherwise, and perhaps you could  
 19 tell the Commissioner about that.  
 20 DR. KHALIFA:  
 21 A. Med-path rounds were probably  
 22 multidisciplinary rounds that--I think they  
 23 were there before I arrived and I just  
 24 participated in them, but it came clear to me  
 25 soon that the department needed communication.

Page 60

1 The staff needed to communication to work  
 2 together and, again, because of my background,  
 3 everywhere I worked before there were set time  
 4 where all members of the department come  
 5 around what we call a multi-headed microscope,  
 6 so all pathologists will be looking at the  
 7 same slide at the same time. It's a good  
 8 forum for quality assurance because one  
 9 pathologist will be presenting a case and say  
 10 - I know it happened to me. I would present a  
 11 case and say, "I think this is an example of  
 12 this entity," and one of the staff would say,  
 13 "I'm not sure. It looks like probably it  
 14 could be that, and why don't you do this stain  
 15 or do this or that," and then I go back and I  
 16 take their advice and I like to give them  
 17 follow-up in the following week. I would say,  
 18 "You know what, I almost missed the boat on  
 19 this one." So I decided to have a Tuesday  
 20 round at noon. It became like our religion to  
 21 come around the microscope, all the staff, and  
 22 so it served communications so at least each  
 23 one of us knows what others are doing and how  
 24 would we diagnose such a case. It was a very  
 25 good forum to quality--to QA every other's--

Page 61

1 our work. Each one would bring cases and  
 2 discuss them, difficult ones. It was a good  
 3 forum to get second opinion, and it was an  
 4 excellent forum for residents to learn and, of  
 5 course, my kind of hidden objective of that  
 6 was at least to have a certain percentage of  
 7 our cases that were documented to have more  
 8 than one set of eyes look at it to ensure  
 9 correct diagnosis, and during my tenure in the  
 10 four years I think we met around the  
 11 microscope more than a hundred times and we  
 12 discussed probably more than 800 cases. So  
 13 for whatever it's worth, one can at least now  
 14 say these 800-plus cases were discussed in a  
 15 group format and they were offered--they were  
 16 difficult. Obviously, otherwise, they  
 17 wouldn't show up in this forum, and they were  
 18 offered the collective diagnosis of everybody  
 19 around the microscope at the time.

20 COFFEY, Q.C.:

21 Q. Doctor, were there notes or minutes kept of  
 22 these, or any kind of record kept of these  
 23 meetings, do you recall?

24 DR. KHALIFA:

25 A. I know that towards the end of my time I wrote

Page 62

1 a letter to Dr. Haegert to summarize this  
 2 experience and mention that the attendance  
 3 was--at least three pathologists were sitting  
 4 in every one of these sessions. I would have  
 5 to wonder if I had these figures--so I  
 6 probably have a record, or probably there was  
 7 a record of these cases somewhere in the  
 8 system.

9 COFFEY, Q.C.:

10 Q. And so after four years when you are now able  
 11 almost a decade later to say, "Well, there  
 12 were about 800 cases that we looked at and a  
 13 100 meetings," in order to keep track of the  
 14 fact that there were upwards of a 100  
 15 meetings, you have to have been track of the  
 16 meetings, I take it.

17 DR. KHALIFA:

18 A. Yes.

19 COFFEY, Q.C.:

20 Q. Some record was being kept.

21 DR. KHALIFA:

22 A. Yes.

23 COFFEY, Q.C.:

24 Q. Doctor, you've also indicated that - and you  
 25 referred to this earlier - that when you

Page 63

1 arrived in St. John's that you wanted to--or  
 2 saw the need to more formalize certain aspects  
 3 of the way pathology was carried on in St.  
 4 John's. For example, I think you referred to  
 5 having meetings, having agendas for meetings,  
 6 things like that. How did you go about doing  
 7 that?

8 DR. KHALIFA:

9 A. I just used commonsense and used some of my  
 10 previous experience, with the understanding  
 11 that it was kind of on-the-go process. In  
 12 other words, you would only face--you would  
 13 only know of an issue when it happens, and I  
 14 can give you many examples. At one point in  
 15 time, I realized that--like I would ask for a  
 16 case, and I'd find out that it was sent to Dr.  
 17 so and so for consultation, and I would say,  
 18 "Who authorized this?" They would say,  
 19 "Nobody." So I said, "So are you telling me  
 20 that anybody can call up the lab and say I  
 21 want my cases--I am Joe Smith and I want to  
 22 send my cases to Mayo Clinic for a second  
 23 opinion, and you just send it out?" "Yeah,  
 24 that's pretty much what we do." So that was  
 25 an immediate area that obviously needed some

Page 64

1 interference. So we sat down. We wrote a  
 2 policy about how to release cases and someone  
 3 has to sign for the case, and so things like  
 4 that.

5 COFFEY, Q.C.:

6 Q. You create a record that this is going -

7 DR. KHALIFA:

8 A. This is to create a record for--and when did  
 9 the case leave the department? When did it  
 10 arrive, and where did it go to because, again,  
 11 in other places - as a matter of fact, before  
 12 the case leaves the department, it needs a  
 13 second look and that is another layer of  
 14 quality assurance. I mean, you talk about  
 15 random review of diagnosis. If we just have a  
 16 policy that every - and it doesn't have to be  
 17 a different pathologist. The same pathologist  
 18 can look at the same slides--because, you  
 19 know, on a different day you may have a  
 20 fresher look at it. So I said, "Please, guys,  
 21 before you release a case, have a second look  
 22 at it and authorize. Just authorize that the  
 23 case will go, will leave the department." We  
 24 keep track which cases left the department,  
 25 where did they go to, and when did they come



Page 65

1 back and, more importantly, what was the  
 2 outside diagnosis, and that was another layer  
 3 of quality assurance because now if the case  
 4 is reviewed--if my case is reviewed in John  
 5 Hopkins, I pretty much would like to know what  
 6 the John Hopkins' guys called it. I mean, if  
 7 they agreed, that's fine. If they disagreed,  
 8 I would like to know why.

9 COFFEY, Q.C.:

10 Q. Doctor, in relation to that, I take it then,  
 11 you would expect that that would be recorded  
 12 eventually on the patient's chart and you, as  
 13 the original pathologist, would like to know  
 14 what John Hopkins said.

15 DR. KHALIFA:

16 A. Absolutely.

17 COFFEY, Q.C.:

18 Q. Found its way into the chart.

19 DR. KHALIFA:

20 A. Absolutely

21 COFFEY, Q.C.:

22 Q. Doctor, just as an aside here, during these  
 23 Tuesday surgical pathology rounds -

24 DR. KHALIFA:

25 A. Yes.

Page 66

1 COFFEY, Q.C.:

2 Q. Where you've indicated perhaps upwards of 800  
 3 cases would have been discussed, do you know  
 4 if the fact that each of these patient's cases  
 5 was being discussed in that context? Would it  
 6 have been recorded on the patient's chart?

7 DR. KHALIFA:

8 A. Okay. If you look at any quality assurance  
 9 program, it has different components and one  
 10 of the components is called prospective  
 11 review. A prospective review means a case is  
 12 being reviewed before the report goes out. So  
 13 at the end the patient's chart will have a  
 14 report saying that this is what it is, but in  
 15 the department we know that this case has been  
 16 reviewed by so and so and, believe it or not,  
 17 that by itself became a problem because,  
 18 again, the pathologist would say, "I showed  
 19 the case to Dr. K and he agreed on it," and,  
 20 again, according to what I know in pathology,  
 21 you can't mention someone else's name on the  
 22 report unless that person was given the  
 23 opportunity to review the case in its  
 24 totality, so that needed a policy. We sat  
 25 down. We said, "Guys, you can only mention

Page 67

1 someone's name on your report if that person  
 2 reviewed the case it its entirely as if it was  
 3 his or hers." If the other person reviewed  
 4 only part of the case and gave an informal  
 5 opinion, that shouldn't be on the report but  
 6 should be kept in internal record," and then  
 7 we said, "Okay, how are we going to keep  
 8 internal record?" So I developed another  
 9 forum, which is the consultation forum. So my  
 10 colleague brings a case to me and says, "What  
 11 do you think of this slide," and we'll have a  
 12 forum and I will say, "I think Slide B shows  
 13 cancer" and I sign. So now it is on record  
 14 that I only saw Slide B and my opinion of  
 15 Slide B that it is cancer, so things of that  
 16 sort.

17 COFFEY, Q.C.:

18 Q. And why I'm canvassing this - and we'll see  
 19 some of this in some of the minutes of  
 20 meetings I'm going to take you through,  
 21 Doctor, is to give the Commissioner some sense  
 22 of--I take it then, would it be fair to say,  
 23 Doctor, that documenting things and having  
 24 structures in place, acknowledge structures in  
 25 place, guidelines, protocols, approaches and

Page 68

1 formalizing them with something, that when you  
 2 took over as site chief there was a lot of  
 3 that to be done in St. John's.

4 DR. KHALIFA:

5 A. That's correct.

6 COFFEY, Q.C.:

7 Q. That's not unfair to make that -

8 DR. KHALIFA:

9 A. No, that's a very fair statement.

10 COFFEY, Q.C.:

11 Q. And I gather, Doctor, that that sort of a  
 12 process, even in a very old and established  
 13 institute, is an ongoing process. In a place  
 14 like Sunnybrook, for example, where you work  
 15 now, even that would be still an ongoing  
 16 process. There's still changes.

17 DR. KHALIFA:

18 A. Yes, no matter how many issues we see and no  
 19 matter how much experience we gather, we still  
 20 get surprised.

21 COFFEY, Q.C.:

22 Q. Doctor, up to the point where you left in  
 23 early 1999, how far had that aspect of the  
 24 matter evolved or progressed? You've been  
 25 site chief from the beginning of '96, really,

Page 69

1 to the beginning of '99. So over the three  
 2 years, compared to a place like Sunnybrook  
 3 which is a much older institution, how far had  
 4 St. John's evolved, from your perspective?  
 5 DR. KHALIFA:  
 6 A. It evolved a lot. It evolved a lot. Due to  
 7 the keenness of members of the department on  
 8 the technical side and the clinical side,  
 9 people knew the issues. People wholeheartedly  
 10 wanted to improve and, if they found a little  
 11 bit of leadership, that was very helpful, was  
 12 very collegial and the department evolved a  
 13 lot.  
 14 COFFEY, Q.C.:  
 15 Q. And from your perspective at the time you  
 16 left, did it have a ways yet though to go?  
 17 DR. KHALIFA:  
 18 A. I would say by the time I left, if you talk  
 19 about the structure and the quality assurance  
 20 program in the department, it was acceptable  
 21 but, as I said, every place can improve and it  
 22 needed a lot to improve.  
 23 COFFEY, Q.C.:  
 24 Q. Doctor, in that regard, is it your experience  
 25 that at times such improvements require

Page 70

1 financial resources, more money. If you're  
 2 going to accomplish certain things, you need  
 3 more money to do it.  
 4 DR. KHALIFA:  
 5 A. Absolutely. Absolutely. My four years in St.  
 6 John's were not what you would describe as the  
 7 years of plenty. I don't recall having plenty  
 8 of anything except the number of cases. I  
 9 mean, you need benchmarks, right? I mean, if  
 10 you want to compare that to Sunnybrook or you  
 11 want to compare it to UHN or Hopkins, we have  
 12 a whole team. We have a whole quality  
 13 assurance section team.  
 14 COFFEY, Q.C.:  
 15 Q. In Sunnybrook, for example.  
 16 DR. KHALIFA:  
 17 A. In Sunnybrook. I mean, in Sunnybrook, if I  
 18 want to figure out how many frozen sections  
 19 went wrong last month, it takes a click on the  
 20 button - and I am not kidding - it takes a  
 21 click on the button or a phone call because we  
 22 have one person in the department who does  
 23 nothing but collecting data for me. I ask  
 24 her, "Tell me what went wrong. Collect this."  
 25 So that's like--right there, you need

Page 71

1 personnel. You need computer system. The  
 2 computer system at the time - and I still  
 3 don't know what system is employed today - but  
 4 the computer system, if I remember, was  
 5 Meditec and people in the field know that  
 6 Meditec is a very good, robust system but not  
 7 necessarily very quality assurance friendly.  
 8 The way it pulls out management reports,  
 9 quality assurance reports, there are better  
 10 systems if that's what you want to do, and  
 11 that's very expensive. I mean, you talk to  
 12 other places in the country who are trying--or  
 13 at least in our province in Ontario, trying to  
 14 meet the standards by Cancer Care Ontario, and  
 15 hospitals are struggling with their resources  
 16 because these things are very expensive. So  
 17 I'm not sure if I'm answering your question  
 18 but -  
 19 COFFEY, Q.C.:  
 20 Q. I think you are, Doctor.  
 21 DR. KHALIFA:  
 22 A. But in St. John's there were many constraints.  
 23 Money was probably the most important, not to  
 24 underestimate other elements, which is what I  
 25 would call culture elements, because if you

Page 72

1 talk about the safety culture that we all  
 2 embrace today, that needs systemic work by the  
 3 leadership on developing the safety culture,  
 4 the non-punitive culture that will host  
 5 learning and encourage disclosure. The  
 6 culture needs work as well. So it's not all  
 7 money. Money is very important and probably  
 8 is the most important piece during that time,  
 9 but culture needed some work as well.  
 10 COFFEY, Q.C.:  
 11 Q. I take it, to evolve toward a culture where -  
 12 blame, I'll use that word.  
 13 DR. KHALIFA:  
 14 A. Yes.  
 15 COFFEY, Q.C.:  
 16 Q. Was less emphasized and more disclosure was  
 17 encouraged.  
 18 DR. KHALIFA:  
 19 A. That's the safety culture we like to see.  
 20 COFFEY, Q.C.:  
 21 Q. Safety culture, yes, and what you found in St.  
 22 John's throughout the late 1990's was--there  
 23 was room for improvement in that regard.  
 24 DR. KHALIFA:  
 25 A. Well, we have to remember that the landmark

Page 73

1 report by the Institute of Medicine "To Ere Is  
 2 Human," came in 2000. So there's a revolution  
 3 in the whole North America about patient  
 4 safety, and it wasn't unique to St. John's at  
 5 the time. The defensiveness and the fear of  
 6 blame was not unique to St. John's.  
 7 COFFEY, Q.C.:  
 8 Q. Yes, your point is well taken, Doctor, is that  
 9 by looking--you're saying, "Look, Mr. Coffey,  
 10 looking back from the perspective of 2008, the  
 11 culture that existed in St. John's and  
 12 elsewhere in the late 1990's could have been  
 13 improved in terms of safety, patient safety."  
 14 DR. KHALIFA:  
 15 A. Yes. Yes.  
 16 COFFEY, Q.C.:  
 17 Q. And the major impetus, from your perspective,  
 18 began around the year 2000.  
 19 DR. KHALIFA:  
 20 A. Yes.  
 21 COFFEY, Q.C.:  
 22 Q. North American wide anyway.  
 23 DR. KHALIFA:  
 24 A. Yes.  
 25 COFFEY, Q.C.:

Page 74

1 Q. Doctor, to give the Commissioner some sense of  
 2 the work environment in the late 1990's - and  
 3 I'm going to go on then to ER/PR, in  
 4 particular - and IHC format that came out of  
 5 usage in the late 1990's in St. John's, you've  
 6 indicated that you--after you got settled in  
 7 St. John's, over time then you began to be  
 8 consulted by your fellow pathologists at times  
 9 on particular cases.  
 10 DR. KHALIFA:  
 11 A. Yes.  
 12 COFFEY, Q.C.:  
 13 Q. As time went on, how did that develop? How  
 14 did that evolve? Did you get more and more  
 15 such consultations and did it evolve outside  
 16 St. John's? Could you tell the Commissioner  
 17 about that?  
 18 DR. KHALIFA:  
 19 A. Yes. There was - because at that time the  
 20 department did not sub-specialize formally.  
 21 Each one had a little piece of expertise. One  
 22 particular pathologists was interested in skin  
 23 pathology. Another was interested in  
 24 lymphoma. I just happened to be interested in  
 25 gastrointestinal tract. Gynaecology was by

Page 75

1 virtue of formal training, and breast  
 2 pathology, and at that time I also had  
 3 interest in prostate pathology. It just  
 4 covered a wider range. So more pathologists  
 5 would come to me for second opinion and  
 6 everybody was consulting with everybody, and  
 7 that evolved. Also, because I need to mention  
 8 that in many cancer centers there is a policy  
 9 called pathology review or cancer review.  
 10 Cancer reviews mean that a patient is referred  
 11 to one cancer center. Say, they are going to  
 12 Sloan Kettering in New York. The oncologist  
 13 in Sloan Kettering would like their own  
 14 pathologist to tell them about the tumour. So  
 15 it's not an unusual practice for Sloan  
 16 Kettering to call St. John's and say, "Send  
 17 the slides to us so we can review it by our  
 18 own pathologists." Any cancer center does  
 19 that, and there are several reasons. I mean,  
 20 there's literature about why this is a safer  
 21 practice. In St. John's we had the cancer  
 22 center, we had a very active oncology group  
 23 and there was nobody really formally reviewing  
 24 their cases. They gained trust in me. They  
 25 valued my opinion, so they started asking me

Page 76

1 to review cases. So cases coming from Gander,  
 2 Grand Falls, they would come to me and I would  
 3 write my report and I'd talk to the oncologist  
 4 in the cancer center. Of course, physically,  
 5 we are close. If they have a problem, they  
 6 can call me rather than calling the original  
 7 pathologist. My sense at the time was  
 8 pathologists in the community liked my  
 9 diagnoses, liked my services because it added  
 10 another layer of quality assurance to them, so  
 11 we built that relationship of trust between  
 12 our department and myself and the cancer  
 13 center.  
 14 COFFEY, Q.C.:  
 15 Q. And that involved you too being consulted by  
 16 pathologists from outside St. John's a well.  
 17 DR. KHALIFA:  
 18 A. And that also was going on. Even without  
 19 having a formal cancer review, a pathologist  
 20 in the community outside St. John's would send  
 21 me their case and say, "What do you think of  
 22 this" or "What do I need to do with this?"  
 23 That was going on all the time.  
 24 COFFEY, Q.C.:  
 25 Q. Now, Doctor, before I leave that aspect of the

Page 77

1 matter, that, I take--the General Hospital was  
 2 a tertiary care center.  
 3 DR. KHALIFA:  
 4 A. Yes.  
 5 COFFEY, Q.C.:  
 6 Q. And was performing that function for the  
 7 province. These consultations from outside  
 8 St. John's or even, I suppose, within St.  
 9 John's -  
 10 DR. KHALIFA:  
 11 A. Yes.  
 12 COFFEY, Q.C.:  
 13 Q. Across town.  
 14 DR. KHALIFA:  
 15 A. Yes.  
 16 COFFEY, Q.C.:  
 17 Q. By other pathologists. Were you paid in any  
 18 way extra for that? Would you paid for doing  
 19 that extra because I - was that extra work for  
 20 you and, if so, were you paid for it?  
 21 DR. KHALIFA:  
 22 A. That was extra work. I would estimate that as  
 23 probably - we can go back to the numbers - but  
 24 I would estimate that as probably .2 or .3 FTE  
 25 at the time, but the answer to your question

Page 78

1 is, no. I was not compensated for this  
 2 service.  
 3 COFFEY, Q.C.:  
 4 Q. So .2 to .3, that's two-tenths or three-tenths  
 5 of a full-time equivalent.  
 6 DR. KHALIFA:  
 7 A. Yes.  
 8 COFFEY, Q.C.:  
 9 Q. That kind of consultation work amounted to--  
 10 from looking back on it, it was between 20 and  
 11 30 percent of your work.  
 12 DR. KHALIFA:  
 13 A. Yes. Yeah, but I was still performing my work  
 14 as a staff pathologist as well.  
 15 COFFEY, Q.C.:  
 16 Q. Your own work, yes. It was the equivalent of  
 17 doing 20 or 30 percent of a full-time  
 18 position.  
 19 DR. KHALIFA:  
 20 A. Yes, on top of my work.  
 21 COFFEY, Q.C.:  
 22 Q. Did you ever take that up with anybody, the  
 23 fact that you weren't being compensated for  
 24 that?  
 25 DR. KHALIFA:

Page 79

1 A. Again, I was coming at the time from a system  
 2 where pathologists billed for their services,  
 3 in the States, so I went to my chief and I  
 4 asked him if - well, honestly, I thought that  
 5 this was in the system. I thought that I was  
 6 doing this and I was compensated and, again,  
 7 when I noticed that I wasn't compensated, I  
 8 went and asked him--I said, "Listen, I'm doing  
 9 all these things and the cancer center is not  
 10 paying me for this. Are they going to pay?"  
 11 He said, "Well, we didn't really have this  
 12 situation before, but let me talk to some  
 13 people," and he talked to some people in the  
 14 senior leadership and came back to me and he  
 15 said, "You know what, they don't think that  
 16 you need to be compensated for this. This  
 17 should be part of your work. You don't have  
 18 to do it. I'm not going to force you to do  
 19 it, but you can continue to do it." And I  
 20 told him that this is an unbelievable service  
 21 for the patients and for our residents  
 22 because, obviously, cases that come for  
 23 consultation are the difficult ones. Those  
 24 are the ones that the residents like to see  
 25 and like to learn from and, if we can do a

Page 80

1 better service for our patients, we can't deny  
 2 that. So we made a decision, a collective  
 3 decision between the two of us that this  
 4 service is going to continue and we will not  
 5 bring it up again.  
 6 COFFEY, Q.C.:  
 7 Q. And the clinical chief at this point is Dave  
 8 Haegert.  
 9 DR. KHALIFA:  
 10 A. Yes.  
 11 COFFEY, Q.C.:  
 12 Q. All right, Commissioner, it would be an  
 13 appropriate time to take a break now.  
 14 DR. KHALIFA:  
 15 A. Good.  
 16 COFFEY, Q.C.:  
 17 Q. Thank you, Doctor.  
 18 (OFF RECORD)  
 19 THE COMMISSIONER:  
 20 Q. Mr. Coffey, before you begin, I'm told that  
 21 the mice are now working but that the system  
 22 reveals that there is a laptop with a Blue  
 23 Tooth operational. So if that happens to be  
 24 your laptop, could you disable the Blue Tooth  
 25 so that we don't have any further problems

Page 81

1 with our mice. I won't make you stay after  
 2 school if you don't fess up or anything like  
 3 that. I'd just ask you to disable it. Thank  
 4 you.  
 5 COFFEY, Q.C.:  
 6 Q. Thank you, Commissioner. Commissioner, there  
 7 are three other exhibits which I will be  
 8 referring the Doctor to. They're C exhibits.  
 9 They're C-0185, 0186 and 0187. I'll be coming  
 10 to those eventually.  
 11 THE COMMISSIONER:  
 12 Q. 0185, 86, and 87 entered.  
 13 EXHIBITS ENTERED AND MARKED C-0185 THROUGH C-0187  
 14 COFFEY, Q.C.:  
 15 Q. Thank you. Now Doctor, you would, of course,  
 16 Doctor, I gather, be aware of the--generally  
 17 aware of the mandate of the Commissioner is to  
 18 look into the ER/PR retesting matter and the  
 19 changes that have occurred upon retesting, at  
 20 least for some patients tissue samples. I'm  
 21 going to ask you, Doctor, about IHC testing,  
 22 and in particular, ER/PR and what you found  
 23 when you arrived in St. John's and then have  
 24 you tell the Commissioner about how that  
 25 evolved during your time here. Perhaps you

Page 82

1 could tell us then when you arrived in St.  
 2 John's, estrogen receptors and progesterone  
 3 receptors, how were they being tested for for  
 4 breast cancer in St. John's when you arrived?  
 5 DR. KHALIFA:  
 6 A. At the time, in '95, estrogen receptors was  
 7 tested by what was known at the time as  
 8 biochemical assay. The biochemical assay  
 9 means that the surgeon excises the tumour and  
 10 a fresh piece of the tumour is cut using just  
 11 the naked eye exams, which means that someone  
 12 assumes that this is the tumour and they take  
 13 a piece and they send it directly from the OR  
 14 to the chemistry lab. So it doesn't come to  
 15 pathology at all. That little piece is  
 16 removed from the OR to the chemistry lab and  
 17 they take the tissue and they form what is  
 18 known as an emulsion, which is converting the  
 19 tissue into just a group of cells, and they  
 20 test them through their procedure and their  
 21 results are released by biochemistry. I think  
 22 they had three categories, negative, equivocal  
 23 and positive, depending on the level of  
 24 expression. At the same time, on the other  
 25 end, the surgeon sends the rest of the

Page 83

1 specimen to pathology. So pathology  
 2 technically was not involved at all in ER/PR.  
 3 By the mid '90s, going into the late  
 4 '90s, most North American institutions moved  
 5 away from that technique for a variety of  
 6 reasons. It was seen as a crude technique.  
 7 It mixes benign with malignant cells. We are  
 8 not sure that we are actually analysing  
 9 tumour. Several issues with that procedure,  
 10 and everybody was moving into  
 11 immunohistochemistry. Probably by 1990, '92,  
 12 in Oklahoma City, I remember the technology  
 13 was being introduced, the  
 14 immunohistochemistry, but was kind of  
 15 primitive. It was done on frozen sections.  
 16 So this is when pathology received now the  
 17 specimen. They prepare a frozen section,  
 18 which is a fresh section, and then they  
 19 process the specimen after that. That one  
 20 frozen section is done by  
 21 immunohistochemistry.  
 22 By later on, '94, when I was at George  
 23 Washington, they were doing it by regular  
 24 immunohistochemistry on paraffin-fixed,

Page 84

1 formalin fixed, paraffin embedded tissue.  
 2 Same thing with '95 in Georgetown, and I was  
 3 under the impression, at the time, that  
 4 probably everybody was about then doing  
 5 immunohistochemistry. I came to St. John's  
 6 and again, I found that they were still doing  
 7 it by biochemical assay. I saw that this was  
 8 suboptimal. I started again talking to people  
 9 and my leadership, Dr. Haegert, supported the  
 10 initiative. We brought the director of  
 11 biochemistry on board, a medical director, Dr.  
 12 Prabhakaran. He came on board. We started  
 13 working on how to introduce the test, and  
 14 through the period of time, the test was  
 15 introduced.  
 16 COFFEY, Q.C.:  
 17 Q. So how did you go about doing it then, Doctor,  
 18 the introduction? What happened before  
 19 initially? You've talked to the biochemist?  
 20 DR. KHALIFA:  
 21 A. Yes.  
 22 COFFEY, Q.C.:  
 23 Q. And you've talked to Dr. Haegert?  
 24 DR. KHALIFA:  
 25 A. Yes.

Page 85

1 COFFEY, Q.C.:

2 Q. So how did you go about it then?

3 DR. KHALIFA:

4 A. So the immunohistochemistry lab was up and

5 running and this was just one more antibody

6 that they can work with. The recipes were

7 already there. The procedure was there. We

8 had the personnel. So I didn't think that

9 this was going to represent a big burden on

10 our lab. We developed a program, a three-

11 phase program, with the priority at making

12 sure that the result we released by

13 immunohistochemistry will be comparable to

14 what would have otherwise been produced by the

15 biochemical assay. The logic behind that was

16 for the patient in Newfoundland at the time,

17 her option was the biochemical assay, and

18 everybody was comfortable with that and

19 clinicians were treating patients based on

20 that. So if I can adopt this new technique to

21 produce similarly reliable results, then that

22 was the goal.

23 So we started talking about purchasing

24 antibodies and of course, there were a variety

25 of antibodies available in the market,

Page 86

1 different clones. Some companies included

2 their antibody in what we call a kit, which

3 includes other chemicals for treatment. So we

4 started working with those, maybe purchased a

5 couple of samples, experiment with them,

6 working on the titration, getting the

7 concentration right, getting the testing

8 conditions up to meeting the specification of

9 the manufacturer. All of that was happening

10 in parallel with the biochemical assay. The

11 biochemical assay, we decided early on that we

12 were not going to stop that unless we are

13 fully comfortable with the

14 immunohistochemistry.

15 So the biochemical assay was going in

16 parallel and we were experimenting, and then

17 we decided to start doing the test on real

18 cases. Doing the test on real cases, Dr.

19 Haegert's view was "why don't you read the

20 slides for now until we are satisfied with the

21 procedure." So I continued reading the

22 slides, which means now that the case, they

23 are still doing the biochemical assay. We are

24 getting the tissue. We are making our

25 sections. We are staining them for ER/PR and

Page 87

1 the slides come to me and I report them. We

2 continued doing that from sometime early in

3 '97 until probably early '98. When we--and

4 during that, of course, there was discussions

5 with pathologists. I was showing the slides

6 in the Tuesday noon conference. We were

7 talking with pathologists at St. Clare's, at

8 the Grace Hospital. So we had a whole year to

9 discuss the issue.

10 COFFEY, Q.C.:

11 Q. Doctor -

12 DR. KHALIFA:

13 A. Clinicians at that time were receiving two

14 reports now. They are receiving the

15 biochemistry report and they were receiving my

16 report on the immunohistochemistry. The group

17 of pathologists at St. Clare's, certainly they

18 were doing more breast cases. They were more

19 involved in breast pathology, and they didn't

20 mind--in fact, they wanted to start seeing

21 their own cases. They didn't think that--

22 okay, so you got the technique going on. You

23 got the slides going on. We need to start

24 getting our own slides. We need to read our

25 own cases and -

Page 88

1 COFFEY, Q.C.:

2 Q. Read the ER/PR?

3 DR. KHALIFA:

4 A. I'm talking about the ER/PR.

5 COFFEY, Q.C.:

6 Q. Yes, go ahead, Doctor.

7 DR. KHALIFA:

8 A. So until when we went to the second phase of

9 this experiment, or of this procedure,

10 correlating the results, I think we started

11 talking about now sending back the slides to

12 the respective pathologists to read them,

13 because remember, at that time, we were doing

14 this service for all other antibodies. The

15 pathologist sends the block, we do the

16 antibody, and then we send the slide to them.

17 So we started to do the same with ER/PR. We

18 said "guys, now you are going to start

19 receiving your own slides for reporting." A

20 lot of discussion went on around that. A lot

21 of discussion about how are we going to report

22 them, the standardization, how do we--what

23 format, what controls are we getting, a lot of

24 discussion, and the logistics, how are you

25 going to send the slides and obviously this

Page 89

1 was a new thing for everybody and in reality,  
 2 the only new thing about ER/PR at the time was  
 3 the fact that this antibody stains the nuclei.  
 4 All the other antibodies known at the time  
 5 were staining the cytoplasm. So the  
 6 pathologist just needed to be reminded to look  
 7 at the nuclei and any pathologist, at that  
 8 time, by going to meetings and reading  
 9 literature, they knew what ER/PR is about.  
 10 So we went through this phase and then  
 11 ultimately, after they started receiving the  
 12 slides, after everybody was comfortable, we  
 13 decided to pull the plug on the biochemical  
 14 assay later on, and that technique stopped  
 15 completely.  
 16 COFFEY, Q.C.:  
 17 Q. Now Doctor, you've indicated that ER and PR  
 18 IHC method involved staining of nuclei, and  
 19 that was different than other types of IHC  
 20 stains?  
 21 DR. KHALIFA:  
 22 A. Yes.  
 23 COFFEY, Q.C.:  
 24 Q. Which are cytoplasmic or membrane?  
 25 DR. KHALIFA:

Page 90

1 A. Yes.  
 2 COFFEY, Q.C.:  
 3 Q. In terms of the ER and PR IHC method within  
 4 the laboratory itself, in terms of producing  
 5 the slides, was there anything different about  
 6 that, involving in particular antigen  
 7 retrieval, that aspect of the matter, compared  
 8 to other IHC stains?  
 9 DR. KHALIFA:  
 10 A. It needed antigen retrieval.  
 11 COFFEY, Q.C.:  
 12 Q. Yes.  
 13 DR. KHALIFA:  
 14 A. Other antibodies needed antigen retrieval too.  
 15 COFFEY, Q.C.:  
 16 Q. We are advised, we understand that it involved  
 17 heating the slides, considerably heating the  
 18 slides, like to -  
 19 DR. KHALIFA:  
 20 A. Yes.  
 21 COFFEY, Q.C.:  
 22 Q. - in effect, I won't say boiling them, but  
 23 certainly coming close to boiling them.  
 24 DR. KHALIFA:  
 25 A. Yes.

Page 91

1 COFFEY, Q.C.:  
 2 Q. That sort of a process involving IHC, how many  
 3 stains at that time were using heat induced  
 4 retrieval?  
 5 DR. KHALIFA:  
 6 A. I wouldn't be able to know that.  
 7 COFFEY, Q.C.:  
 8 Q. Do you recall, was that--within the laboratory  
 9 itself, was that something new at the time, do  
 10 you recall, like the idea that boiling the  
 11 slides, I use the phrase advisedly. I don't  
 12 mean to actually boil them, but significantly  
 13 -  
 14 DR. KHALIFA:  
 15 A. Heating.  
 16 COFFEY, Q.C.:  
 17 Q. - heating the slides, was that common at the  
 18 time, do you know, or was it -  
 19 DR. KHALIFA:  
 20 A. I wouldn't remember that. I don't know.  
 21 COFFEY, Q.C.:  
 22 Q. Now Doctor, at the time, you indicated that  
 23 you would have had to choose, of course,  
 24 between the various antibodies that were  
 25 available for ER and PR. There were more--

Page 92

1 there's more than one antibody available for  
 2 each. How would you go about doing that? How  
 3 would you decide on which antibody to use?  
 4 DR. KHALIFA:  
 5 A. You look at the literature. You see what  
 6 clone is more popular. Of course, there is  
 7 the finance part, which one comes in a kit and  
 8 which ones we can use our own solutions.  
 9 There are several factors, and when we  
 10 started, we started with different antibodies  
 11 to try them. Like any experiment in the lab,  
 12 you try several antibodies until you are happy  
 13 with one vendor, and you go for it.  
 14 COFFEY, Q.C.:  
 15 Q. And Doctor, when you first got involved in  
 16 this in St. John's, there were kits involved.  
 17 I take it each individual patient's tissue  
 18 involved the usage of a kit?  
 19 DR. KHALIFA:  
 20 A. Some companies marketed their antibody in  
 21 kits, in the kit format.  
 22 COFFEY, Q.C.:  
 23 Q. The one that was finally decided upon or  
 24 chosen in St. John's, it wasn't in kit form,  
 25 was it?

Page 93

1 DR. KHALIFA:  
 2 A. I would suspect no, because kits are very  
 3 expensive.  
 4 COFFEY, Q.C.:  
 5 Q. We've heard about a DAKO auto stainer.  
 6 DR. KHALIFA:  
 7 A. Okay.  
 8 COFFEY, Q.C.:  
 9 Q. Are you familiar with the DAKO machine that  
 10 they used in St. John's in the late 1990s?  
 11 DR. KHALIFA:  
 12 A. I don't know exact the specifics of the  
 13 machine, but I am familiar with DAKO machines.  
 14 COFFEY, Q.C.:  
 15 Q. Doctor then, I'll come back then. So in  
 16 deciding to go ahead with or get involved in  
 17 ER/PR IHC staining in St. John's, you had to  
 18 choose the clone? Choose amongst a number of  
 19 clones. You would have indicated--you  
 20 indicated you would have looked at a number of  
 21 different ones, tried them. Finances would be  
 22 of interest, the form they came in.  
 23 DR. KHALIFA:  
 24 A. Yes.  
 25 COFFEY, Q.C.:

Page 94

1 Q. Kit or otherwise. We understand that the  
 2 dilutions can be different, depending upon the  
 3 clone, and in fact depending upon the  
 4 location?  
 5 DR. KHALIFA:  
 6 A. Yes.  
 7 COFFEY, Q.C.:  
 8 Q. Were you involved in that, deciding what the  
 9 dilution should be in St. John's?  
 10 DR. KHALIFA:  
 11 A. Yes. Dilution would be different. As you  
 12 know, the antibody comes with a specification  
 13 sheet. The manufacturer advises you the  
 14 temperature, advises you how to do the  
 15 recipes, sort of a cooking recipe.  
 16 COFFEY, Q.C.:  
 17 Q. Yes.  
 18 DR. KHALIFA:  
 19 A. So if they say you can use one to 100  
 20 concentration, we try that and it is still  
 21 negative and now, remember, we are running the  
 22 biochemistry in parallel. We want to hit the  
 23 same, the consistent result. So if the  
 24 biochemistry is saying this case is negative  
 25 and we are getting it positive, so probably we

Page 95

1 are using too much concentration. We want to  
 2 get to the biochemistry, and we had external  
 3 controls of known positive cases that we used.  
 4 So we had few tools to work with to adjust the  
 5 concentration and the temperature and all the  
 6 testing conditions of the lab.  
 7 COFFEY, Q.C.:  
 8 Q. As I indicated, as well then the testing, the  
 9 heating conditions, and particularly the time  
 10 period, the duration of the heating, I take it  
 11 could change?  
 12 DR. KHALIFA:  
 13 A. Exactly, and even the time of the antibody and  
 14 do you put it at room temperature, higher,  
 15 lower, ten minutes, a whole day.  
 16 COFFEY, Q.C.:  
 17 Q. All of that had to be addressed at the time?  
 18 DR. KHALIFA:  
 19 A. Of course.  
 20 COFFEY, Q.C.:  
 21 Q. Were there any records kept of that at the  
 22 time, that whole process?  
 23 DR. KHALIFA:  
 24 A. I was doing this with technologists and I  
 25 would give her advice and I would look at the

Page 96

1 slides with her and she would keep record as  
 2 Khalifa said this or said that, and bring it  
 3 back and actually, I remember the slides would  
 4 come labelled with different--so I would get  
 5 different slides on the tray with different  
 6 concentrations. So I have the chance to look  
 7 at them. Okay, we pick that concentration  
 8 because the one before were too faint or the  
 9 one after were too concentrated. So that  
 10 stuff should have stayed in the lab.  
 11 COFFEY, Q.C.:  
 12 Q. So Doctor, I take it then, in getting involved  
 13 in this, having chosen the clone or at least  
 14 narrowed down the clones, you looked at and  
 15 experimented with different dilutions?  
 16 DR. KHALIFA:  
 17 A. Yes.  
 18 COFFEY, Q.C.:  
 19 Q. Comparing it all the time to known positives?  
 20 DR. KHALIFA:  
 21 A. Yes.  
 22 COFFEY, Q.C.:  
 23 Q. And the biochemistry?  
 24 DR. KHALIFA:  
 25 A. Yes.



Page 97

1 COFFEY, Q.C.:

2 Q. Biochemical results. Different heating times,

3 antigen exposure times?

4 DR. KHALIFA:

5 A. Yes.

6 COFFEY, Q.C.:

7 Q. Clone exposure times and so on, you would have

8 gone through that whole process?

9 DR. KHALIFA:

10 A. Yes.

11 COFFEY, Q.C.:

12 Q. From your perspective. Had you ever done

13 anything like that before, like that kind of a

14 process?

15 DR. KHALIFA:

16 A. Experimental. Remember before that, I wasn't

17 playing that role in any other hospital, but I

18 was a researcher, I was -- as a resident in

19 Oklahoma, I was probably the very first

20 resident to acquire a university research

21 grant. I had my own technologist at the time,

22 a PhD student, to run different antibodies,

23 and by the time I came to St. John's I already

24 had publications on Her-2-neu, EGFR, P53. in

25 other tumours, in female genital tract cancer.

Page 98

1 So every time we -- Her-2-neu antibodies in

2 the early 90s was experimental, so we had to

3 do that same thing, experimentation, and even

4 in St. John's the late Dr. Robb was interested

5 in research and he and I would meet and talk

6 about certain projects, and get new

7 antibodies, and when I started in St. John's

8 the university gave me SEED grant of

9 \$10,000.00 that I used to purchase antibodies

10 and me and Des Robb would sit and experiment

11 with the antibodies. So that is kind of like

12 a normal procedure for any antibody -- any new

13 antibody.

14 COFFEY, Q.C.:

15 Q. In fact, were you tomorrow or the next day to

16 be ordering an antibody, for example, at

17 Sunnybrook, if you're involved in that end of

18 it at Sunnybrook, does that same sort of

19 process go on even today if there's a new

20 antibody comes into the lab?

21 DR. KHALIFA:

22 A. In most -- to the best of my knowledge, in

23 most tertiary care academic medical centres in

24 North America, immunohistochemistry has a

25 different -- falls under anatomic pathology,

Page 99

1 but it's a different department. In our place

2 in Sunnybrook, we have a director of

3 immunohistochemistry, we have a senior tech,

4 we have a group of techs, we have -- in many

5 places they have RD people. We don't have an

6 RD person, but -- so in Sunnybrook, if I want

7 a new antibody, I would contact so and so and

8 tell her that why don't we buy this antibody,

9 and she will go through all that.

10 COFFEY, Q.C.:

11 Q. But the process, your understanding that she

12 goes through in a general way would be the

13 same one you went through back in the 90s in

14 St. John's?

15 DR. KHALIFA:

16 A. Yes, sir.

17 COFFEY, Q.C.:

18 Q. There's a suggested approach by the

19 manufacturer, and you set out to test is that

20 going to work here in my institution?

21 DR. KHALIFA:

22 A. Yes, because what the manufacturer says on the

23 spec sheet -- again just like a cooking recipe

24 someone can give you to cook and you try it

25 and it just doesn't taste right. So just

Page 100

1 because the manufacturer says that this is the

2 way to do it doesn't necessarily guarantee

3 that it works every time under those

4 conditions.

5 COFFEY, Q.C.:

6 Q. Doctor, if we could, please, while we're on

7 the topic, if we could look at P-2423, please,

8 and page 28, please. Again on the same page

9 under local lectures, the fifth bullet, see

10 that? It's "Significance of ER/PR and breast

11 cancer. A presentation at the Newfoundland

12 Cancer Treatment and Research Foundation,

13 Continuing Medical Education Program, March,

14 1997". So I take it, Doctor, that you were

15 involved enough in the ER/PR to have given a

16 lecture here in St. John's in 1997 involving

17 ER/PR?

18 DR. KHALIFA:

19 A. Well, I was trying to get the word out that we

20 are doing this, and that was one of many

21 endeavours. I remember even calling the

22 Evening Telegram at the time. I knew that

23 there was someone who writes a health related

24 column, and I called her, I left messages on

25 her voice mail, and after several unsuccessful

Page 101

1 attempts, she finally -- I finally got hold of  
 2 her and I told her, listen, there is something  
 3 called immunohistochemistry and ER/PR, and we  
 4 are introducing this and it's going to be very  
 5 useful for patients in Newfoundland, and she  
 6 told me that's probably not something that  
 7 people are interested to read about. So I  
 8 wouldn't -- at that time I wouldn't have  
 9 missed a chance to get the word out to as many  
 10 people as possible that this is a better  
 11 technology and we are embarking on it.  
 12 COFFEY, Q.C.:  
 13 Q. Doctor, this lecture at the Cancer Centre, the  
 14 Newfoundland Cancer Treatment and Research  
 15 Foundation Centre, do you recall who the  
 16 audience was, not necessarily individuals, but  
 17 who is your audience, who was your lecture  
 18 directed at, do you recall? Were they  
 19 oncologists, pathologists, a mixture,  
 20 technologists?  
 21 DR. KHALIFA:  
 22 A. I would probably assume it was residents,  
 23 pathology residents, pathologists,  
 24 oncologists, breast surgeons, and some of the  
 25 health care providers around this area.

Page 102

1 COFFEY, Q.C.:  
 2 Q. Could we just go back one page. Doctor, there  
 3 is invited lectures on the page before, page  
 4 27 of your CV. Look down through it, the  
 5 third bullet, "National Society for  
 6 Histotechnology annual meeting, two workshops.  
 7 Staining estrogen and progesterone receptors,  
 8 and beyond the -- how do you pronounce that?  
 9 DR. KHALIFA:  
 10 A. The Feulgen. Okay, there was -- the  
 11 histotechnologists annual meetings in North  
 12 America, they invite speakers to talk to  
 13 histotechnologists, and one particular  
 14 organization was interested in ER/PR and  
 15 interested in Feulgen reaction. Feulgen  
 16 reaction at that time was a special stain that  
 17 stains nuclei, and for the machine to be able  
 18 to read and assess how much DMA is in the  
 19 nucleus, for something not related to breast  
 20 cancer, anyways, but it was used in breast  
 21 cancer also at the time. So they invited me  
 22 to go there and give a workshop and a  
 23 presentation on the theoretical aspect of  
 24 ER/PR so that histotechnologists will  
 25 understand what the stain means. That was

Page 103

1 kind of, I would describe, as a successful --  
 2 actually it was a very successful  
 3 presentation, they liked it, and then they  
 4 invited me the next year in their next  
 5 meeting, it was in Salt Lake City, again they  
 6 loved it, so I was invited again to give the  
 7 same talk in -- yeah, somewhere on the east  
 8 coast, in Rhode Island.  
 9 COFFEY, Q.C.:  
 10 Q. Providence, Rhode Island?  
 11 DR. KHALIFA:  
 12 A. Yes.  
 13 COFFEY, Q.C.:  
 14 Q. Doctor, why I ask about this now is that -- so  
 15 this did not involve breast cancer per se?  
 16 DR. KHALIFA:  
 17 A. Well, the primary reason for ER/PR was breast  
 18 cancer.  
 19 COFFEY, Q.C.:  
 20 Q. But it did relate to the staining of estrogen  
 21 and progesterone receptors, so you were asked  
 22 on a number of occasions in the last 1990s to  
 23 go and talk to histotechnologists in the US  
 24 about the theoretical aspects?  
 25 DR. KHALIFA:

Page 104

1 A. The theoretical background of the stain, yes.  
 2 COFFEY, Q.C.:  
 3 Q. If we could, please, Exhibit P-1889. Doctor,  
 4 this is a letter dated March 12th, 1997. It's  
 5 from yourself and it's copied to Dr. Haegert  
 6 and Mr. Whelan, Vern Whelan, and it's a letter  
 7 addressed to Terry Gulliver, and you write,  
 8 "The ER/PR kit we have tried, and which  
 9 offered us very good and reliable results, has  
 10 been totally consumed by late last week,  
 11 Thursday, February 20th. You knew this and  
 12 you were trying to use a new detection system  
 13 in combination with an old primary antibody  
 14 that the laboratory had for some time. This  
 15 combination did not work. I called you on  
 16 Monday morning at the Janeway Hospital site,  
 17 told you were having an emergency situation,  
 18 any trial of a new technique needs to be done  
 19 in parallel with a well established one before  
 20 a switch could be safely made. I thought I  
 21 conveyed to you this message clearly and asked  
 22 you to replace the ER/PR kit as soon as  
 23 possible. This was an emergency situation  
 24 because at the time we had two cases referred  
 25 from Corner Brook and one in-house case from

Page 105

1 1996 which we're waiting for this test to be  
 2 reliably performed. As of now the kit has not  
 3 arrived and I was told that you are out of  
 4 town. Ordering such a kit in a timely fashion  
 5 was vital and a follow up on the order was  
 6 even more crucial. Mr. Gulliver, I do not  
 7 think you fully appreciate the delicacy of  
 8 this test, its clinical consequences, and the  
 9 overall emotional charge in the public  
 10 regarding this very sensitive procedure. I'm  
 11 also uncertain whether our service is being  
 12 run as smoothly as it should. The medical  
 13 legal implications of delaying this test are  
 14 huge, and I want to clearly document my  
 15 concerns at this time. You willingly have put  
 16 me in a situation where I have to explain to  
 17 other physicians why our results are being  
 18 delayed. I do not want to be responsible for  
 19 this. I'm also have a very difficult time  
 20 communicating with you basically because you  
 21 are either out of town, on another site, or  
 22 extremely busy within this site. I would have  
 23 expected you to approach this issue with more  
 24 precision since Monday morning, as you had  
 25 told me, and even more not to have allowed the

Page 106

1 first kit to be consumed without obtaining a  
 2 replacement in a timely manner". Now, Doctor,  
 3 this is early 1997, and I take it this  
 4 reference then to the kits here would suggest  
 5 that at that point the kit process was still  
 6 being used and you're at the stage where  
 7 you're involved in trying to do this  
 8 comparison?  
 9 DR. KHALIFA:  
 10 A. Yes.  
 11 COFFEY, Q.C.:  
 12 Q. Parallel testing. Doctor, I have this here  
 13 and refer you to it because I want to ask you  
 14 just generally about it. How, if at all, does  
 15 this reflect the relationship between yourself  
 16 as a site chief, and Mr. Gulliver as the  
 17 manager of anatomical pathology in terms of  
 18 spheres of influence? He obviously had to  
 19 order the kit.  
 20 DR. KHALIFA:  
 21 A. Yes.  
 22 COFFEY, Q.C.:  
 23 Q. You're complaining he hasn't done so.  
 24 DR. KHALIFA:  
 25 A. Yes.

Page 107

1 COFFEY, Q.C.:  
 2 Q. So could you tell the Commissioner, please,  
 3 what, if any, problems that division of  
 4 responsibility had for you at the time?  
 5 DR. KHALIFA:  
 6 A. Well, the issue here is two-fold. One is  
 7 changing the procedure without doing the  
 8 necessary required testing and getting me  
 9 involved, and the other one was not ordering  
 10 it in a timely fashion.  
 11 COFFEY, Q.C.:  
 12 Q. So we'll deal with the first one then, and  
 13 then we'll go to the second, okay.  
 14 DR. KHALIFA:  
 15 A. Okay, but to answer your question about my  
 16 relationship with Mr. Gulliver, Mr. Gulliver  
 17 was a very busy man, he had to juggle many  
 18 responsibilities. There were issues with the  
 19 other labs in the city, and I think they were  
 20 talking about closing the Grace and maybe even  
 21 merging St. Clare's, I don't know, and he was  
 22 -- at that time he was the president of the  
 23 national consortium organization for  
 24 histotechnologists. So he had the national  
 25 role, he had the local role, he had a

Page 108

1 province-wide role. He was very busy. I was  
 2 having communication problems with him, not to  
 3 be reflected in any negative way on him and  
 4 his dedication to the place. I had no doubt  
 5 at all that everybody was coming to the lab  
 6 trying to do the best job they can, and I had  
 7 no concerns about that whatsoever. It's just  
 8 the dynamics of the place at that time, it was  
 9 very stressful time, cutting jobs and  
 10 straining people -- people were very stressed.  
 11 We were almost like chasing ourselves. You  
 12 are trying to relieve stress on one hand, and  
 13 then you are hit by something else that  
 14 increases the level of stress again and he was  
 15 just not available.  
 16 COFFEY, Q.C.:  
 17 Q. And, in particular, you're, I take it,  
 18 admonishing him or asking, if not admonishing  
 19 him, please don't let us run out of kits?  
 20 DR. KHALIFA:  
 21 A. Yes.  
 22 COFFEY, Q.C.:  
 23 Q. First of all, this shouldn't have happened in  
 24 the first place.  
 25 DR. KHALIFA:

Page 109

1 A. Yes.  
 2 COFFEY, Q.C.:  
 3 Q. And I, Dr. Khalifa, having brought it to your  
 4 attention, I would have expected you to have  
 5 actually ordered it?  
 6 DR. KHALIFA:  
 7 A. Yes.  
 8 COFFEY, Q.C.:  
 9 Q. But as well, though, you refer to him having -  
 10 - as you pointed out, there's two aspects to  
 11 this. The other part of it is using a  
 12 particular kit with an old primary antibody  
 13 without consulting yourself. Could you tell  
 14 us, please, what potential effects that had,  
 15 negative effects that had on your approach?  
 16 DR. KHALIFA:  
 17 A. I think it's an example of a communication  
 18 breakdown. Obviously with him, and his  
 19 obligations and responsibility to be  
 20 physically responsible, he would rather use  
 21 our local recipe with just the antibody rather  
 22 than the kit because it's cheaper. I thought  
 23 that I should have been part of that decision.  
 24 COFFEY, Q.C.:  
 25 Q. You pointed out here, this combination did not

Page 110

1 work, in the fourth line there?  
 2 DR. KHALIFA:  
 3 A. Yes.  
 4 COFFEY, Q.C.:  
 5 Q. So the -- this particular thing, I take it,  
 6 that was addressed, was it, this usage of in  
 7 future -- was that a problem afterwards, using  
 8 old primary antibodies?  
 9 DR. KHALIFA:  
 10 A. I know that we tried different combination of  
 11 things and colouring solutions and things, and  
 12 remember here you are on one hand trying to  
 13 optimize the technique and on the other hand -  
 14 - and the industry is moving on, they keep  
 15 developing new technologies, and I remember  
 16 even we had to move to a better, a more  
 17 sensitive staining mix - I forget what it was,  
 18 but, I mean, it's a constant challenge to keep  
 19 up to date with the industry and to run a  
 20 reliable lab on the other hand. With all the  
 21 finances involved, it's not easy.  
 22 COFFEY, Q.C.:  
 23 Q. You do begin the second paragraph here by  
 24 saying, "Mr. Gulliver, I do not think you  
 25 fully appreciate the delicacy of this test,

Page 111

1 its clinical consequences, and the overall  
 2 emotional charge in the public regarding this  
 3 very sensitive procedure". This procedure,  
 4 the ER/PR kit, of course, related to breast  
 5 cancer?  
 6 DR. KHALIFA:  
 7 A. Yes.  
 8 COFFEY, Q.C.:  
 9 Q. That, I take it, is the last part of what  
 10 you're referring to here, this involves breast  
 11 cancer and you should be -- this is important  
 12 -- it's important, period, but it's important  
 13 in a public sense?  
 14 DR. KHALIFA:  
 15 A. Yes, ER/PR at that time was solely done for  
 16 breast cancer.  
 17 COFFEY, Q.C.:  
 18 Q. And you refer to the delicacy of the test.  
 19 What does that involve?  
 20 DR. KHALIFA:  
 21 A. The delicacy of the test is -- it's obvious.  
 22 Well, for one thing, you are running a test  
 23 that has a gold standard. Remember the gold  
 24 standard at the time was the biochemical  
 25 assay. For other antibodies that we introduce

Page 112

1 in the lab, there is no gold standard. So in  
 2 other words, if it works or it doesn't work,  
 3 you wouldn't be able to tell, but here I have  
 4 this gold standard and my diagnosis has always  
 5 to meet one of these three categories;  
 6 negative, equivocal, or positive. So there's  
 7 this monitoring aspect on the one hand. On  
 8 the other hand, it has a prognostic value  
 9 which means what to tell the patient about the  
 10 likelihood of recurrence, and then it has a  
 11 third dimension, which is therapy. At that  
 12 time, I think the rationale was to give a  
 13 certain drug known as Tamoxifen to ER positive  
 14 patients to prevent or -- to delay the  
 15 recurrence or to prevent the recurrence. So  
 16 here you are running a lab test that has a  
 17 prognostic significance, it has a therapeutic  
 18 significance, it has a gold standard to  
 19 compare it with, and it is technically, as any  
 20 other immunohistochemistry, technically  
 21 sensitive; sensitive to heating time, antibody  
 22 dilution, all the other factors we talked  
 23 about, and it serves a disease that could  
 24 potentially be lethal. So it's a serious  
 25 matter.

Page 113

1 COFFEY, Q.C.:

2 Q. Did Mr. Gulliver ever speak to you about this

3 afterward, do you recall?

4 DR. KHALIFA:

5 A. I don't recall a meeting or a formal setting

6 where the issue was discussed, but probably we

7 bumped into each other in the hall and talked

8 about it.

9 COFFEY, Q.C.:

10 Q. Did that sort of problem in relation to ER/PR

11 arise again, do you recall, your problem with

12 not having the material there?

13 DR. KHALIFA:

14 A. Not to my memory, no. There were other

15 issues, but not the fact that the antibody ran

16 out and we didn't have it.

17 COFFEY, Q.C.:

18 Q. What were those -- what were -- if there were

19 other issues involving ER and PR, what were

20 they, do you recall?

21 DR. KHALIFA:

22 A. Well, yes, you will get -- you will get a case

23 that the pathologist forgot to order ER/PR

24 because remember before that, pathologists

25 were not involved, when the case goes to the

Page 114

1 chemistry, pathologists had nothing to do with

2 it.

3 COFFEY, Q.C.:

4 Q. Pathologists didn't order the ER/PR?

5 DR. KHALIFA:

6 A. They didn't order the tests.

7 COFFEY, Q.C.:

8 Q. In those days, who was actually doing the

9 ordering of the tests?

10 DR. KHALIFA:

11 A. Well, as in any lab, the pathologist who looks

12 at the case -- because here you have a

13 patient, they removed a mass from the patient,

14 they don't know if it's benign or malignant,

15 so the pathologist decides that this is

16 cancer. So the pathologist is the first gate

17 keeper, if you will, is the first person to

18 identify cancer in that patient, so and the

19 patient will have a whole collection of

20 blocks, some of them are benign, some of them

21 are malignant and some of them are in between.

22 So the pathologist looks at the block and

23 chooses the best block to present cancer and

24 then orders the lab through my requisition

25 form to perform the test. So if a pathologist

Page 115

1 is busy or distracted, they make a diagnosis

2 of cancer and they forget to order the ER/PR,

3 then it will never be done. The next thing I

4 get is a phone call from an oncologist saying,

5 well, what's going on, I received this case of

6 cancer, the patient is coming to my office

7 tomorrow or whatever or the patient is here

8 and I don't have ER and PR on her. I go to

9 the computer and it wasn't ordered, so I have

10 to run to the pathologist and say, would you

11 please choose a block and then they order--so

12 that was an ongoing thing, which is

13 understandable in any lab you're introducing a

14 new procedure, people are bound to forget.

15 COFFEY, Q.C.:

16 Q. So this wasn't so much--this didn't involve

17 the technologists, this was your fellow

18 pathologists because the fact that they were

19 under the new regime, which I'll be getting to

20 in a moment, they were going to have to order

21 the ER/PR.

22 DR. KHALIFA:

23 A. Yes.

24 COFFEY, Q.C.:

25 Q. And at times, at least in the early years,

Page 116

1 while you were still here in St. John's, at

2 times they forgot to do so?

3 DR. KHALIFA:

4 A. Yes.

5 COFFEY, Q.C.:

6 Q. And a complaint about that would come to you?

7 DR. KHALIFA:

8 A. And remember, everybody was doing breast, so

9 you have like six or seven people, it's not

10 like a selected group who does breast.

11 COFFEY, Q.C.:

12 Q. Yes. If we could, please, Exhibit P-1855?

13 This is a letter dated April 10th, 1997 to Dr.

14 Cook from yourself. You write "Here's a

15 summary of a few cases where we managed to

16 have simultaneous immuno and biochem

17 assessment of ER/PR. If we follow the

18 suggested cut-off line of 30 percent on immuno

19 to achieve the highest possible correlation

20 with the bio, you can see we seem to be doing

21 very well. The very first case, '97 1400,

22 which would be considered as ER positive by

23 immuno was in fact negative by bio. Of

24 course, the number of cases is still too low

25 to come to final conclusion, but I think

Page 117

1 overall we are not doing bad. I would  
 2 appreciate your thoughts on this. Of course  
 3 your efforts to provide the parallel  
 4 biochemical studies are extremely valuable.  
 5 Let me know if you have any further suggestion  
 6 as to make this task more valid and effective.  
 7 Also let me know of any possible correlation  
 8 with Mayo." So what was going on here,  
 9 Doctor, at this point, in early '97? And just  
 10 so you can see, Doctor, the second page of the  
 11 exhibit is a document "Correlation with  
 12 biochemistry, biochemical reporting, 0 to 3,  
 13 negative; 3 to 20 equivocal; and greater than  
 14 20 positive. I take it they are biochemical  
 15 numbers? And then you have  
 16 immunohistochemistry number, the results,  
 17 biochemistry number and the results. So what  
 18 was going on here, Doctor, overall with this  
 19 letter to Dr. Cook and the attachment? At  
 20 what stage was the process at the time?  
 21 DR. KHALIFA:  
 22 A. Dr. Cook at the time was the site chief at St.  
 23 Clare's Hospital, again, this was a very  
 24 active group in breast--actually, they had  
 25 more breast cancer than we did at the Health

Page 118

1 Sciences Centre. They were very  
 2 knowledgeable, they were up to date with the  
 3 literature and I counselled with them a lot on  
 4 the fine details of ER/PR testing. And I  
 5 wanted to present to him the very small  
 6 collection--can we go to the second page  
 7 please?  
 8 COFFEY, Q.C.:  
 9 Q. We surely can, Doctor.  
 10 DR. KHALIFA:  
 11 A. Yeah, what's happening here is we, because the  
 12 literature at the time was--people believed at  
 13 the time that a case would be, if 30 percent  
 14 of malignant cells are positive, then that  
 15 case would be positive by biochemical assay,  
 16 so remember here I'm dealing with an  
 17 oncologist and I'm thinking if the oncologist  
 18 was used to seeing results in the biochemical  
 19 assay and now they are seeing  
 20 immunohistochemical assay, they will ask  
 21 themselves how can I translate these results  
 22 to the old system? And the conventional  
 23 thinking at the time was 30 percent. If 30  
 24 percent of the malignant cells were positive  
 25 on immunohistochemistry, the biochemical assay

Page 119

1 would have been positive. Again, at that  
 2 time, Tamoxifen was known to be a tricky drug  
 3 because it delays--its effect on breast cells  
 4 is that it delays its progression to cancer,  
 5 so in other words, if a patient had breast  
 6 cancer, was removed and turned out to be ER  
 7 positive, if that patient receives Tamoxifen,  
 8 then her chances for survival are higher or  
 9 her chances for recurrence are lower, but the  
 10 flip side of that coin is that Tamoxifen  
 11 induces or pushes uterine endometrial cells in  
 12 the uterus to become malignant, so you are  
 13 giving a patient a drug to delay her breast  
 14 cancer on the one hand, but you are  
 15 encouraging her uterine cancer on the other.  
 16 So unless the patient is going to really  
 17 benefit from the Tamoxifen in preventing her  
 18 breast cancer, she really doesn't need that  
 19 drug because it will increase her risk for  
 20 uterine cancer. That was the conventional  
 21 wisdom at the time. Of course, then they came  
 22 back and they said, well don't give Tamoxifen  
 23 for more than five years. Well, five years is  
 24 enough already, you've stimulated the uterus  
 25 so much that now, after five years, you're

Page 120

1 really pushing the envelop, pushing your luck.  
 2 And then in, I think in 2003, maybe 2004, they  
 3 came up with another drug known as Femara and  
 4 Femara is superior to Tamoxifen in the fact  
 5 that it does the same effect on breast, but  
 6 doesn't carry the risk for endometrial cancer.  
 7 Well, of course, it's nice now to look  
 8 retrospectively through the time ball, but at  
 9 the time we only had Tamoxifen. People were  
 10 very nervous about Tamoxifen. Yes, Tamoxifen  
 11 gives hope to breast cancer survivors, but  
 12 puts them at high risk for endometrial cancer.  
 13 Well you can argue and say what about the  
 14 patient who had her uterus already removed for  
 15 another reason, then maybe she's not at the  
 16 risk for uterine cancer. So these decisions,  
 17 obviously, are not made at our level, it is  
 18 made at the oncologist's level, they see the  
 19 patient, they knew them, they know what's best  
 20 for them. My job, as I saw it, was to  
 21 communicate to the clinician, the oncologist a  
 22 message that is clear and is meaningful is  
 23 their head to try to translate that to the old  
 24 biochemical testing. So, we played a little  
 25 bit with the 30 percent thing and we were

Page 121

1 talking about it, whether we should, we should  
 2 use it or not use it and how do we word the  
 3 report and things of that nature.  
 4 COFFEY, Q.C.:  
 5 Q. And I'll be getting to that, so at this point-  
 6 -because all of that discussion with Dr. Cook,  
 7 in particular, occurs in early '98. In early  
 8 '97, you, I take it, were still into this  
 9 simultaneous immuno and biochemical assessment  
 10 of ER/PR and the first paragraph concludes  
 11 with, "Of course, the number of cases is still  
 12 too low to come to a final conclusion, but I  
 13 think overall we are not doing bad. I will  
 14 appreciate your thoughts on this." That will  
 15 be Don Cook's thoughts. Don would have been,  
 16 Don Cook would have been the site chief at St.  
 17 Clare's at the time?  
 18 DR. KHALIFA:  
 19 A. That's correct.  
 20 COFFEY, Q.C.:  
 21 Q. So at the time you were inviting his input  
 22 into this?  
 23 DR. KHALIFA:  
 24 A. All the time.  
 25 COFFEY, Q.C.:

Page 122

1 Q. And in particular, his hospital, the hospital  
 2 he worked in was the one with the most breast  
 3 cancer patients?  
 4 DR. KHALIFA:  
 5 A. That's correct.  
 6 COFFEY, Q.C.:  
 7 Q. And you say that is, of course, your efforts,  
 8 that would be Don Cook's efforts to provide  
 9 the parallel biochemical studies are extremely  
 10 valuable. Do you recall what -  
 11 DR. KHALIFA:  
 12 A. No, "of course, your efforts to provide the  
 13 parallel biochemical study are extremely  
 14 valuable", I don't know what that means.  
 15 COFFEY, Q.C.:  
 16 Q. Was he identifying patients that in fact had  
 17 had biochemical -  
 18 DR. KHALIFA:  
 19 A. Yeah.  
 20 COFFEY, Q.C.:  
 21 Q. At St. Clare's done -  
 22 DR. KHALIFA:  
 23 A. And maybe the biochemical result will go  
 24 directly to St. Clare's, so I maybe had no  
 25 access to this or--and I think they were also

Page 123

1 at the time sending some cases to Mayo Clinic.  
 2 So we wanted feedback, I wanted feedback from  
 3 him as to how are the cases being tested in  
 4 Mayo Clinic compared to our stain, just to  
 5 make it a tight case.  
 6 COFFEY, Q.C.:  
 7 Q. And, if we could, please Registrar, Exhibit P-  
 8 1857? Now, Doctor, the first page of this is  
 9 an agenda, it's a notice of a meeting,  
 10 Division of Anatomical Pathology, Health Care  
 11 Corporation of St. John's, there are a number  
 12 of individuals--it's addressed to a number of  
 13 individuals, including Dr. Haegert and Dr.  
 14 Cook, Dr. Pushpanathan, Mr. Gulliver, Mr.  
 15 Murphy. John Murphy was who, do you recall?  
 16 Who was John Murphy, do you recall?  
 17 DR. KHALIFA:  
 18 A. I'm sorry, I'm sorry.  
 19 COFFEY, Q.C.:  
 20 Q. It's from, now this is, in fact, it's  
 21 addressed to yourself. It's from Dr. Parai  
 22 who is the site chief, I take it, at the Grace  
 23 at the time. And June 17th, 1997 is the date  
 24 of the meeting. It's going to be at the Grace  
 25 and there's an agenda here spelled out,

Page 124

1 including "Business Arising". Paragraph C is  
 2 "ER and PR receptors, immunoperoxidase  
 3 staining." So, I take it, Doctor, that--I'm  
 4 going to ask you about this, the idea of  
 5 having kind of a formal meeting with an  
 6 agenda, notice of meeting and agenda, had that  
 7 existed when you arrived in St. John's for  
 8 this sort of -  
 9 DR. KHALIFA:  
 10 A. I don't recall, I don't recall it.  
 11 COFFEY, Q.C.:  
 12 Q. But certainly by this point in time, that is  
 13 June of '97, the idea that you would be  
 14 advised of a meeting as a site chief, invited  
 15 to a meeting at another site, that there would  
 16 be a formal agenda, minutes kept, that was  
 17 certainly established by the middle of 1997?  
 18 DR. KHALIFA:  
 19 A. I was quite uptight about this.  
 20 COFFEY, Q.C.:  
 21 Q. Okay, why was that?  
 22 DR. KHALIFA:  
 23 A. Because I believe in documentation and I  
 24 wanted to build structure in the process.  
 25 COFFEY, Q.C.:

Page 125

1 Q. Certainly by this point in time, the middle of  
 2 '97, there's structure, there's an agenda, a  
 3 written agenda, there's minutes being kept and  
 4 in fact when we look, we'll see that the  
 5 minutes were being approved, okay. If we  
 6 could, please Registrar, before I go to the  
 7 June one, if we could go back--I want to look,  
 8 please, at Exhibit P-1856. Now, Doctor, this  
 9 particular one is for the minutes of the  
 10 anatomic pathology site chiefs and divisional  
 11 managers' meeting of the month before, May  
 12 13th, 1997. It was held at St. Clare's  
 13 Hospital. A number of people present: Drs.  
 14 Cook, Khalifa, Parai, Pushpanathan, Mr.  
 15 Gulliver, Mr. Murphy--Dr. Haegert wasn't  
 16 present. Now something here I want to ask you  
 17 about, this is May 13th, it says "The minutes  
 18 of the December 3rd, 1996 meeting were  
 19 accepted by Dr. Khalifa." Doctor, apparently  
 20 the last meeting had been in December 3rd,  
 21 1996 and now there's one May 13th, 1997, which  
 22 is about five months later. Was that the  
 23 frequency with which these sorts of meeting  
 24 occurred?  
 25 DR. KHALIFA:

Page 126

1 A. Well, remember, at the time I was very keen on  
 2 having regular staff meeting at the Health  
 3 Sciences Centre, this is what I kind of  
 4 controlled and had more influence. Then we  
 5 had this other forum where the site chiefs  
 6 from the three hospitals met. These meetings  
 7 were less regular and probably you're showing  
 8 that it was almost quarterly, right, so they  
 9 were probably quarterly.  
 10 COFFEY, Q.C.:  
 11 Q. And again, to give the Commissioner some sense  
 12 of the environment, if you look at page 2 of  
 13 this, paragraph C, "Status of pathology  
 14 specimen forms." It says, "It was agreed that  
 15 the pathology specimen forms from the Grace  
 16 will serve as a standardized form for the  
 17 Laboratory Program. Dr. Haegert will be asked  
 18 to write letters to Rosemary Barrington,  
 19 Program Director and Marie Tracey, Program  
 20 Director for the Operative Program, advising  
 21 them that this is now laboratory policy." So  
 22 I take it at this point they were just within  
 23 the Health Care Corporation of St. John's  
 24 getting around to standardizing the pathology  
 25 forms, that was the status.

Page 127

1 DR. KHALIFA:  
 2 A. Yes.  
 3 COFFEY, Q.C.:  
 4 Q. Looking at page 3 of this exhibit, it's under  
 5 "New Business: ER and PR immunoperoxidase  
 6 receptors." And I take it this would probably  
 7 be new business for the committee, this  
 8 committee as a group because you were already  
 9 involved in the ER/PR itself.  
 10 DR. KHALIFA:  
 11 A. That's correct.  
 12 COFFEY, Q.C.:  
 13 Q. It says, "Dr. Khalifa reported to the  
 14 committee that there is good correlation  
 15 between the biochemical assay and  
 16 immunoperoxidase staining for breast  
 17 receptors. It appears that the time may be  
 18 right to implement the immunoperoxidase breast  
 19 receptors corporate wide. Dr. Cook stated  
 20 that there is a concern amongst the  
 21 pathologists at St. Clare's that they should  
 22 be the ones reporting the breast receptors.  
 23 Discussion then arose that if individual  
 24 pathologists are reporting these receptors,  
 25 then there's a need for standardized criteria

Page 128

1 to determine what is regarded as receptor  
 2 positive and negative. There was also  
 3 discussion as to how the Mayo Clinic reports  
 4 its receptors. It was decided that this issue  
 5 should be brought to a discipline meeting to  
 6 get a consensus among pathologists. Hopefully  
 7 such a meeting will be held in June. Until  
 8 then, it was agreed to maintain a status quo.  
 9 Dr. Cook also recognized the amount of hard  
 10 work that Dr. Khalifa had put into this  
 11 project." I take it, Doctor, that at the  
 12 time, up to this point, you were reporting the  
 13 ER/PR IHC results? If they were being  
 14 reported at all, you were reporting them?  
 15 DR. KHALIFA:  
 16 A. Throughout the entire '97, I was reporting  
 17 them. But here I'm reading time to implement  
 18 the immunohisto staining corporate wide, so  
 19 I'm not sure if this means that up to that  
 20 moment I was only doing it in the Health  
 21 Sciences Centre, maybe. I think that might be  
 22 an indication that probably cases from St.  
 23 Clare's were done on case-by-case basis.  
 24 COFFEY, Q.C.:  
 25 Q. It's possible you, at this point in time, as



Page 129

1 of the middle of 1997, were still not doing  
 2 all the ER/PR IHC testing.  
 3 DR. KHALIFA:  
 4 A. I guess that's what I'm trying to say.  
 5 COFFEY, Q.C.:  
 6 Q. And Dr. Cook stated "There is a concern among  
 7 the pathologists at St. Clare's that they  
 8 should be the ones reporting the breast  
 9 receptors", so what I wanted to ask you about  
 10 is this, so is Dr. Cook then, in the middle of  
 11 1997, at this meeting, asserted, that look,  
 12 the pathologists at his institution were  
 13 interested in reporting their own ER/PR IHC  
 14 cases?  
 15 DR. KHALIFA:  
 16 A. That's correct.  
 17 COFFEY, Q.C.:  
 18 Q. It wasn't you going out and foisting it upon  
 19 them, it was they invited this?  
 20 DR. KHALIFA:  
 21 A. Absolutely, yes.  
 22 COFFEY, Q.C.:  
 23 Q. The reference to, "If individual pathologists  
 24 are reporting these receptors, then there's a  
 25 need for standardized criteria to determine

Page 130

1 what is regarded as positive and negative",  
 2 and talking about how the Mayo Clinic did it  
 3 at the time. So I take it then the whole idea  
 4 of how this would be reported was going to be  
 5 investigated here?  
 6 DR. KHALIFA:  
 7 A. Yes, because up to that moment, remember I was  
 8 kind of doing this on my own using what I  
 9 learned in Washington, and again in  
 10 Washington, you have the east coast, you have  
 11 the Mayo Clinic, you have MD Anderson, you  
 12 have UCLA, so you have different camps and  
 13 everybody was doing it differently, and just  
 14 because I was using -- even if you go back to  
 15 the record, you see the language I was using.  
 16 For example, the St. Clare's group didn't like  
 17 certain words I was using like mild, moderate,  
 18 and severe, something like that, and they  
 19 wanted to delete that. So we started deleting  
 20 this and so we started playing with the words  
 21 in such a way that everybody would be  
 22 comfortable and I would go and say, can you  
 23 live with this, because the idea was not  
 24 necessarily for me or for "x" to be happy, but  
 25 to be consistent. That was very important.

Page 131

1 The oncologist doesn't need to be confused  
 2 when they receive a report from Health  
 3 Sciences Centre, Grace, or St. Clare's.  
 4 COFFEY, Q.C.:  
 5 Q. And if we look at page four of this exhibit  
 6 under "See other business", just again the  
 7 timing of these meetings and to place, "It is  
 8 agreed to hold these meetings once a month and  
 9 to rotate the meetings throughout the various  
 10 sites". So I take it as of this point, May of  
 11 '97, the idea of having it monthly is perhaps  
 12 where this begins?  
 13 DR. KHALIFA:  
 14 A. Yes.  
 15 COFFEY, Q.C.:  
 16 Q. If we could go back then to Exhibit P-1857,  
 17 which is that June 17th, 1997 meeting. The  
 18 agenda, "ER/PR receptors, immunoperoxidase  
 19 staining", I referred you to that earlier.  
 20 These are the actual minutes, page two. Dr.  
 21 Parai, Khalifa, and Cook are present,  
 22 apologies from certain others. If you look at  
 23 paragraph 3.4 on page three, ER and PR  
 24 receptor interpretation, it says, "This was  
 25 discussed in detail. The majority of

Page 132

1 pathologists at St. Clare's as well as the  
 2 Grace Hospital would like to interpret their  
 3 own cases with control slides. Dr. Khalifa  
 4 has agreed to provide a number of cases to the  
 5 Grace Hospital to review them to be familiar  
 6 with the positive and negative results", and  
 7 I'm going to come back to paragraph 3.5, but  
 8 just looking back here at those present, so  
 9 Dr. Parai is here at this meeting, he's the  
 10 site chief from the Grace, and presumably he  
 11 is the one who is saying or communicating to  
 12 yourself that, "as well the Grace Hospital  
 13 would like to interpret their own cases". So  
 14 Dr. Parai is weighing in saying --  
 15 DR. KHALIFA:  
 16 A. Yes, yes.  
 17 COFFEY, Q.C.:  
 18 Q. We want to do what St. Clare's has suggested,  
 19 which is they want to read their own cases?  
 20 DR. KHALIFA:  
 21 A. Yes.  
 22 COFFEY, Q.C.:  
 23 Q. And you're going to provide a number of cases  
 24 to them to be familiar with positive and  
 25 negative results. Why would that be necessary

Page 133

1 at the time, Doctor?  
 2 DR. KHALIFA:  
 3 A. At that time, I think the St. Clare's group  
 4 did not feel that they needed to familiarize  
 5 themselves with the stain because they were up  
 6 to date with the literature and what not. The  
 7 Grace group, maybe they felt that they need to  
 8 look at examples, so I recall collecting some  
 9 examples, putting them in a list and send it  
 10 to the Grace Hospital for the pathologists to  
 11 look at them to see -- to get their feedback  
 12 as to whether they are comfortable reporting  
 13 them or not.  
 14 COFFEY, Q.C.:  
 15 Q. Look to, Doctor, paragraph 3.5 of the June  
 16 17th, 1997, minutes, immunoperoxidase  
 17 staining, "The turnaround time of  
 18 immunoperoxidase staining takes at least one  
 19 week or more from the time of sending the  
 20 block and the time of receiving the slides.  
 21 Dr. Parai mentioned whether this turnaround  
 22 time could be reduced by doing  
 23 immunoperoxidase staining on a daily basis  
 24 instead of twice a week which is presently  
 25 being done". Do you recall what that was

Page 134

1 about, Doctor?  
 2 DR. KHALIFA:  
 3 A. Yes. You asked an earlier question about  
 4 whether we encountered problems in  
 5 immunohistochemistry, and I mentioned some  
 6 examples. I mentioned example of a  
 7 pathologist forgetting to order the stain, but  
 8 this was another example where, in this case,  
 9 the stain was requested but the lab is not  
 10 releasing--is not doing the test at the speed  
 11 that the pathologist expects, so this is not  
 12 an uncommon issue. Of course, we have to  
 13 prioritize the work. A pathologist from  
 14 Corner Brook or St. Clare's or Grace sending a  
 15 case, they want the result now. They want the  
 16 result yesterday and I understand that, but  
 17 when it arrives to Health Science Center,  
 18 again we are the only lab producing this  
 19 technique and we have so many stains and  
 20 things had to be prioritized according to our  
 21 own local schedule, not to start making  
 22 mistakes. So there was a constant theme,  
 23 again because we don't have many  
 24 histotechnologists. We have very limited  
 25 resources and, of course, everybody wants

Page 135

1 their cases to be done first. That is very  
 2 natural, and you just have to, you know,  
 3 explain to people why cases are taking that  
 4 long and many times we run into a special  
 5 situation where, say, for example, the patient  
 6 is leaving town and they want to take their  
 7 slides or whatnot, then we may want to bump  
 8 one case for compassionate circumstances, but  
 9 that's usual.  
 10 COFFEY, Q.C.:  
 11 Q. Here you noted that--you mean immunoperoxidase  
 12 staining was being done twice a week at that  
 13 point, apparently, so they were being grouped  
 14 and done on particular days.  
 15 DR. KHALIFA:  
 16 A. Exactly, yes.  
 17 COFFEY, Q.C.:  
 18 Q. I take it, they couldn't be done daily because  
 19 you didn't have the resources to do it.  
 20 COFFEY, Q.C.:  
 21 Q. We didn't have resources for that. Would that  
 22 have been explained to Dr. Parai at the time?  
 23 DR. KHALIFA:  
 24 A. Of course.  
 25 COFFEY, Q.C.:

Page 136

1 Q. Exhibit P-1858, please. That meeting was June  
 2 17th. This is a letter of June 18, 1997.  
 3 It's from yourself to Dr. Parai at the Grace,  
 4 and you've copied it to Dr. Haegert and Dr.  
 5 Cook and you write, "This is a follow-up on  
 6 our conversation in the site chiefs' meeting  
 7 yesterday and the phone conversation early  
 8 this morning. You filled in the immuno  
 9 requests for the two cases you were  
 10 complaining about" - and you name them, or the  
 11 numbers - "and the stains were completed on  
 12 June 5, '97, which is a Thursday. I'm  
 13 enclosing copies of the requests forms for  
 14 these two cases to show that the histotech  
 15 signed the completion of the procedure on June  
 16 5, 1997. I think you maybe" - that is "you,"  
 17 Dr. Pari - "may be experiencing problems with  
 18 the transportation system. You may want to  
 19 discuss this issue a little further in one of  
 20 the department meetings. As for the work in  
 21 our immunohistochemistry lab, I think it is  
 22 being done within the time limits we've agreed  
 23 upon in the past." I take it, you left the  
 24 meeting and made inquiries about whatever Dr.  
 25 Parai was complaining about, and particular

Page 137

1 cases.  
 2 DR. KHALIFA:  
 3 A. Was this subsequent to the previous -  
 4 COFFEY, Q.C.:  
 5 Q. Yes, this is the day after.  
 6 DR. KHALIFA:  
 7 A. Okay. Okay, so here's the situation, which  
 8 again is very common because many things can  
 9 go wrong in a process like that.  
 10 COFFEY, Q.C.:  
 11 Q. Doctor, in terms of the transportation system  
 12 -  
 13 DR. KHALIFA:  
 14 A. Yes.  
 15 COFFEY, Q.C.:  
 16 Q. That's what I wanted to ask you about. Did  
 17 you actually have any control over the  
 18 transportation system?  
 19 DR. KHALIFA:  
 20 A. I had no idea even who was transporting the  
 21 slides. I had no idea.  
 22 COFFEY, Q.C.:  
 23 Q. And so as site chief at the General, I take it  
 24 then, Dr. Parai, presumably, would have had no  
 25 more control over the transportation system.

Page 138

1 He'd have to make inquiries and see if he  
 2 could get it.  
 3 DR. KHALIFA:  
 4 A. Well, I don't think so. As a site chief on  
 5 the other end, he probably wasn't involved in  
 6 transportation. What happened here was he  
 7 requested the slides on June 2nd and he  
 8 probably received the slides on June 7 or 8,  
 9 so he said it took too long but, if we finish  
 10 them on June 5th, then the slides were delayed  
 11 in transition. Who was managing the  
 12 transportation system, I don't know.  
 13 COFFEY, Q.C.:  
 14 Q. What I want to get at is that the site chief,  
 15 I take it, wasn't managing the transport  
 16 system, from your perspective.  
 17 DR. KHALIFA:  
 18 A. No.  
 19 COFFEY, Q.C.:  
 20 Q. That what I want to ask you about, and whoever  
 21 was managing it, was it outside your area of  
 22 control?  
 23 DR. KHALIFA:  
 24 A. Outside my domain, yes.  
 25 COFFEY, Q.C.:

Page 139

1 Q. Exhibit P-2411, please, and, Doctor, this is  
 2 on August 21, 1997, a memorandum from yourself  
 3 to Drs. Chittal, Fernandez, Haegert,  
 4 MacIntosh, Morris-Larking, Robb and Wadden,  
 5 and would all these be doctors at the time  
 6 pathologists at the General Hospital?  
 7 DR. KHALIFA:  
 8 A. Yes.  
 9 COFFEY, Q.C.:  
 10 Q. And the reference is "Initiate ER/PR  
 11 immunostaining of the in-house cases." You're  
 12 right, this is a reminder that the initiation  
 13 of the ER/PR immunostaining of our in-house  
 14 cases remains the responsibility of the  
 15 pathologist who first makes the diagnosis of  
 16 invasive mammary malignancy on the respected  
 17 specimen. As you already know, this is done  
 18 by filling in a request form and submitting it  
 19 to our laboratory. Although, currently, ER/PR  
 20 slides come to me for reporting, the procedure  
 21 has to be initiated by the primary  
 22 pathologist. Since I have no access to the  
 23 case in question at the time the diagnosis is  
 24 being made, I thank you for paying extra  
 25 attention to this matter." I take it, Doctor,

Page 140

1 this relates to this whole issue you referred  
 2 to earlier about pathologists now ordering  
 3 ER/PR for their patients.  
 4 DR. KHALIFA:  
 5 A. And they just forget it.  
 6 COFFEY, Q.C.:  
 7 Q. This is a reminder, a friendly reminder.  
 8 DR. KHALIFA:  
 9 A. Yes.  
 10 COFFEY, Q.C.:  
 11 Q. Exhibit P-2397, please. Doctor, this is a  
 12 letter of September 23, 1997, from yourself to  
 13 Dr. Sushil Parai.  
 14 REGISTRAR:  
 15 Q. Excuse me, Mr. Coffey, that's an exhibit from  
 16 Dr. Wayne Lucas, so it's not an exhibit yet.  
 17 We could have it entered and -  
 18 COFFEY, Q.C.:  
 19 Q. If we could.  
 20 REGISTRAR:  
 21 Q. I'll arrange to have it switched.  
 22 COFFEY, Q.C.:  
 23 Q. Thank you.  
 24 THE COMMISSIONER:  
 25 Q. And the number again is?

Page 141

1 COFFEY, Q.C.:

2 Q. She's keeping us on our toes, record-keeping.

3 REGISTRAR:

4 Q. P-2397 entered.

5 COFFEY, Q.C.:

6 Q. I suspect it was for Dr. Parai, actually, but

7 he was supposed to testify before you were -

8 the scheduling. So, Doctor, you've written to

9 Dr. Parai on September 23, '97, and you write,

10 "As per our last meeting, I am submitting 10

11 cases of invasive mammary carcinoma stained

12 with antibodies against estrogen or

13 progesterone receptors. I'm also enclosing a

14 list of my assessments of these cases. I am

15 seriously considering referring the stained

16 slides to the requesting pathologist for this

17 test without reporting them. I have discussed

18 this issue with Dr. Haegert and I would like

19 to discuss it further in one of our future

20 meetings. I will appreciate your return of

21 the slides when you are done with them because

22 I'm going to circulate this collection among

23 all pathologists who frequently request this

24 test. I look forward to meeting with you, and

25 please accept my best regards, signed" - and

Page 142

1 we look at this--if we could, Doctor - it's

2 not part of the same exhibit because it came

3 to us as a separate page - but Exhibit P-2410.

4 Is that available to me? Thank you,

5 Registrar. Doctor, this is listed as a

6 document entitled "Estrogen and Progesterone

7 Receptors. It's with your name. There are

8 case numbers. There are 10 of them, all 1997

9 cases and estrogen receptors and the

10 classification of them, and progesterone

11 receptors and the classification, strongly

12 positive and you have a percentage or

13 moderately positive and weakly positive with a

14 percentage, and negative and that here. If we

15 could go back, please, to Exhibit P-2397 - so,

16 Doctor, I take it, that the reference in the

17 minutes we looked at from June 17 to - you

18 would send slides representative of the group

19 up to Dr. Parai?

20 DR. KHALIFA:

21 A. Yes.

22 COFFEY, Q.C.:

23 Q. The pathologist at the Grace.

24 DR. KHALIFA:

25 A. Yes.

Page 143

1 COFFEY, Q.C.:

2 Q. This would be your letter doing so in

3 September.

4 DR. KHALIFA:

5 A. Exactly.

6 COFFEY, Q.C.:

7 Q. And the purpose was to let them become

8 familiar with it.

9 DR. KHALIFA:

10 A. Exactly, and to know if they have issues with

11 it or if they were not prepared to take it on.

12 COFFEY, Q.C.:

13 Q. Did you ever hear anything from the doctors at

14 the Grace after you sent the slides up about

15 concerns they had about taking it on.

16 DR. KHALIFA:

17 A. No.

18 COFFEY, Q.C.:

19 Q. Did you ever hear at anytime from them or from

20 the doctors at St. Clare's about any concerns

21 they had about taking this on.

22 DR. KHALIFA:

23 A. No, I never did.

24 COFFEY, Q.C.:

25 Q. Now while I'm on the topic, Doctor, because

Page 144

1 we'll get to this eventually because it's

2 rolled out across Newfoundland, did you ever

3 concerns expressed by any pathologists in

4 Newfoundland and Labrador about taking this

5 on?

6 DR. KHALIFA:

7 A. No, I didn't hear concerns. As I say, these

8 pathologists were consulting with me on

9 regular basis so I wouldn't be surprised if at

10 one point they sent a case back and they said,

11 "What about this, what about that?" but I did

12 not get any formal or informal complaint or

13 concern about taking on this process.

14 COFFEY, Q.C.:

15 Q. Thank you, Doctor.

16 DR. KHALIFA:

17 A. Yes.

18 COFFEY, Q.C.:

19 Q. Doctor, here you do refer to--you conclude by

20 saying "I will appreciate your return of the

21 slides when you are done with them because I'm

22 going to circulate this collection among all

23 pathologists who frequently request this

24 test." Who would that be in this context?

25 DR. KHALIFA:

Page 145

1 A. I guess the intention was to circulate these  
 2 to other pathologists in the province outside  
 3 St. John's who would eventually be reporting  
 4 their own cases.  
 5 COFFEY, Q.C.:  
 6 Q. Did that ever happen, do you know?  
 7 DR. KHALIFA:  
 8 A. I don't recall if this happened. No, I don't  
 9 recall if it happened or if it was requested.  
 10 COFFEY, Q.C.:  
 11 Q. If you had ever received--if you can't recall  
 12 it, you can't, but if you had ever received a  
 13 request like you had from Dr. Parai to get a  
 14 representative sample from any pathologist  
 15 throughout the province, would you have sent  
 16 them?  
 17 DR. KHALIFA:  
 18 A. Absolutely. The collection was ready to go  
 19 and it was packaged with diagnoses.  
 20 COFFEY, Q.C.:  
 21 Q. Exhibit P-1859, please. Now, Doctor, these  
 22 are the site chiefs', divisional managers'  
 23 minutes of meeting, October 8, 1997. Present  
 24 are Drs. Cook, Haegert, yourself, Parai,  
 25 Pushpanathan, and Mr. Murphy, and regrets from

Page 146

1 Mr. Gulliver, and there's a note here even.  
 2 "The minutes of the previous meeting were  
 3 accepted by a motion from Dr. Cook, seconded  
 4 by Dr. Khalifa." So it was even that formal  
 5 in the sense of you -  
 6 DR. KHALIFA:  
 7 A. Yes.  
 8 COFFEY, Q.C.:  
 9 Q. The formalities even were being attended to.  
 10 DR. KHALIFA:  
 11 A. Yes, we tried.  
 12 COFFEY, Q.C.:  
 13 Q. Yes. Here, Doctor, under "New Business," it  
 14 reads, "Dr. Khalifa presented results of an  
 15 audit of steroid receptors of 19 breast cancer  
 16 cases, correlating immunohistochemistry and  
 17 biochemical assays." It's typed here, "Dr. D.  
 18 Cook," but then it's handwritten, "Dr. Parai,"  
 19 and I'll come to that eventually. "I  
 20 recommended that the Health Care Corporation  
 21 continue performing the immunohistochemical  
 22 tests and encourage doing them on endometrial  
 23 carcinomas." He also mentioned Dr. Thain.  
 24 "The cancer clinic still prefers to see a  
 25 biochemical assay done. Standardization of

Page 147

1 reporting the result of the  
 2 immunohistochemical assay also seem to be a  
 3 problem. Dr. Khalifa was asked to call upon  
 4 other Canadian medical centers, Toronto  
 5 General, to inquire about their protocols.  
 6 (Dr. Khalifa action) He was also asked to  
 7 seek feedback from the cancer clinic staff.  
 8 (Dr. Khalifa action)" So, Doctor, here then  
 9 in early October of 1997, you had provided the  
 10 meeting with an audit, as it were, or results  
 11 of an audit - ask, please, that we bring up  
 12 Exhibit P-1850 - and I'll be getting to the  
 13 first four pages of this shortly, Doctor, but  
 14 here on Page 4 and 5--Page 4 is entitled -  
 15 well, it's the General Hospital, Division of  
 16 Anatomic Pathology - Immunohistochemical  
 17 Staining of Steroid Receptors, Correlation  
 18 with Biochemistry. "A report of our  
 19 experience over a nine-month period, January  
 20 '97 to September '97 by Drs. M. Khalifa and C.  
 21 Pugh?"  
 22 DR. KHALIFA:  
 23 A. Pugh.  
 24 DR. KHALIFA:  
 25 A. Pugh, I'm sorry. Who is Dr. Pugh?

Page 148

1 DR. KHALIFA:  
 2 A. Dr. Pugh was a resident at the time in  
 3 pathology.  
 4 COFFEY, Q.C.:  
 5 Q. Okay, and is this the--or would this be the  
 6 results of an - I referred to it in the  
 7 minutes - results of an audit of steroid  
 8 receptors of 19 cases?  
 9 DR. KHALIFA:  
 10 A. Yes.  
 11 COFFEY, Q.C.:  
 12 Q. This is his audit, as it were, and you got  
 13 "immunohistochemical reporting less than 30  
 14 negative, greater than 30 positive for--and  
 15 biochemical reporting 0-3 negative, 3- 20  
 16 equivocal and greater than 20 positive." I  
 17 should have said, immunohistochemical  
 18 reporting is actually less than 30 percent,  
 19 greater than 30 percent, and you've noted here  
 20 for statistical purposes, equivocal cases are  
 21 considered as negative--first statistical  
 22 analysis, I'm sorry. Now, Doctor, what was  
 23 this about? Perhaps you could just explain to  
 24 the Commissioner what was going on here?  
 25 DR. KHALIFA:

Page 149

1 A. If you allow me to bring this in context a  
 2 little bit -  
 3 COFFEY, Q.C.:  
 4 Q. Yes.  
 5 DR. KHALIFA:  
 6 A. Remember, all that time patients were actually  
 7 managed based on the biochemical assays. The  
 8 oncologists were getting the biochemical  
 9 assays and treating their patients  
 10 accordingly. So all of this, again, is  
 11 internal correlation and optimization of the  
 12 procedure. So I've been doing this now for  
 13 about nine months and people are anxious.  
 14 They want to start reporting their cases, and  
 15 so I think it was time to put together some  
 16 sort of a record of how are we doing. So Dr.  
 17 Pugh--we were supposed to mentor residents for  
 18 research projects and QA is my area. I told  
 19 him, "Why don't we do this? I mean, people  
 20 are waiting for something like that." So we  
 21 collected the records. We collected cases and  
 22 we put together this series of cases to show  
 23 how our results by immunohistochemistry  
 24 correlate to the ones by biochemistry, and at  
 25 that time I was using the conventional wisdom

Page 150

1 of using 30 percent of malignant cells as a  
 2 cut-off time, again, to put the brakes on  
 3 giving Tamoxifen that they didn't need - and  
 4 the literature was supportive of this at the  
 5 time - while giving Tamoxifen to only patients  
 6 who would benefit from it. So if you go  
 7 through the audit, you can see the correlation  
 8 and the results were satisfactory and, as you  
 9 saw, I presented that in the site chiefs'  
 10 meeting.  
 11 COFFEY, Q.C.:  
 12 Q. Back to 14, under the heading "100 percent  
 13 concordant cases, agreement in both  
 14 receptors".  
 15 DR. KHALIFA:  
 16 A. Yes.  
 17 COFFEY, Q.C.:  
 18 Q. If you count them up, there are 14 of those.  
 19 DR. KHALIFA:  
 20 A. Yes.  
 21 COFFEY, Q.C.:  
 22 Q. And on the second page, or page five of the  
 23 exhibit, it's 50 percent concordant cases,  
 24 agreement in only one receptor. So it was 14  
 25 out of the 19 concordant in both?

Page 151

1 DR. KHALIFA:  
 2 A. In both.  
 3 COFFEY, Q.C.:  
 4 Q. And five of the cases, there was concordant in  
 5 one receptor. Doctor, would the fact that  
 6 there was not concordance or absolute  
 7 concordance across the 19 cases, would that be  
 8 a matter of concern?  
 9 DR. KHALIFA:  
 10 A. Well, remember we do ER/PR, but what the  
 11 clinicians really like to hear is the ER  
 12 because ER is the one that Tamoxifen deals  
 13 with. PR is a complementary receptor and it  
 14 just tells something about how the tumour is  
 15 likely to behave. PR does not, in fact,  
 16 management. So if you really want to look at  
 17 correlation, you really are -- you should  
 18 really be focusing on ER, but, I mean, this is  
 19 a semi-scientific document, and I wanted to be  
 20 as accurate as possible, so I didn't -- I  
 21 looked at ER and PR separately, and if you  
 22 look at the results, the first three cases of  
 23 the five cases, the ER corresponded correctly.  
 24 COFFEY, Q.C.:  
 25 Q. Yes, the first ER is negative?

Page 152

1 DR. KHALIFA:  
 2 A. Negative.  
 3 COFFEY, Q.C.:  
 4 Q. And biochemical is --  
 5 DR. KHALIFA:  
 6 A. Negative, positive, positive, positive,  
 7 positive.  
 8 COFFEY, Q.C.:  
 9 Q. And then the last two, the ER under the IHC  
 10 method is determined to be positive and it's  
 11 equivocal under the -- it was equivocal under  
 12 the biochemical approach?  
 13 DR. KHALIFA:  
 14 A. Yes, the case number, 1400, you can see that  
 15 we would have called it positive, but the  
 16 biochemistry would have called it equivocal,  
 17 which for statistical analysis it was included  
 18 as negative. So that was considered as  
 19 discrepancy. It was only that one last case  
 20 that would have probably been called by  
 21 biochemistry positive, but the  
 22 immunohistochemistry was negative.  
 23 COFFEY, Q.C.:  
 24 Q. Now, Doctor, were you familiar at the time  
 25 with any studies comparing the ER/PR IHC

Page 153

1 testing with biochemical assay results, like  
 2 large scale studies?  
 3 DR. KHALIFA:  
 4 A. At that time, the literature -- yes, there  
 5 were studies of that nature.  
 6 COFFEY, Q.C.:  
 7 Q. And in such studies, would there ever be --  
 8 over a large sampling, would there ever be 100  
 9 percent concurrence?  
 10 DR. KHALIFA:  
 11 A. I'm yet to see something in medicine that is  
 12 100 percent.  
 13 COFFEY, Q.C.:  
 14 Q. So if we could, please, look at page six of  
 15 this exhibit, because this continues on.  
 16 You've got here tables, estrogen and  
 17 progesterone, the actual numbers of positives  
 18 and negatives and so on as we look down  
 19 through it. Under comments you've got, "When  
 20 the cut off point is set at 30 percent in  
 21 immunohistochemical reporting, testing for  
 22 estrogen receptors has a sensitivity of 88  
 23 percent and a specificity if 90 percent.  
 24 Analysis of all 19 cases, results of similar  
 25 studies for estrogen receptors [in a much

Page 154

1 larger series of cases] showed sensitivity of  
 2 76 percent and a specificity of 82 percent,  
 3 and you've got a -- there's a footnote here,  
 4 number 1, and references. You've actually  
 5 referenced a paper, a 1990 paper. I take it  
 6 this is a larger scale study, this one here?  
 7 DR. KHALIFA:  
 8 A. It was one of the larger studies. This is the  
 9 most prestigious journal in pathology, the  
 10 American Journal of Surgical Pathology.  
 11 COFFEY, Q.C.:  
 12 Q. And that, I take it, where the 76 and 82  
 13 percent figures came from?  
 14 DR. KHALIFA:  
 15 A. That's correct.  
 16 COFFEY, Q.C.:  
 17 Q. Doctor, you also go on to note here under  
 18 comments, "When the cut off point is set at 30  
 19 percent in immunohistochemical reporting,  
 20 testing for progesterone receptors has a  
 21 sensitivity of 86 percent and a specificity of  
 22 80 percent. Only 17 cases reported", and you  
 23 go on to say, "Discrepancies in estrogen  
 24 receptors, where it's only noted in two of 19  
 25 cases, while that of progesterone receptors

Page 155

1 was in three of 17 cases. For reporting  
 2 estrogen receptors in a quantitative format,  
 3 percentage of positive cells might be a good  
 4 practice since it was shown to have a  
 5 predictive value as a prognostic indicator",  
 6 and there's a footnote, number 2, and you have  
 7 the citation there from the American Journal  
 8 of Clinical Pathology, 1994 study?  
 9 DR. KHALIFA:  
 10 A. Yes.  
 11 COFFEY, Q.C.:  
 12 Q. Doctor, these three pages, I take it, were the  
 13 -- you would have presented that to that  
 14 meeting in October of '97?  
 15 DR. KHALIFA:  
 16 A. It was presented to the site chiefs, it was  
 17 presented locally --  
 18 COFFEY, Q.C.:  
 19 Q. Go ahead, Doctor, presented locally.  
 20 DR. KHALIFA:  
 21 A. It was presented locally in the Health  
 22 Sciences Centre.  
 23 COFFEY, Q.C.:  
 24 Q. And your purpose in doing so was what,  
 25 preparing this and presenting it was what?

Page 156

1 DR. KHALIFA:  
 2 A. I wanted to -- I wanted to document where we  
 3 stood at the time. I wanted to assure myself  
 4 that we are probably on the right track. I  
 5 wanted to raise awareness of the issue.  
 6 COFFEY, Q.C.:  
 7 Q. Doctor, with that sort of a sample size, would  
 8 that be statistically significant? Was that  
 9 sufficiently large to be statistically  
 10 significant, do you think?  
 11 DR. KHALIFA:  
 12 A. Remember here I was not validating a test.  
 13 ER/PR in immunohistochemistry was a well  
 14 documented procedure. In fact, I wouldn't --  
 15 I would be interested to see who else did what  
 16 we did. If, say, a cancer centre in Vermont  
 17 or a cancer centre in Idaho, or Saskatchewan,  
 18 wanted to adopt immunohistochemistry, they  
 19 would probably purchase the kit and start  
 20 using it because that's a valid kit, it is  
 21 certified, it is licensed, at least in the  
 22 States -- they don't really have to do any  
 23 correlation. For me, just because I wanted to  
 24 be sure and I wanted to make sure that our  
 25 oncologists are comfortable, our staff is

Page 157

1 comfortable, I took it upon myself for a year  
 2 and three months, so that's 15 months, to go  
 3 through this exercise and just move very  
 4 slowly to make sure that everybody is  
 5 comfortable.  
 6 COFFEY, Q.C.:  
 7 Q. So it wasn't done -- the study was not done  
 8 with a view to having it published?  
 9 DR. KHALIFA:  
 10 A. Oh, no.  
 11 COFFEY, Q.C.:  
 12 Q. For example, that kind of --  
 13 DR. KHALIFA:  
 14 A. And publication -- the first publication by  
 15 O'Keane, they had much, much bigger series,  
 16 and they established the technique.  
 17 COFFEY, Q.C.:  
 18 Q. So it wasn't so much to prove that the  
 19 technique works, so much as it was -- in fact,  
 20 it wasn't to do that at all, it was to see if  
 21 locally we're on the right track here?  
 22 DR. KHALIFA:  
 23 A. Exactly, and it is comparable to all  
 24 conditions in Newfoundland, yes.  
 25 COMMISSIONER:

Page 158

1 Q. Mr. Coffey, when it's convenient to break.  
 2 COFFEY, Q.C.:  
 3 Q. Thank you. Doctor, the reference here -- if  
 4 we could back, please, to Exhibit P-1859,  
 5 please. Doctor, here in paragraph under "New  
 6 Business", and I read this earlier. As it  
 7 turns out, it's not Dr. Cook, it's Dr. Parai  
 8 recommended the Health Care Corporation  
 9 continue performing IHC tests, and he also  
 10 mentioned, Dr. Thain, the Cancer Clinic, still  
 11 prefers to see the biochemical assay done.  
 12 Who is the "he" here, is that you or Dr.  
 13 Parai, do you know?  
 14 DR. KHALIFA:  
 15 A. No. I would say this was Dr. Parai.  
 16 COFFEY, Q.C.:  
 17 Q. Okay, and --  
 18 DR. KHALIFA:  
 19 A. Excuse me, I'm not sure because Dr. Thain was  
 20 in the Cancer Centre, and probably I was more  
 21 in a closer contact with him, so I'm not sure.  
 22 COFFEY, Q.C.:  
 23 Q. Doctor, it says, he also mentioned -- okay,  
 24 biochemical assay done. So the biochemical  
 25 assay, as you pointed out to the Commissioner,

Page 159

1 at this point in October of '97 was still  
 2 being done?  
 3 DR. KHALIFA:  
 4 A. Oh, yes.  
 5 COFFEY, Q.C.:  
 6 Q. And your understanding was at this point in  
 7 time, the fall of '97, that that was the  
 8 result that the oncologists and surgeons were  
 9 still relying upon?  
 10 DR. KHALIFA:  
 11 A. That was my understanding, yes.  
 12 COFFEY, Q.C.:  
 13 Q. That although you were having the slides -- in  
 14 fact, going back to your memo in August of '97  
 15 to your fellow pathologists in the General  
 16 Hospital, you and your fellow pathologists  
 17 were ordering ER/PR IHC tests?  
 18 DR. KHALIFA:  
 19 A. Yes.  
 20 COFFEY, Q.C.:  
 21 Q. Slides were all coming to you?  
 22 DR. KHALIFA:  
 23 A. Yes.  
 24 COFFEY, Q.C.:  
 25 Q. You were reading them?

Page 160

1 DR. KHALIFA:  
 2 A. Yes.  
 3 COFFEY, Q.C.:  
 4 Q. You were actually reporting it in the sense of  
 5 recording it in Meditec?  
 6 DR. KHALIFA:  
 7 A. That is correct.  
 8 COFFEY, Q.C.:  
 9 Q. But it wasn't being relied upon by the  
 10 oncologists because biochemical was still  
 11 going on?  
 12 DR. KHALIFA:  
 13 A. Well, the oncologists would receive both of  
 14 them, yes, but they were not told at the time  
 15 that the biochemical assay would stop. They  
 16 were still getting them.  
 17 COFFEY, Q.C.:  
 18 Q. So looking at -- if we could, please, and I'll  
 19 just go back to 1850, please, page four. For  
 20 example, these here, if we were to go find,  
 21 for example, the patient with surgical number  
 22 97-1932 and look at their chart in Meditec or  
 23 the patient's chart overall, we'd probably  
 24 find not only a report from you with ER/PR,  
 25 but we'd also find a biochemical assay report?



Page 161

1 DR. KHALIFA:  
 2 A. Exactly.  
 3 COFFEY, Q.C.:  
 4 Q. Okay, and one final point, if I could just  
 5 push it a little bit, Commissioner, go back to  
 6 1859, please. Here, Doctor, the reference to  
 7 standardization of reporting the results of  
 8 the immunohistochemical assay also seemed to  
 9 be a problem and you're asked to call upon  
 10 other Canadian centres to inquire about how  
 11 they're reporting of their protocols and to  
 12 seek feedback from the Cancer Clinic staff,  
 13 which would be the oncologists, I take it. So  
 14 what happened with that, Doctor, this -- your  
 15 inquiries in Toronto General and locally?  
 16 DR. KHALIFA:  
 17 A. So this is the time when the pathologists  
 18 started to say should we use strongly  
 19 positive, moderately positive, and weakly  
 20 positive, should we mention the percentage of  
 21 malignant cells, should we use the 50 percent  
 22 disclaimer, issues of that nature about how to  
 23 formulate a report that would be consistent  
 24 and reproducible among all members of the  
 25 department. So I was asked to call and I

Page 162

1 called around. I communicated with the Cancer  
 2 Clinic people, the oncologists, to see their  
 3 preference, does it matter to you, because I  
 4 think the push was to drop the moderate,  
 5 strong, and weak, and just give the  
 6 percentage. So I had to clear things of that  
 7 nature with our oncologists, would that be  
 8 okay with you, how are people doing it in the  
 9 States or in places like University of  
 10 Toronto. So I did these investigations and I  
 11 went back to the group, and as you see how the  
 12 process evolved, you can see that we drafted  
 13 another protocol and then we drafted a final  
 14 one, so there was --  
 15 COFFEY, Q.C.:  
 16 Q. We'll come to that after lunch.  
 17 DR. KHALIFA:  
 18 A. Yes.  
 19 COFFEY, Q.C.:  
 20 Q. So you did -- you made your inquiries?  
 21 DR. KHALIFA:  
 22 A. Yes.  
 23 COFFEY, Q.C.:  
 24 Q. And had discussions locally and we'll come  
 25 back to that after lunch.

Page 163

1 DR. KHALIFA:  
 2 A. That's correct.  
 3 COFFEY, Q.C.:  
 4 Q. Thank you, Doctor. Thank you, Commissioner.  
 5 COMMISSIONER:  
 6 Q. We'll meet again at ten after two. Thank you.  
 7 (BREAK)  
 8 COMMISSIONER:  
 9 Q. Mr. Coffey.  
 10 COFFEY, Q.C.:  
 11 Q. Thank you, Commissioner. Registrar, if we  
 12 could, please, Exhibit P-1860. Actually,  
 13 instead because I'll use one that's not marked  
 14 up, Exhibit P-2412, please. Doctor Khalifa,  
 15 this is a memorandum dated December 15th, '97.  
 16 It's from yourself to Drs. Cook, Haegert,  
 17 Parai, and Pushpanathan, Mr. Gulliver, and Mr.  
 18 Murphy, notice of a site chiefs meeting. This  
 19 a meeting planned December 16th, 1997. The  
 20 agenda is set out there. I'll take you down  
 21 through that -- number three, follow up on  
 22 steroid receptors assessment and paraffin  
 23 blocks. If we could go, please, to Exhibit P-  
 24 2413, please, which is the actual minutes of  
 25 that December 16th meeting. Present are -- of

Page 164

1 course, there's yourself, Dr. Parai, Dr. Cook,  
 2 and Dr. Haegert, and Mr. Gulliver and Mr.  
 3 Murphy, and just as -- just so the  
 4 Commissioner again will have some appreciation  
 5 for the tone and tenor perhaps of the meetings  
 6 at times, Dr. D. Cook amended the last  
 7 paragraph of the first page of the previous  
 8 meeting's minutes. The second sentence of this  
 9 paragraph should read, "Dr. S. Parai  
 10 recommended that the Health Care Corporation  
 11 continue performing the immunohistochemical  
 12 tests and encouraged doing them on endometrial  
 13 carcinomas". A motion from Dr. S. Parai,  
 14 seconded by Mr. Murphy, accepted the minutes  
 15 of the previous meeting. So that we saw just  
 16 before lunch that it was typed Dr. Cook,  
 17 handwritten Dr. Parai.  
 18 DR. KHALIFA:  
 19 A. Yes.  
 20 COFFEY, Q.C.:  
 21 Q. So this was, as best I suppose as was possible  
 22 at the time, was being attended to in detail.  
 23 On this, Doctor, a couple of different things.  
 24 Here there's -- in paragraph two there's a  
 25 reference to turnaround time at St. Clare's

Page 165

1 site, and they talk about that in the minutes  
 2 here, but midway through the paragraph it  
 3 says, "Mr. Murphy acknowledged the problem --  
 4 well, actually the sentence before that, "Both  
 5 pathologists and surgeons have expressed their  
 6 concerns about this issue", and it has to do  
 7 with the turnaround times for slides, and "Mr.  
 8 Murphy acknowledged the problem and suggested  
 9 that the low number of histotechnologists as  
 10 being ideology". I want to ask you about  
 11 that, Doctor. The staffing levels of  
 12 histotechnologists at the time, how were they  
 13 at the time? I mean, were there -- Mr.  
 14 Murphy, according to this, didn't seem to  
 15 think there were enough.

16 DR. KHALIFA:  
 17 A. So Mr. Murphy --

18 COFFEY, Q.C.:  
 19 Q. Mr. Murphy was in charge of --

20 DR. KHALIFA:  
 21 A. In charge of the Health Sciences Centre or at  
 22 St. Clare's?

23 COFFEY, Q.C.:  
 24 Q. Frankly, I -- St. Clare's. Yes, St. Clare's.  
 25 So the staffing levels of histotechnologists

Page 166

1 at the General Hospital, do you recall, from  
 2 your perspective, were they sufficient or not?  
 3 Perhaps that's unfair. Was there a problem at  
 4 times with the staffing levels of  
 5 histotechnologists, were there enough of them  
 6 to go around?

7 DR. KHALIFA:  
 8 A. At that time the lab in the Health Sciences  
 9 Centre was separate from St. Clare's.

10 COFFEY, Q.C.:  
 11 Q. Yes.

12 DR. KHALIFA:  
 13 A. So assessing the workload in the Health  
 14 Sciences Centre, I would say the lab was  
 15 understaffed.

16 COFFEY, Q.C.:  
 17 Q. Understaffed?

18 DR. KHALIFA:  
 19 A. Yes.

20 COFFEY, Q.C.:  
 21 Q. Apparently Mr. Murphy thought the same problem  
 22 existed at St. Clare's too.

23 DR. KHALIFA:  
 24 A. Yes.

25 COFFEY, Q.C.:

Page 167

1 Q. Paragraph three here, Steroid receptors  
 2 assessment and paraffin sections, "Dr. Khalifa  
 3 discussed this issue further and suggested the  
 4 pathologists start reporting their own cases.  
 5 A suggestion was made that Dr. Khalifa write  
 6 up a proposal with the criteria [cut off  
 7 values] distributed to the various  
 8 pathologists and ask them for their feedback.  
 9 The meeting adjourned". If we could look,  
 10 please, at Exhibit P-2414. It's a document  
 11 here and your name is to the top right hand  
 12 side. The document is entitled proposal for  
 13 uniform reporting of ER/PR immunohistochemical  
 14 assessment, January, 1998, and then the text  
 15 is introduction and there are three bullets,  
 16 three paragraphs. So this would be something  
 17 you prepared?

18 DR. KHALIFA:  
 19 A. Yes.

20 COFFEY, Q.C.:  
 21 Q. This would be that draft, I take it, referred  
 22 to in the minutes we just looked at. If we  
 23 could have, please, Exhibit P-2415. This is  
 24 another document again with your name on the  
 25 top right hand side entitled "Proposal for

Page 168

1 uniform reporting of ER/PR immunohistochemical  
 2 assessment", January, 1998, first draft, and  
 3 it says, "The report on the hormone receptor  
 4 status will have three components", and you  
 5 spell out here paragraphs one, two, and three,  
 6 and then there are examples, example one, and  
 7 example two. I take it, Doctor, this is your  
 8 first draft of what turns out to be your  
 9 February memo?

10 DR. KHALIFA:  
 11 A. That was one of the drafts that we were  
 12 working on, and it was distributed to members  
 13 of the staff for feedback.

14 COFFEY, Q.C.:  
 15 Q. And do you recall, Doctor, what the reaction  
 16 was to the draft generally?

17 DR. KHALIFA:  
 18 A. So now by this time you can see that the words  
 19 "strongly, moderately, and weakly", were  
 20 omitted, so we are just using the positive and  
 21 negative. At this stage, we included the  
 22 percentage of malignant cells positive, and at  
 23 that stage there was a comment to follow cases  
 24 with less than 30 percent positivity to link  
 25 in the clinician's mind our report, our

Page 169

1 current report, with the previous technology  
 2 that they were used to.  
 3 COFFEY, Q.C.:  
 4 Q. And so this was distributed, and as you  
 5 pointed out, the usage of the words "strong,  
 6 weak", in terms of describing positivity have  
 7 been omitted by this point. What was the  
 8 general reaction, and I appreciate we're going  
 9 to come to the issue about the comment.  
 10 DR. KHALIFA:  
 11 A. Yes.  
 12 COFFEY, Q.C.:  
 13 Q. We'll come to that in a little bit, but  
 14 generally the reaction to this was what?  
 15 DR. KHALIFA:  
 16 A. It was almost agreed upon.  
 17 COFFEY, Q.C.:  
 18 Q. Exhibit P-2416, please. Doctor, these are  
 19 minutes of a site chiefs/divisional managers  
 20 anatomical pathology meeting of January 8th,  
 21 '98. Present are Drs. Cook, Haegert,  
 22 yourself, and Parai, Mr. Gulliver and Mr.  
 23 Murphy are there, and, Doctor, before we get  
 24 to paragraph two which deals with breast  
 25 receptors immunoperoxidase technique, under

Page 170

1 agenda item #1, outside referral policy --  
 2 DR. KHALIFA:  
 3 A. Yes.  
 4 COFFEY, Q.C.:  
 5 Q. I take it that this -- if we look through the  
 6 minutes here, I'm not going to take you  
 7 through them in detail, but this refers to  
 8 dealing with this issue of outside  
 9 consultation which you mentioned this morning  
 10 as a matter that had to be addressed at one  
 11 point. I'll just let you look down through  
 12 it.  
 13 DR. KHALIFA:  
 14 A. Yes.  
 15 COFFEY, Q.C.:  
 16 Q. And so it was at this point -- if it hadn't  
 17 been already dealt with before, at least  
 18 started to be addressed before, you're in the  
 19 process at this point of addressing this issue  
 20 about how outside consults will be dealt with  
 21 and kept track of?  
 22 DR. KHALIFA:  
 23 A. Yes.  
 24 COFFEY, Q.C.:  
 25 Q. Paragraph two, breast receptors

Page 171

1 immunoperoxidase technique, it reads, "It is  
 2 agreed that there is no longer a need for  
 3 evaluation of the breast receptors by the bio-  
 4 assay technique. It was also agreed that in  
 5 regards to reporting of the breast receptors  
 6 via the immunoperoxidase technique, that  
 7 individual pathologists could report these  
 8 results. It is agreed that the estrogen and  
 9 progesterone stains will be recorded as  
 10 negative or positive with percentage of  
 11 positivity given. It is also agreed that a  
 12 rider will be given with the report, the exact  
 13 wording of which is to be developed by Dr.  
 14 Khalifa".  
 15 DR. KHALIFA:  
 16 A. Yes.  
 17 COFFEY, Q.C.:  
 18 Q. So I take it then, Doctor, that they're going  
 19 to move into the next phase of this, which is  
 20 to have individual pathologists throughout the  
 21 province report their own cases?  
 22 DR. KHALIFA:  
 23 A. Yes.  
 24 COFFEY, Q.C.:  
 25 Q. Now, Doctor, I just -- here looking at this,

Page 172

1 it says, of course, "It is agreed", and I take  
 2 it that would be it is agreed by Drs. Cook,  
 3 Haegert, Khalifa, and Parai, who are the site  
 4 chiefs for the Health Care Corporation of St.  
 5 John's?  
 6 DR. KHALIFA:  
 7 A. That is correct, and each chief brought in the  
 8 consensus view of his/her own staff.  
 9 COFFEY, Q.C.:  
 10 Q. Doctor, because we will see a memo in a moment  
 11 that is addressed by yourself to all  
 12 pathologists in Newfoundland, I want to ask  
 13 you what had been the status up to this point  
 14 in time, January of 1998 about ER and PR, for  
 15 example, for Corner Brook or for Grand Falls,  
 16 or Gander, how did that work?  
 17 DR. KHALIFA:  
 18 A. They were sending the block, the chosen block  
 19 on their site, with the requisition. I would  
 20 do the stain, I would report it, and they will  
 21 get the report.  
 22 COFFEY, Q.C.:  
 23 Q. And before you arrived -- when you first  
 24 arrived in Newfoundland, before your arrival,  
 25 what was your understanding about what had

Page 173

1 been the ER and PR, how had those tests been  
 2 done, or did you have any understanding?  
 3 DR. KHALIFA:  
 4 A. That's a good question, but -- I didn't know.  
 5 I didn't know how it was handled.  
 6 COFFEY, Q.C.:  
 7 Q. You just knew that locally in St. John's it  
 8 was biochemical assay?  
 9 DR. KHALIFA:  
 10 A. That's correct.  
 11 COFFEY, Q.C.:  
 12 Q. And it was being done locally by a physician  
 13 at the General Hospital?  
 14 DR. KHALIFA:  
 15 A. Yes.  
 16 COFFEY, Q.C.:  
 17 Q. Biochemist. The centres outside St. John's,  
 18 the medical centres outside St. John's, but  
 19 within the province, were they asked about  
 20 ER/PR IHC testing in terms of their views as  
 21 to whether or not they should be reporting?  
 22 Like, pathologists in Corner Brook, were they  
 23 ever canvassed about whether they wanted to  
 24 get involved in reporting their own cases?  
 25 DR. KHALIFA:

Page 174

1 A. Again I wouldn't remember a formal  
 2 communication as a letter I received from any  
 3 of my colleagues outside St. John's, and I  
 4 don't recall an incident where there was some  
 5 sort of anxiety or disagreement about it. I  
 6 know we talked about it because I was on the  
 7 phone with these colleagues regularly. I  
 8 actually visited their labs on multiple  
 9 occasions and worked for them. So at that  
 10 point, the level of camaraderie and the level  
 11 of collegiality between me and the pathologist  
 12 in the periphery was sufficient to make me  
 13 believe that if they are uncomfortable, they  
 14 would not be shy to talk about it, they  
 15 wouldn't be intimidated or uncomfortable at  
 16 all.  
 17 COFFEY, Q.C.:  
 18 Q. And no one did complain or raise concerns  
 19 about it with you?  
 20 DR. KHALIFA:  
 21 A. No.  
 22 COFFEY, Q.C.:  
 23 Q. Exhibit P-1861, please. Doctor, the first  
 24 page of this is the agenda for a meeting  
 25 scheduled for February 12th, 1998, and the

Page 175

1 second item under business arising is, "ER and  
 2 PR reporting". Go to page two of the exhibit,  
 3 these are the minutes themselves of that  
 4 meeting of February 12th, and again it's Drs.  
 5 Cook, Haegert, Khalifa, and Parai present, as  
 6 well as Mr. Gulliver and Mr. Murphy. When we  
 7 look at paragraph 3.2, ER and PR reporting, it  
 8 reads, "Dr. Khalifa will write to -- I always  
 9 have difficulty with -- the biochemist's name?"  
 10 DR. KHALIFA:  
 11 A. Prabhakaran.  
 12 COFFEY, Q.C.:  
 13 Q. I apologize, "To Prabhakaran asking him to  
 14 discontinue the biochemical ER and PR assay as  
 15 of February 1, 1998".  
 16 DR. KHALIFA:  
 17 A. March.  
 18 COFFEY, Q.C.:  
 19 Q. I apologize, March 1, 1998, thank you, and  
 20 here we understand these are Dr. Cook's  
 21 handwriting, he's written March 1, 1998,  
 22 "Every pathologist will sign out cases. After  
 23 transition period, will talk to Prabhakaran".  
 24 So I take it then as of the end of the meeting  
 25 of February 12th, 1998, Doctor, in terms of

Page 176

1 this ER/PR IHC testing, if you're going to be  
 2 writing to the biochemist asking him to  
 3 discontinue it as of March 1 --  
 4 DR. KHALIFA:  
 5 A. Yes.  
 6 COFFEY, Q.C.:  
 7 Q. That the die is cast, as it were, we're moving  
 8 ahead with this?  
 9 DR. KHALIFA:  
 10 A. Yes.  
 11 COFFEY, Q.C.:  
 12 Q. If we could, please, Exhibit P-1850. Doctor,  
 13 this is a memo of February 16th, 1998, from  
 14 yourself to all Newfoundland pathologists.  
 15 The reference is reporting of estrogen and  
 16 progesterone receptor immunohistochemical  
 17 results, and -- now the Commissioner has seen  
 18 this before because it's been referred to  
 19 other pathologists who received it years ago.  
 20 Doctor, you'll note in the second paragraph  
 21 here, "The Division of Pathology, St. John's,  
 22 has been employing this technology for over a  
 23 year. Recent audits correlating IHC with  
 24 biochemical results in selected specimens  
 25 where both techniques have been run in

Page 177

1 parallel have shown high accuracy of the  
 2 introduced IHC detection. Results of these  
 3 audits have been discussed at several meetings  
 4 and are available for review". So you're  
 5 advising really all pathologists that if you  
 6 want to see the results to date --  
 7 DR. KHALIFA:  
 8 A. They are welcome to ask for it, yes.  
 9 COFFEY, Q.C.:  
 10 Q. And did anyone ever ask to see them, do you  
 11 recall?  
 12 DR. KHALIFA:  
 13 A. No.  
 14 COFFEY, Q.C.:  
 15 Q. And it goes on, "As this technique was still  
 16 in its introductory phase, Phase I, I've been  
 17 reporting results of the majority of cases to  
 18 establish consistency and reproducible  
 19 techniques. As we have come to a more  
 20 advanced stage of this pursuit where this test  
 21 could be done with a relatively high  
 22 efficiency and reliability, I came to believe  
 23 that we're probably ready to move into the  
 24 next two and final phases". Doctor, just on  
 25 that, you do say here, "I've been reporting

Page 178

1 the results of the majority of cases". So it  
 2 is possible that you did not actually report  
 3 all of the original cases? If we were to go  
 4 back and look at all the pathology reports,  
 5 there might be some up to that point reported  
 6 by local pathologists?  
 7 DR. KHALIFA:  
 8 A. As I mentioned before, I happen to know that  
 9 pathologists in St. Clare's Hospital were  
 10 sending their cases to Mayo Clinic. So they  
 11 would send the block to Mayo Clinic, Mayo  
 12 Clinic send them back their report. So I  
 13 couldn't claim at this point that I was -- or  
 14 that the Health Sciences Centre was doing  
 15 ER/PR for everybody because I knew that there  
 16 are cases that were going outside of this  
 17 domain.  
 18 COFFEY, Q.C.:  
 19 Q. And on page two of this exhibit, Phase II, you  
 20 write, "Each pathologist will be asked to  
 21 report results of his or her own case, as  
 22 indicated by the brown staining of nucelli of  
 23 the invasive neoplastic cells. This phase  
 24 will start March 1, 1998, at which time your  
 25 immunostain slides will be mailed back to you

Page 179

1 with positive controls whenever it is  
 2 technically possible. With each run, I will  
 3 still be responsible for reviewing the  
 4 positive controls here in our laboratory, and  
 5 the slides will not be mailed to you unless  
 6 adequate staining is noted in the positive  
 7 controls. As we are all interested in making  
 8 this transition as smooth as possible, I will  
 9 be more than glad to continue being available  
 10 to answer any questions and address concerns".  
 11 Now, Doctor, I have a couple of questions on  
 12 this Phase II reference. Where you say, "will  
 13 be mailed back to you with positive controls  
 14 whenever it is technically possible", what  
 15 type of positive controls are you speaking of  
 16 there?  
 17 DR. KHALIFA:  
 18 A. Positive controls were what we call external  
 19 controls and these were known cases to be  
 20 positive that we use to make sure that the run  
 21 actually worked.  
 22 COFFEY, Q.C.:  
 23 Q. And why would you -- why did you say whenever  
 24 it is technically possible?  
 25 DR. KHALIFA:

Page 180

1 A. The reason for that is as a standard procedure  
 2 in labs, you would run a positive control with  
 3 every run. So if we have ten cases in the  
 4 Health Sciences Centre, we do one positive  
 5 stain and we all see them at the Health  
 6 Sciences Centre, but since we are doing it to  
 7 other hospitals as well, then the logic would  
 8 say you need to do a positive control to be  
 9 dispatched with the slides back to each of  
 10 these pathologists, which means that with  
 11 every run we will do more than one positive  
 12 control, and that was not always possible.  
 13 Because of again resources and financial  
 14 reasons, we were told that we probably can do  
 15 one positive control for every run. So in the  
 16 site chief meeting, we struggled a lot with  
 17 this idea. Some of the pathologists were not  
 18 comfortable with it from St. Clare's, they  
 19 wanted to get the positive control themselves  
 20 and they said, well, if we have one positive  
 21 control, they said, well, then you send it to  
 22 us and then when we are done with it, we will  
 23 start sending around. So that would be like  
 24 one positive control circulating across the  
 25 island and by the time that slide circulates,

Page 181

1 another batch comes and then we will start to  
 2 get confused and the slides will be broken and  
 3 -- that wasn't really practical. We asked can  
 4 we get two positive controls, so one can stay  
 5 with us and one goes to St. Clare's, and then  
 6 why would we give St. Clare's preferential  
 7 treatment, and so there was a lot of  
 8 discussion around this and we tried to be  
 9 reasonable and realistic about it, and the lab  
 10 was only prepared to one positive control. So  
 11 I said, guys, I've been doing this for a year,  
 12 would you trust me if I look at the positive  
 13 control and the consensus was, we trust you,  
 14 so my vow to them was I will not send you the  
 15 slides unless I am comfortable and convinced  
 16 that it actually worked. So I would look at  
 17 the positive control and am comfortable with  
 18 it, and then I would tell Mary or whoever was  
 19 doing it, okay, dispatch the slides, so they  
 20 will send them to the respective pathologists.  
 21 COFFEY, Q.C.:  
 22 Q. And while you remained in St. John's as the  
 23 site chief, the positive external controls for  
 24 the ER and PR slides, were you reading all of  
 25 the positive external controls?

Page 182

1 DR. KHALIFA:  
 2 A. Yes.  
 3 COFFEY, Q.C.:  
 4 Q. And was it being signified in any way that you  
 5 were doing that, like documented in any way?  
 6 DR. KHALIFA:  
 7 A. I was -- I would be in my office. The  
 8 technologist brings a bunch of slides, I will  
 9 look at them and I say, well, it's faint,  
 10 let's repeat it, let's do this, let's do that,  
 11 and at the end I would say, okay, send them.  
 12 So I probably would check on the requisition  
 13 and give her back the paperwork and the slides  
 14 and she goes back to the lab.  
 15 COFFEY, Q.C.:  
 16 Q. So if it's recorded at all, it would be on the  
 17 requisition form?  
 18 DR. KHALIFA:  
 19 A. I would probably say so.  
 20 COFFEY, Q.C.:  
 21 Q. And the understanding you had, certainly after  
 22 having discussed it with people, and sending  
 23 out this memo, recording it and writing the  
 24 understanding you had with the pathologists  
 25 throughout the province was if there's an

Page 183

1 ER/PR slides from a patient coming back to  
 2 you, if you -- they will not leave the lab  
 3 unless "I have examined the external positive  
 4 control and I'm satisfied that the control is  
 5 positive, it's good to send you the patient  
 6 tissue".  
 7 DR. KHALIFA:  
 8 A. Absolutely, and if the pathologist wanted to  
 9 see that positive control, by all means I  
 10 would send it.  
 11 COFFEY, Q.C.:  
 12 Q. Now, Doctor, you also say here that -- you  
 13 referred to, "Unless adequate staining is  
 14 noted in the positive controls", and you just  
 15 referred to weak staining just then in  
 16 passing, you said if the external control came  
 17 and you looked at it and you said, well, it  
 18 might have to be redone, you were giving an  
 19 example --  
 20 DR. KHALIFA:  
 21 A. Yes.  
 22 COFFEY, Q.C.:  
 23 Q. What in this context -- what in the context of  
 24 external positive controls does adequate  
 25 staining in the positive controls mean? Why

Page 184

1 do you refer to adequate?  
 2 DR. KHALIFA:  
 3 A. Well, the positive staining -- the positive  
 4 control, the positive external control would  
 5 be a known case, so you got a block with lots  
 6 of cells, you want to make sure that -- I know  
 7 the case after looking at the slide many  
 8 times, so every time it is cut, it becomes  
 9 like reading the palm of my own hand. So I  
 10 know the case. Let us say I would see  
 11 staining on only half of the slide or there's  
 12 discrepancy between the periphery and the  
 13 centre, or some of the nuclei are faint, some  
 14 are dark --  
 15 COFFEY, Q.C.:  
 16 Q. Which hadn't been there when you'd seen it for  
 17 the first ten or fifteen or twenty times?  
 18 DR. KHALIFA:  
 19 A. Yes, exactly, so I have the image printed in  
 20 my head. So I would -- I know what adequate  
 21 staining is. So does every other pathologist.  
 22 So if you show the slide to any pathologist,  
 23 they will tell you this is adequate or not.  
 24 COFFEY, Q.C.:  
 25 Q. And if the external control was not adequately

Page 185

1       stained --  
 2 DR. KHALIFA:  
 3     A. We would repeat. I would like also to look at  
 4       the cases. At that point, I wasn't looking at  
 5       the actual cases case by case. I would look  
 6       at them also because if you are going to make  
 7       a judgment of this -- in this context, you  
 8       want to use several parameters because  
 9       sometimes what if the positive control didn't  
 10       work and all the other cases worked, so maybe  
 11       the problem now isn't the control, maybe we  
 12       need to get another control. So you really  
 13       want to be as comprehensive as you can, but I  
 14       must say at this point I wasn't looking at  
 15       every case.  
 16 COFFEY, Q.C.:  
 17     Q. Every --  
 18 DR. KHALIFA:  
 19     A. Every patient case. I would look at the  
 20       positive control and may pick up selected  
 21       cases to make sure that, you know, things are  
 22       making sense, so to speak.  
 23 COFFEY, Q.C.:  
 24     Q. But the external control --  
 25 DR. KHALIFA:

Page 186

1     A. It had to work, it had to work.  
 2 COFFEY, Q.C.:  
 3     Q. You conclude this Phase II reference by  
 4       saying, "As we are all interested in making  
 5       this transition as smooth as possible, I'll be  
 6       more than glad to continue being available to  
 7       answer any questions and address concerns". I  
 8       think you told us this morning when we  
 9       referred to this that the doctors may have  
 10       called you about individual cases to talk  
 11       about, but in terms of the overall scheme of  
 12       things, the overall approach to doing this,  
 13       having them report their own cases, there were  
 14       no general concerns raised with you?  
 15 DR. KHALIFA:  
 16     A. No.  
 17 COFFEY, Q.C.:  
 18     Q. And Phase III, here you're advising all  
 19       pathologists in the province that Division of  
 20       Medical Biochemistry at the General Hospital  
 21       will be addressed to officially discontinue  
 22       performing steroid assessment by biochemical  
 23       techniques. So I take it then that this ended  
 24       -- you did talk to --  
 25 DR. KHALIFA:

Page 187

1     A. At that point there was no proposed date, and  
 2       I think it dragged a little bit even more. We  
 3       were not really in a hurry to do this, just  
 4       drag a little bit. So I think the  
 5       biochemistry dragged a little bit even after  
 6       that date.  
 7 COFFEY, Q.C.:  
 8     Q. I take it that would have allowed then the  
 9       doctors outside your own institution, the  
 10       General Hospital, to get their own slides, to  
 11       report their own cases?  
 12 DR. KHALIFA:  
 13     A. Yes.  
 14 COFFEY, Q.C.:  
 15     Q. And simultaneously have the biochemical assays  
 16       still coming in, the results coming in?  
 17 DR. KHALIFA:  
 18     A. Yes.  
 19 COFFEY, Q.C.:  
 20     Q. So they would be going parallel for a while?  
 21 DR. KHALIFA:  
 22     A. If they notice anything that they are not  
 23       comfortable with, I wanted to give them a  
 24       window to --  
 25 COFFEY, Q.C.:

Page 188

1     Q. To raise concerns?  
 2 DR. KHALIFA:  
 3     A. Yes, to raise concerns, yes.  
 4 COFFEY, Q.C.:  
 5     Q. And you conclude, Doctor, by saying, "Attached  
 6       please find a proposal for uniform reporting  
 7       of ER/PR immunohistochemical staining. This  
 8       proposal was discussed with many of my  
 9       colleagues who mostly agree with its content  
 10       and accepted it as a policy. As I encourage  
 11       you to adopt the attached proposal in your  
 12       reporting to maintain uniformity, it should be  
 13       clearly stated that this is only proposal. As  
 14       you already know, there is a considerable host  
 15       of publications addressing this issue. I'll  
 16       be glad to share any of the material I already  
 17       have with you, and I would extremely  
 18       appreciate your feedback on this matter". Did  
 19       you get any requests for copies of  
 20       publications in relation to this matter?  
 21 DR. KHALIFA:  
 22     A. You mean someone requested?  
 23 COFFEY, Q.C.:  
 24     Q. Yes.  
 25 DR. KHALIFA:

Page 189

1 A. No, I did not get requests, but I want to  
 2 emphasize the issue that I didn't want this  
 3 memo to be considered as a policy or a  
 4 guideline, or anything like that. I was in no  
 5 position to make province-wide guidelines or  
 6 demand on my colleagues outside our hospital.  
 7 The pathologists at the General Hospital  
 8 adopted this as a policy, adopted my memo as a  
 9 policy, but I wanted to make it very clear  
 10 that I was not making a policy because I was  
 11 fully aware that (a) I have no authority to do  
 12 such a thing, I am not a provincial  
 13 accrediting agent, and there is no uniformity  
 14 across the globe, even within the same  
 15 country. Different medical centres were using  
 16 different format. So I wasn't going to try to  
 17 push this one format as a policy.  
 18 COFFEY, Q.C.:  
 19 Q. You do refer, Doctor, "I encourage you to  
 20 adopt the attached proposal in your reporting  
 21 to maintain uniformity". I take it the  
 22 advantage of maintaining uniformity in  
 23 reporting is what, Doctor?  
 24 DR. KHALIFA:  
 25 A. You want the oncologist to get used to the way

Page 190

1 things are being reported, so they don't get  
 2 confused.  
 3 COFFEY, Q.C.:  
 4 Q. Page three of this exhibit, Doctor, is  
 5 entitled "Proposal for uniform reporting of  
 6 ER/PR immunohistochemical assessment,  
 7 February, 1998". I take it this is the last  
 8 version of that proposal?  
 9 DR. KHALIFA:  
 10 A. This is the final.  
 11 COFFEY, Q.C.:  
 12 Q. And you have, "Report on hormone receptor  
 13 status will have three components. The first  
 14 component is a statement of whether the stain  
 15 is positive or negative. Positivity is  
 16 defined by nuclear staining detected in any  
 17 number of malignant cells". I take it,  
 18 Doctor, does that mean that if there's any  
 19 positivity at all, one percent --  
 20 DR. KHALIFA:  
 21 A. That is very clear here, one percent counts as  
 22 positive and in the example -- in the example  
 23 given, number two, that case was reported as  
 24 positive with a percentage of one to five  
 25 percent.

Page 191

1 COFFEY, Q.C.:  
 2 Q. And you write in paragraph two, "The second  
 3 component is a rough estimate of the  
 4 percentage of immuno reactive cells in a  
 5 section examined. This estimate could be in  
 6 the form of a range or a fixed number and is  
 7 listed in parenthesis", and when we look at  
 8 these examples, this is -- as you point out,  
 9 the one you -- you use ranges generally, 70 to  
 10 80 percent, 80 to 90 percent, in example one.  
 11 Example two, one to five percent, and a single  
 12 number for zero.  
 13 DR. KHALIFA:  
 14 A. Yes.  
 15 COFFEY, Q.C.:  
 16 Q. Zero percent.  
 17 DR. KHALIFA:  
 18 A. Because remember these are eyeballing. We  
 19 didn't have computers. Some centres now have  
 20 computers to read this.  
 21 COFFEY, Q.C.:  
 22 Q. But at the time, it would be the estimate by  
 23 the viewer?  
 24 DR. KHALIFA:  
 25 A. Yes.

Page 192

1 COFFEY, Q.C.:  
 2 Q. And in some cases, you envisaged that doctors  
 3 might use a particular number or might use a  
 4 range?  
 5 DR. KHALIFA:  
 6 A. Yes.  
 7 COFFEY, Q.C.:  
 8 Q. Paragraph three you've written, Doctor, "The  
 9 third component is a comment regarding only ER  
 10 [and not PR] immuno reactivity, and is only to  
 11 be included in the report if a small  
 12 percentage of neoplastic cells [1 to 30  
 13 percent] is positive". The comment reads,  
 14 "Evidence from the available literature  
 15 indicates that estrogen receptors immuno  
 16 reactivity detected in less than 30 percent of  
 17 neoplastic cells would most likely correspond  
 18 to a negative result in a biochemical assay of  
 19 the same specimen. American Journal of  
 20 Pathology, 1990, Volume 14, pages 121 to 127".  
 21 DR. KHALIFA:  
 22 A. That's correct.  
 23 COFFEY, Q.C.:  
 24 Q. End quote. Now, Doctor, what was your purpose  
 25 in adding the comment or suggesting this



Page 193

1 comment be added?  
 2 DR. KHALIFA:  
 3 A. My purpose is because at that time there was  
 4 literature to correlate, to close the loop in  
 5 the oncologist's head about how to translate  
 6 the report they receive now with the results  
 7 of the test before, that a case like that  
 8 would -- say, five percent, if you would have  
 9 done biochemical assay on that same tumour,  
 10 probably it would have been reported as  
 11 negative, and that has nothing to do with  
 12 whether the patient receives Tamoxifen or not  
 13 because the decision to give Tamoxifen or not  
 14 is solely in the hand of the oncologist who  
 15 would make their assessment based on their  
 16 entire evaluation of the case and probably by  
 17 looking at the percentages. For one patient,  
 18 5 percent positivity is good enough to give  
 19 Tamoxifen; for another patient maybe with -- I  
 20 don't know, for another patient with a  
 21 different clinical setting, maybe 10 percent  
 22 will not be enough. So that is their  
 23 decision, that is not our role.  
 24 COFFEY, Q.C.:  
 25 Q. And here, Doctor, in the examples, and I take

Page 194

1 it these are just examples, but the first of  
 2 them, estrogen receptors positive, 70 to 80  
 3 percent of cells, and then progesterone  
 4 receptors, positive, 80 to 90 percent of  
 5 cells, so that would be the suggested approach  
 6 if you were reporting both as positive, or, in  
 7 fact, even say, for example, estrogen  
 8 receptors was positive and progesterone  
 9 receptors here was negative --  
 10 DR. KHALIFA:  
 11 A. Yes.  
 12 COFFEY, Q.C.:  
 13 Q. Zero percent of cells.  
 14 DR. KHALIFA:  
 15 A. Yes.  
 16 COFFEY, Q.C.:  
 17 Q. It would be -- that would be the approach. If  
 18 one leaves out the reference to the comment  
 19 here at the bottom, just the comment is not  
 20 there, in effect there's not really any  
 21 difference between the reporting formats from  
 22 examples one to two, are there?  
 23 DR. KHALIFA:  
 24 A. No, the difference is that in example two, the  
 25 number of positive cells for ER was very

Page 195

1 small.  
 2 COFFEY, Q.C.:  
 3 Q. One to five percent.  
 4 DR. KHALIFA:  
 5 A. So if that case was done by biochemistry,  
 6 probably it would have been negative.  
 7 COFFEY, Q.C.:  
 8 Q. In terms of this, Doctor, and reading it, the  
 9 only usage of the word "negative" here amongst  
 10 the text for the examples themselves, is when  
 11 you get down to zero percent?  
 12 DR. KHALIFA:  
 13 A. That is correct. So one percent is a positive  
 14 case.  
 15 COFFEY, Q.C.:  
 16 Q. Just, for example, here --  
 17 DR. KHALIFA:  
 18 A. Yes.  
 19 COFFEY, Q.C.:  
 20 Q. One to five percent. Even if you had just  
 21 said here one percent --  
 22 DR. KHALIFA:  
 23 A. Yes.  
 24 COFFEY, Q.C.:  
 25 Q. That would still have been positive?

Page 196

1 DR. KHALIFA:  
 2 A. Yes.  
 3 COFFEY, Q.C.:  
 4 Q. In the -- in the text itself, and then there's  
 5 this cross reference, please see comment.  
 6 DR. KHALIFA:  
 7 A. Yes.  
 8 COFFEY, Q.C.:  
 9 Q. And then in the comment, the only reference to  
 10 negative would be in relation to a biochemical  
 11 assay?  
 12 DR. KHALIFA:  
 13 A. Yes.  
 14 COFFEY, Q.C.:  
 15 Q. Doctor, after this went out and during the  
 16 time then you spent in St. John's up until  
 17 1999, did you ever get any questions from  
 18 oncologists about what was meant by the  
 19 wording in the reports that you did?  
 20 DR. KHALIFA:  
 21 A. No, I don't recall, and again I just want to  
 22 put things in context. That was the time when  
 23 the biochemical assay was still kind of alive  
 24 because I bet you now if you go to one of our  
 25 residents now in Memorial or in Toronto and

Page 197

1 ask them about biochemical assay, they  
 2 wouldn't have any idea. In that sense, that  
 3 comment today probably is meaningless.  
 4 COFFEY, Q.C.:  
 5 Q. If it was -- if somebody was to now -- for  
 6 example, if you had a resident when you  
 7 returned to Toronto in your work next week --  
 8 DR. KHALIFA:  
 9 A. Yes.  
 10 COFFEY, Q.C.:  
 11 Q. And somebody for some reason pulled up an old  
 12 case, a pathology report, you wouldn't be  
 13 surprised to have a resident come along and  
 14 ask you what does this mean?  
 15 DR. KHALIFA:  
 16 A. Yes, they will clearly understand, well, this  
 17 was probably the transition where people were  
 18 moving away for biochemical assays.  
 19 COFFEY, Q.C.:  
 20 Q. Exhibit P-1862, please. Now, Doctor, this is  
 21 -- the first page is a memorandum of March  
 22 13th, '98, dealing with a site scheduling --  
 23 scheduling of a site chief's meeting of March  
 24 19th, 1998, and the agenda items; one, follow  
 25 up on ER/PR reporting, and the memo is from

Page 198

1 yourself. Page two is just a marked up copy  
 2 of the same memo, and page three of this  
 3 exhibit, Doctor, is a -- actually is minutes  
 4 of a meeting of March 19th, 1998, dated up  
 5 here in the top right hand corner, March 25th,  
 6 1998, so presumably it was typed after the  
 7 meeting itself. Present are Drs. Cook,  
 8 Haegert, Khalifa, Parai, and again Mr.  
 9 Gulliver and Mr. Murphy. It notes here, "Dr.  
 10 Khalifa amended paragraph 3.2 of the previous  
 11 meeting minutes. It should read Dr. Khalifa  
 12 will transfer the responsibility of reporting  
 13 the results of the immunohistochemical  
 14 staining of ER/PR to the respective  
 15 pathologists on March 1, 1998. Dr.  
 16 Prabhakaran will be contacted at a later date  
 17 and asked to discontinue the biochemical  
 18 assays". A motion from Mr. Gulliver, seconded  
 19 by Dr. Cook, accepted the minutes of the  
 20 previous meeting, and then under business  
 21 arising, it's noted, "Dr. Khalifa updated the  
 22 committee about the current stage of ER/PR  
 23 reporting by the requesting pathologists. The  
 24 transition was going smooth. Dr. Cook made  
 25 very positive remarks about the role played by

Page 199

1 Dr. Khalifa in this regard". It goes on from  
 2 there. If we could look, please, at Exhibit  
 3 P-1863. Doctor, these are minutes of a  
 4 meeting of April 22nd, 1998, site chief's  
 5 meeting, notes the minutes of the March 19th  
 6 meeting, 1998, were accepted, and seconded,  
 7 and then under business arising, additional  
 8 new immunoperoxidase stains to existing panel,  
 9 there's a reference to a letter from Dr.  
 10 Griffin being submitted to the committee, and  
 11 after some discussion, it was agreed to  
 12 acquire the immunoperoxidase stains and it  
 13 lists four of them, actually. It continues  
 14 on, "In regards to the rapid immunostaining  
 15 technique, it was agreed that the current  
 16 procedure employed by the General Hospital  
 17 site appears adequate. Currently the DAKO  
 18 EnVisage System is employed, which is a two  
 19 step method, giving comparable results to the  
 20 rapid immunostaining technique outlined in Dr.  
 21 Griffin's letter". So Doctor, do you recall  
 22 what this was about?  
 23 DR. KHALIFA:  
 24 A. I wouldn't recall this particular thing. Of  
 25 course, I can relate to what is being said

Page 200

1 here, but this was a theme by this one  
 2 pathologist who was active in going to  
 3 meetings and talking to people outside St.  
 4 John's, and that was useful to bring in views  
 5 from outside, but probably the problem here  
 6 was that she gets these ideas and she gets  
 7 these views, and she was kind of under the  
 8 impression that she can cal up -- she was  
 9 stationed at St. Clare's Hospital. She would  
 10 cal up the lab in St. John's in the General  
 11 Hospital and tell them do this, or buy this  
 12 antibody, or switch to this technique, do this  
 13 or do that, which is by-passing me because I  
 14 thought that was -- my role was to prioritize  
 15 things and make sure that -- I mean, I thought  
 16 I was looking at the bigger picture than what  
 17 she was at the time, and so -- because if you  
 18 go back to the minute of the previous meeting,  
 19 I was actually starting to talk to people  
 20 about developing a policy about how should we  
 21 request new antibody or define a protocol, and  
 22 here we go again the following meeting, we are  
 23 still talking about this. We were trying to  
 24 address her concerns and trying to accommodate  
 25 her request as much as we can.

Page 201

1 COFFEY, Q.C.:

2 Q. So Doctor, in terms of the reference to the

3 rapid immunostaining technique, I take it the

4 consensus amongst the group of you at the

5 time, the site chiefs was, and including the

6 clinical chief, that the current procedure

7 employed at the General Hospital site appeared

8 adequate?

9 DR. KHALIFA:

10 A. Yes.

11 COFFEY, Q.C.:

12 Q. In terms of immunostaining techniques?

13 DR. KHALIFA:

14 A. Yes.

15 COFFEY, Q.C.:

16 Q. If we could, just on that point, Exhibit P-

17 1862, please. Doctor, paragraph three here.

18 I take it, "Dr. Khalifa suggested that a

19 system be in place for members of the

20 committee to study requests submitted from

21 various staff members for the addition of new

22 antibodies". Doctor, just on that point, if

23 new antibodies were ordered, when they were

24 ordered, what if anything was done in terms of

25 bringing the antibody on line in the sense of

Page 202

1 --

2 DR. KHALIFA:

3 A. Same what we did with ER/PR with exception of

4 the correlation, as I said, because we didn't

5 have gold standard, but during this time many,

6 many antibody--if you look at our requisition

7 form, when I first developed it and after four

8 years and you see how it grew--it grew

9 tremendously.

10 COFFEY, Q.C.:

11 Q. And so the process then, while you were the

12 site chief for--well, what developed here was

13 that the group the site chiefs had to approve

14 of -

15 DR. KHALIFA:

16 A. Yes.

17 COFFEY, Q.C.:

18 Q. The purchase of an antibody, a new antibody,

19 and when it was brought in your understanding

20 was what in terms of it being optimized? What

21 was going on?

22 DR. KHALIFA:

23 A. We would go through the same thing. We will

24 try different concentrations, different

25 titrations and -

Page 203

1 COFFEY, Q.C.:

2 Q. And who was overseeing that for each new

3 antibody?

4 DR. KHALIFA:

5 A. I was.

6 COFFEY, Q.C.:

7 Q. Okay, site chief that was.

8 DR. KHALIFA:

9 A. As a site chief, yes.

10 COFFEY, Q.C.:

11 Q. If we could go back, please, to Exhibit P-

12 1863. I was going to bring you to - thank you

13 - Page 2. There's these April 22, 1998,

14 minutes. Doctor, Paragraph "F" reads,

15 "Estrogen receptors, Dr. Cook wondered about

16 the rider in the case. Where estrogen

17 receptors are stained less than 30 percent of

18 its cells, Dr. Khalifa informed him that this

19 rider is a recommendation only and is not part

20 of the formal policy regarding the reporting

21 of breast receptors." I take it, that Dr.

22 Cook wanted to drop the account.

23 DR. KHALIFA:

24 A. Certainly, this was the view of the

25 pathologist at St. Clare's and, again,

Page 204

1 everybody was free to do what they wanted to

2 do as long as they saw it as within the

3 standard of care at the time.

4 COFFEY, Q.C.:

5 Q. Exhibit P-2417, please. Doctor, this is a

6 memorandum of November 10, 1998, from yourself

7 to a number of physicians. These are all

8 pathologists at the General Hospital, I take

9 it, the list there.

10 DR. KHALIFA:

11 A. Yes.

12 COFFEY, Q.C.:

13 Q. It's a divisional meeting. You're advising

14 them about a meeting on Thursday, November

15 12th, that would be. Under "Agenda," the

16 third item is "ER/PR immunohistochemistry

17 requests." And Exhibit P-2418, please, and

18 these are minutes, Doctor, of a meeting of

19 November 12, 1998, at the General Hospital

20 site. Again, the physicians are listed as in

21 attendance, including yourself, and under

22 Paragraph 2, flagging breast cancer cases,

23 "Members of the committee agreed to receive a

24 note from the secretaries with every breast

25 cancer case as a reminder for the submission

Page 205

1 of a ER/PR request. This process will be  
 2 triggered by dictating a microscopic  
 3 description or diagnosis." So I take it, that  
 4 this is again -  
 5 DR. KHALIFA:  
 6 A. So we are still struggling with this, yeah.  
 7 COFFEY, Q.C.:  
 8 Q. Struggling, trying to make sure that it's  
 9 always requested.  
 10 DR. KHALIFA:  
 11 A. Yes.  
 12 COFFEY, Q.C.:  
 13 Q. For every breast cancer. Now, Doctor, Exhibit  
 14 P-2347, please - 2347 - and, Doctor, this is a  
 15 letter from the Central Newfoundland Regional  
 16 Health Center, November 13, 1998, addressed to  
 17 yourself and the patient's name. Personal  
 18 information is redacted. Dr. Dalton writes,  
 19 "Enclosed is a block and slide on the above-  
 20 mentioned lady for ER/PR evaluation. Thanking  
 21 you in advance, and return of block and slide  
 22 at your earliest convenience will be greatly  
 23 appreciated." I take it, Doctor, that this is  
 24 the sort of letter you would get with--at  
 25 least in the early days, for ER/PR?

Page 206

1 DR. KHALIFA:  
 2 A. Well, by '99--'98, the requisition form for  
 3 ordering antibodies was in place for many  
 4 years, so we used to print these in books and  
 5 send them to the pathologists. So maybe Dr.  
 6 Dalton on that day, he ran out of the  
 7 requisition forms so he sent the block with a  
 8 letter rather than a form. Yes, we used to  
 9 get things like that and this would be my  
 10 handwriting, yes.  
 11 COFFEY, Q.C.:  
 12 Q. Yes, it says, "Please send back to Grand  
 13 Falls," and there are your initials here at  
 14 the bottom. So after a case would be done -  
 15 DR. KHALIFA:  
 16 A. Yes.  
 17 COFFEY, Q.C.:  
 18 Q. You would send it back and send a covering  
 19 letter with this letter with your note on it.  
 20 This would be an instruction to the staff.  
 21 DR. KHALIFA:  
 22 A. "M.B." is Mary Butler.  
 23 COFFEY, Q.C.:  
 24 Q. Yes, which would indicate, I take it, the date  
 25 she would have processed.

Page 207

1 DR. KHALIFA:  
 2 A. Yes.  
 3 COFFEY, Q.C.:  
 4 Q. Or finished the slides.  
 5 DR. KHALIFA:  
 6 A. Yes.  
 7 COFFEY, Q.C.:  
 8 Q. And you would be instructing that they be sent  
 9 back.  
 10 DR. KHALIFA:  
 11 A. Yes.  
 12 COFFEY, Q.C.:  
 13 Q. In this context, would the slides--why would  
 14 you put this on it? Would you have actually  
 15 seen the slides, do you think?  
 16 DR. KHALIFA:  
 17 A. I would have seen the control.  
 18 COFFEY, Q.C.:  
 19 Q. Control.  
 20 DR. KHALIFA:  
 21 A. Yes.  
 22 COFFEY, Q.C.:  
 23 Q. And then you might endorse something like this  
 24 on it.  
 25 DR. KHALIFA:

Page 208

1 A. Yes.  
 2 COFFEY, Q.C.:  
 3 Q. This would be an instruction to Ms. Butler to  
 4 forward it on.  
 5 DR. KHALIFA:  
 6 A. Yes.  
 7 COFFEY, Q.C.:  
 8 Q. If we could look, at Exhibit P-2152, please.  
 9 Now, Doctor, this is a requisition form. It's  
 10 dated probably June 2nd - I apologize. I'm  
 11 looking at the wrong page. Yes, there we are.  
 12 It's Page 7, Commissioner. Here, Doctor, in  
 13 fact, you are the pathologist here. Your name  
 14 is listed there. It's a date. You can see  
 15 it's June because it's dated here June 5,  
 16 1998, signed by Ms. Welsh, and this is an  
 17 example of your requisition form.  
 18 DR. KHALIFA:  
 19 A. Yes.  
 20 COFFEY, Q.C.:  
 21 Q. And used in June of 1998. Doctor, what I  
 22 wanted to ask you about is, on the other side  
 23 of this - you see this is obviously a computer  
 24 printout. "Immunohistochemical Report  
 25 6/05/98" to be, I understand, June 5, '98, and

Page 209

1 patients--well, the name is not listed there  
 2 but there's a case number, and note here the  
 3 case number is S1778-98, Central Newfoundland  
 4 Health, and if we look back at the page  
 5 before, 1778-98, that would be the year 1998,  
 6 and the surgical pathology number - that was  
 7 1778. Now there's another surgical pathology  
 8 number here.  
 9 DR. KHALIFA:  
 10 A. Yes.  
 11 COFFEY, Q.C.:  
 12 Q. At the bottom of the page.  
 13 DR. KHALIFA:  
 14 A. Yes.  
 15 COFFEY, Q.C.:  
 16 Q. And it's S4598-98.  
 17 DR. KHALIFA:  
 18 A. Yes sir.  
 19 COFFEY, Q.C.:  
 20 Q. And I take it, one of these would be the  
 21 surgical number for outside St. John's, and  
 22 this is the St. John's number.  
 23 DR. KHALIFA:  
 24 A. Yes, it's easy because now we are in June '98.  
 25 COFFEY, Q.C.:

Page 210

1 Q. Yes.  
 2 DR. KHALIFA:  
 3 A. In the Health Sciences Center we got between  
 4 eleven and twelve thousand cases a year, so by  
 5 June it's logic to be in the 5000 range, which  
 6 is down--or 4000 range, but the outside  
 7 hospital is a smaller lab so they have lower  
 8 number of cases, so that was the number for  
 9 Central Newfoundland.  
 10 COFFEY, Q.C.:  
 11 Q. Oh, the technician is listed to be Peggy and  
 12 the doctor is yourself here. The institution  
 13 is listed up here in the top, right-hand  
 14 corner and there's a slide number, 19 and 20.  
 15 The antibody estrogen receptor, 1 to 50, and  
 16 this would be what, 30 minutes? Well, first  
 17 of all, I'll ask you, are you familiar with  
 18 this form, Doctor? When you were in St.  
 19 John's, were these types of forms being  
 20 utilized?  
 21 DR. KHALIFA:  
 22 A. I'm not familiar with this form, actually. I  
 23 don't even know how it was generated.  
 24 COFFEY, Q.C.:  
 25 Q. So this is not something that you would--in

Page 211

1 your work as a pathologist, you wouldn't come  
 2 across this.  
 3 DR. KHALIFA:  
 4 A. Okay.  
 5 COFFEY, Q.C.:  
 6 Q. You don't recall ever coming across this sort  
 7 of form.  
 8 DR. KHALIFA:  
 9 A. No.  
 10 COFFEY, Q.C.:  
 11 Q. Okay. Oh, that's why I wanted to ask you  
 12 about it. Your name is listed there on it.  
 13 DR. KHALIFA:  
 14 A. Yeah.  
 15 COFFEY, Q.C.:  
 16 Q. And I thought I would ask you. Exhibit P-  
 17 2424, please. Doctor, this is from the  
 18 Peninsula's Health Care Corporation. It's  
 19 November 20, 1998. It's a letter from--Dr.  
 20 Bibi she's referred to here locally. It's  
 21 addressed to yourself, and she asks, "Please  
 22 perform estrogen and progesterone receptors on  
 23 the enclosed paraffin block and then return  
 24 the block to that institution," and, I take  
 25 it, that's your initial probably there.

Page 212

1 DR. KHALIFA:  
 2 A. Yes.  
 3 COFFEY, Q.C.:  
 4 Q. Doctor, while you were site chief in St.  
 5 John's, was Clarenville's hospital, which is -  
 6 because this is in Clarenville.  
 7 DR. KHALIFA:  
 8 A. Yes.  
 9 COFFEY, Q.C.:  
 10 Q. Was Clarenville utilizing St. John's for ER/PR  
 11 while you were site chief?  
 12 DR. KHALIFA:  
 13 A. That is my impression, yes.  
 14 COFFEY, Q.C.:  
 15 Q. Did anyone ever make you aware while you were  
 16 site chief - I'm not suggesting that it  
 17 happened, but I'm asking you - while you were  
 18 site chief in St. John's, did anyone ever make  
 19 you aware that Clarenville was going to  
 20 discontinue using St. John's?  
 21 DR. KHALIFA:  
 22 A. No.  
 23 COFFEY, Q.C.:  
 24 Q. Doctor, if I could please, Exhibit P-2419?  
 25 Doctor, just--this is just an excerpt from a

Page 213

1 report in the late 1990s, we obtained it from  
 2 Mr. Gulliver. It's a report he prepared, but  
 3 other significant achievements are, and I just  
 4 note in the third bullet here that Dr. Khalifa  
 5 was named professor of the year for MUN  
 6 Medical School. And I looked at your CV, I  
 7 take it that on a couple of occasions, at  
 8 least in St. John's while you were here, you  
 9 were--you did receive that award?  
 10 DR. KHALIFA:  
 11 A. Well, the first one was this one and the  
 12 second one they gave me the award after I went  
 13 to Sunnybrook. They were so kind to me to  
 14 give me the award, even after I left the  
 15 university.  
 16 COFFEY, Q.C.:  
 17 Q. Doctor, if we could, please Registrar, Exhibit  
 18 P-2420? This is again minutes of a meeting of  
 19 a Division of Anatomical Pathology, April  
 20 20th, 1999. Present are Dr. Chittal,  
 21 Fernandez, Haegert, Khalifa, MacIntosh, Morris-  
 22 Larkin, Robb, and Wadden. A couple of  
 23 different things here I wanted to ask you  
 24 about, the group, with the exception of Dr.  
 25 Robb, was called--who was called to the OR,

Page 214

1 Dr. Robb was called away, group posed for a  
 2 picture. So I take it at this point in time,  
 3 were you getting ready to leave? This is  
 4 April of -  
 5 DR. KHALIFA:  
 6 A. Yes.  
 7 COFFEY, Q.C.:  
 8 Q. '99. And under paragraph 2, there's a summer  
 9 workload schedule. It says you asked members  
 10 of the group to consider their respective  
 11 summer holiday schedule in advance to allow  
 12 for developing a fair schedule, despite the  
 13 anticipated shortage in staff. Doctor, was  
 14 the idea that there would be shortages in  
 15 pathologist staff in the summer, was that  
 16 routine or was that particular to this year?  
 17 DR. KHALIFA:  
 18 A. I can't exactly recall the specifics of this  
 19 summer, but having people away in summer is  
 20 not unusual. I know that one staff during my  
 21 time went on sabbatical to France, so we went  
 22 down one pathologist for a very long time. I  
 23 think around that time Dr. MacIntosh was also  
 24 leaving, so we were going to--we were  
 25 anticipating shortage.

Page 215

1 COFFEY, Q.C.:  
 2 Q. The second page of this exhibit, there's a  
 3 reference to new site chief. "A discussion  
 4 took place around this topic with the  
 5 intention of not reaching a decision, but  
 6 rather voicing out opinions. Dr. Khalifa  
 7 presented to members of the group of summary  
 8 of chores he carried out during his served  
 9 period. He also presented some figures to  
 10 summarize workload in various sites within the  
 11 Health Care Corporation. A long discussion  
 12 took place, some of its highlights are  
 13 summarized below. And Dr. Chittal had an  
 14 opinion as to the strategy that should be  
 15 utilized in terms of combining the chair and  
 16 site chief roles in one individual. Dr.  
 17 Fernandez said she wasn't going to be come site  
 18 chief again -  
 19 DR. KHALIFA:  
 20 A. Yes.  
 21 COFFEY, Q.C.:  
 22 Q. Because she had been your predecessor. Dr.  
 23 Robb made a comment about collegiality and  
 24 avoiding conflicts within the discipline and  
 25 Dr. Haegert pointed out some of the options,

Page 216

1 including rotating responsibilities among  
 2 various staff and so on, not having a site  
 3 chief and other possibilities. Now, Doctor,  
 4 if I could refer you please to Exhibit P-1989-  
 5 -I'm sorry, 1898? Because that was a meeting  
 6 of April 20th. This document is, your name on  
 7 the top left-hand side, dated April 19th,  
 8 1999. "Some of my chores as a site chief,  
 9 1996 to 1999." I take it this is a document  
 10 you prepared and presented at that meeting on  
 11 April 20th?  
 12 DR. KHALIFA:  
 13 A. Yes.  
 14 COFFEY, Q.C.:  
 15 Q. Now, Doctor, you left, I gather in June of  
 16 1999.  
 17 DR. KHALIFA:  
 18 A. Yes.  
 19 COFFEY, Q.C.:  
 20 Q. Up to the point when you left St. John's, were  
 21 you debriefed in any way, other than perhaps  
 22 providing this as a summary of your duties?  
 23 Were you debriefed by any one?  
 24 DR. KHALIFA:  
 25 A. No.

Page 217

1 COFFEY, Q.C.:

2 Q. Doctor, within St. John's at the time, within

3 the General Hospital, how generally understood

4 was it amongst the pathologists that you were

5 reading the controls for ER/PR?

6 DR. KHALIFA:

7 A. Everybody knew that, that was a fact.

8 COFFEY, Q.C.:

9 Q. So that if you were not going to be there in

10 July, I take it everyone, from your

11 perspective, knew that if that was going to b

12 done, someone would have to take over that

13 role?

14 DR. KHALIFA:

15 A. Yes.

16 COFFEY, Q.C.:

17 Q. Had that been attended to up to the time you

18 left?

19 DR. KHALIFA:

20 A. Sorry?

21 COFFEY, Q.C.:

22 Q. Had that been attended to in the sense of had

23 your replacement -

24 DR. KHALIFA:

25 A. Not to the best of my knowledge.

Page 218

1 COFFEY, Q.C.:

2 Q. Now, Doctor, here in the rules here,

3 scheduling, responding to clinician's calls,

4 3) responding to technical problems in

5 laboratory (preparing controls for

6 immunohistochemistry), troubleshooting with

7 failed tests, supporting staff personality

8 conflicts, et cetera." So, where IHC was

9 concerned, I take it that as a site chief, if

10 the pathologists had a concern, they would

11 come to you about IHC?

12 DR. KHALIFA:

13 A. Yes.

14 COFFEY, Q.C.:

15 Q. If the technologists had a concern, they would

16 come to you?

17 DR. KHALIFA:

18 A. Yes.

19 COFFEY, Q.C.:

20 Q. And if there was a concern from somebody

21 outside about IHC -

22 DR. KHALIFA:

23 A. Yes.

24 COFFEY, Q.C.:

25 Q. They would come to you?

Page 219

1 DR. KHALIFA:

2 A. Yes.

3 COFFEY, Q.C.:

4 Q. "Through organizing a request for sending

5 cases out, Tuesday conference is a tool for

6 the limited QA we have." And I'm going to ask

7 you now, what QA existed at the time? This is

8 paragraph four--I'm sorry, paragraph five.

9 And you've referred to this earlier today.

10 DR. KHALIFA:

11 A. Tuesday rounds were one example of QA. QA was

12 other initiatives included, for example,

13 correlating the frozen section diagnosis with

14 the final diagnosis and again, that wasn't

15 going on before my time, but I asked people

16 to--because the frozen section diagnosis is an

17 interoperative consultation which could be

18 less than complete, so when the case is

19 finalized, the pathologist has to correlate

20 the final diagnosis and reconcile any

21 differences with the diagnosis given during

22 the interoperative consultation. Collating

23 the outside opinions on our cases when they go

24 for consultation and come back, keeping track

25 of diagnostic errors, there was some activity

Page 220

1 but I wouldn't describe it as a full-fledged

2 program.

3 COFFEY, Q.C.:

4 Q. And why wasn't there a full-fledged program?

5 It may be self-evident to you, Doctor, I have

6 to ask you why wasn't there at the time?

7 DR. KHALIFA:

8 A. I'm not sure if I understand your question.

9 Are you saying why was this my assessment or

10 why wasn't it in place?

11 COFFEY, Q.C.:

12 Q. Why wasn't it in place?

13 DR. KHALIFA:

14 A. It wasn't in place because quality assurance

15 is almost a department by itself. You need--

16 first of all, you need resources, you need the

17 right computer people, you need the right

18 trained people with the mindset of quality

19 assurance and then you need to build a culture

20 and I worked on the culture, but of course, we

21 were not there and we are not going to be

22 there in this generation, that's the report of

23 the Institute of Medicine. They clearly say

24 that the culture of safety is not going to be

25 accomplished in our time, probably the hope is

Page 221

1 in the next generation where we can openly  
 2 talk about errors in a non-blame culture so we  
 3 can learn from our mistakes. But we worked a  
 4 lot on that in the Health Sciences Centre to  
 5 get a little bit out of the sensitivity. It  
 6 is granted that nobody likes to be called  
 7 wrong, but we just have to live with the fact  
 8 that sometimes we are wrong and we have to  
 9 learn from this. So there's a lot more than  
 10 the computer, the resources, the personnel.  
 11 You need the culture, and you need the time,  
 12 you need the dedication, you need the  
 13 understanding, you need the leadership. Only  
 14 when you are at that level and then you have  
 15 audits and you have numbers and you have  
 16 reports and, like in Sunnybrook now, I am  
 17 committed to releasing quarterly reports with  
 18 all the new misses and errors and all of that  
 19 has to be in the open and has to be reported  
 20 regularly, monitored regularly. Unless you  
 21 get to that point, I don't think I would call  
 22 this a full-fledged quality assurance program.  
 23 I'm not even happy with our quality assurance  
 24 program, but that's a different topic. We  
 25 need a time. I guess I'm saying that the

Page 222

1 reason it was not there is because we needed  
 2 time, we needed resources, we needed  
 3 dedication.  
 4 COFFEY, Q.C.:  
 5 Q. Doctor, were the other pathologists around  
 6 you, particularly the other clinical chiefs--  
 7 the clinical chief and the other site chiefs  
 8 in your day, were they aware of this? Were  
 9 they aware of the state of the QA and the fact  
 10 that a lot of work was required? From your  
 11 perspective, I mean was it something they were  
 12 aware--were they as seemingly aware of it as  
 13 you were?  
 14 DR. KHALIFA:  
 15 A. Yes, they were.  
 16 COFFEY, Q.C.:  
 17 Q. Was there any external proficiency testing  
 18 going on at the time during your time as site  
 19 chief?  
 20 DR. KHALIFA:  
 21 A. Very good point, very good point, because I  
 22 think this is a very, very essential element  
 23 that is missing, I guess this is why we are  
 24 here today. No, the answer is no.  
 25 COFFEY, Q.C.:

Page 223

1 Q. Were there programs that were available to be  
 2 enrolled in at that time?  
 3 DR. KHALIFA:  
 4 A. There were programs, I am aware of programs in  
 5 the United States, they would not be  
 6 applicable to the environment here in St.  
 7 John's. If there was, if there were  
 8 accrediting agency for the laboratories in St.  
 9 John's, in Newfoundland, that would have made  
 10 our life much easier.  
 11 COFFEY, Q.C.:  
 12 Q. And so in the late 1990s, while you were site  
 13 chief in St. John's, the clinical laboratory,  
 14 at least the anatomical pathology end of it  
 15 was not involved in external proficiency  
 16 testing at the time, during your day?  
 17 DR. KHALIFA:  
 18 A. No.  
 19 COFFEY, Q.C.:  
 20 Q. And were there any Canadian programs that you  
 21 were aware of at that time?  
 22 DR. KHALIFA:  
 23 A. Any Canadian programs?  
 24 COFFEY, Q.C.:  
 25 Q. Yes.

Page 224

1 DR. KHALIFA:  
 2 A. No, at that time I wasn't aware of the QMPLS  
 3 or any of these programs, no.  
 4 COFFEY, Q.C.:  
 5 Q. And the American programs that you just  
 6 referred to, you were aware of, you couldn't  
 7 enroll in them from here? You said they  
 8 wouldn't be applicable to a place like St.  
 9 John's?  
 10 DR. KHALIFA:  
 11 A. It wouldn't be applicable, it wouldn't be  
 12 fair, no.  
 13 COFFEY, Q.C.:  
 14 Q. When you say it "wouldn't be fair" why is  
 15 that?  
 16 DR. KHALIFA:  
 17 A. Because of the philosophy, the programs in the  
 18 States are so medical legally oriented, very  
 19 turn around time oriented. Turn-around time  
 20 is very important, reimbursement issues are  
 21 very important and they govern the whole  
 22 program. To try to apply that, I mean, I was  
 23 a member of the accrediting team from the  
 24 College of American Pathologists who went to  
 25 accredit some of the labs in Toronto, like the



Page 225

1 Mount Sinai Hospital, I signed off that. And  
 2 only very few labs in Canada can meet this  
 3 standard and they do it for certain reasons as  
 4 well. If you are accredited by the College of  
 5 American Pathology, so your lab probably can  
 6 receive grants for American agencies, and  
 7 things like that, so there is an advantage.  
 8 But I did not think that Newfoundland needs  
 9 this kind of thing. We just need something  
 10 practical and applicable to our situation.  
 11 COFFEY, Q.C.:  
 12 Q. If I could, please, Exhibit P-2421? This is a  
 13 letter of April 28th, 1999, Doctor. It's from  
 14 yourself, it's to Dr. Haegert. This, I take  
 15 it, Doctor, is a letter where you're  
 16 recounting or summarizing for Dr. Haegert the  
 17 experience you had had with these Tuesday  
 18 meetings.  
 19 DR. KHALIFA:  
 20 A. Yes.  
 21 COFFEY, Q.C.:  
 22 Q. And you note that 105--this dates back to  
 23 February of 1996, referring to a memorandum of  
 24 that time, beginning a new weekly surgical  
 25 pathology conference, and "105 of these

Page 226

1 sessions are well documented in my files with  
 2 more than 780 cases discussed. There are 3.2  
 3 staff pathologists per session." So I take it  
 4 you were even keeping track of how many  
 5 pathologists were showing up from time to  
 6 time.  
 7 DR. KHALIFA:  
 8 A. Yes.  
 9 COFFEY, Q.C.:  
 10 Q. And, Doctor, at the time did anyone ask you,  
 11 within the time you were leaving St. John's,  
 12 did anyone ask you like to leave them a copy  
 13 of your records in that regard? Like, you  
 14 obviously had been keeping track of it.  
 15 DR. KHALIFA:  
 16 A. Yes. No one asked me.  
 17 COFFEY, Q.C.:  
 18 Q. Exhibit P-1867 please? Doctor, I'm just going  
 19 to refer to page--this is a quality  
 20 initiatives report of 1999 to 2000, but on  
 21 page 3 of it, there's a reference in the last  
 22 paragraph of that page, page 3 of the exhibit,  
 23 Resignations were received during the year  
 24 from Dr. Prabhakaran, Chief of Biochemistry;  
 25 yourself, as site chief at the General

Page 227

1 Hospital and Dr. MacIntosh, the Chief of  
 2 Cytology. There are references to  
 3 replacements, Dr. Wadden replaced you as site  
 4 chief acting. Dr. S. Parai was going to  
 5 become the permanent site chief, effective May  
 6 1, 2000. Cytology chief was still vacant, the  
 7 Division of Anatomical Pathology received  
 8 resignations from six pathologists,  
 9 approximately a third of the total  
 10 pathologists manpower. All positions have  
 11 been successfully filled. So I take it,  
 12 Doctor, that that suggests there was a fair  
 13 amount of turn over in that year involving  
 14 pathologists?  
 15 DR. KHALIFA:  
 16 A. Yes, during my four years in St. John's,  
 17 nobody left the department.  
 18 COFFEY, Q.C.:  
 19 Q. During?  
 20 DR. KHALIFA:  
 21 A. My four years. When I was in St. John's,  
 22 there was no turn over, but this happened, I  
 23 guess, towards the end.  
 24 COFFEY, Q.C.:  
 25 Q. Because, well this covers the period, when we

Page 228

1 look back, Doctor, this covers the period  
 2 April 1, '99, so this covers the period really  
 3 just a month, within a month or two of you  
 4 leaving, to about ten months after you left.  
 5 DR. KHALIFA:  
 6 A. Yes.  
 7 COFFEY, Q.C.:  
 8 Q. So if there was that kind of turn over and  
 9 it's your recollection that that occurred  
 10 after, must have occurred after you left St.  
 11 John's.  
 12 DR. KHALIFA:  
 13 A. Yes.  
 14 COFFEY, Q.C.:  
 15 Q. I have a couple of exhibits I wanted to show  
 16 you before we break for the afternoon. C0185  
 17 please? And these next three exhibits,  
 18 Commissioner, are just simple--this would be  
 19 examples of pathology reports, completed by  
 20 Dr. Khalifa. This is a 1997 report, Doctor,  
 21 here signed yourself, November 3rd, '97 and  
 22 you report that hormone receptor status,  
 23 estrogen receptor strongly positive, 70 to 80  
 24 percent of cells; progesterone receptors  
 25 strongly positive, 80 to 90 percent of cells.

Page 229

1 At the bottom here you write, Doctor,  
 2 "Immunohistochemical assessment for estrogen  
 3 and progesterone receptors was performed on  
 4 the formalin and fixed paraffin embedded  
 5 tissue submitted. Appropriate positive  
 6 controls were obtained." What types of  
 7 controls were you referring to there?  
 8 DR. KHALIFA:  
 9 A. This particular part of the report was not  
 10 necessarily accepted by other pathologists,  
 11 some pathologists did not feel that they need  
 12 to document something of this nature, so I  
 13 wouldn't be surprised if you go back and look  
 14 at their reports, and again, as I say, this  
 15 was not standardized, but at least where I  
 16 came from, pathologists always documented  
 17 positive controls and that is referring to the  
 18 positive external control.  
 19 COFFEY, Q.C.:  
 20 Q. External controls. And, Doctor, I'm going to  
 21 ask you about, while I'm on this now, internal  
 22 controls, positive internal controls or  
 23 internal controls, first of all, internal  
 24 control tissue for ER and PR. Were you  
 25 familiar with that idea, the idea of utilizing

Page 230

1 normal tissue for internal controls?  
 2 DR. KHALIFA:  
 3 A. Sure.  
 4 COFFEY, Q.C.:  
 5 Q. When had you first been introduced to that in  
 6 relation to, well generally first of all I'll  
 7 ask you?  
 8 DR. KHALIFA:  
 9 A. Internal control is not a unique concept for  
 10 ER/PR. With every immunostain, some of the  
 11 normal or the native tissue elements could be  
 12 positive for the antibody that you are using  
 13 and therefore, when you see them, that adds  
 14 another layer of comfort that the antibody  
 15 worked.  
 16 COFFEY, Q.C.:  
 17 Q. So at this point in time, in 1997, would you  
 18 have been, by this point in time, in ER/PR,  
 19 when you got involved in ER/PR, IHC testing,  
 20 when you would look at a patient slide, would  
 21 you be looking for internal controls?  
 22 DR. KHALIFA:  
 23 A. Well if the second, if the second stain has  
 24 tumour and normal or non-tumour tissue next to  
 25 it, then you throw the antibody, it stains

Page 231

1 some of the native elements and maybe or maybe  
 2 not, some of the tumour. So when we saw that  
 3 in the native tissue, we talked about it in  
 4 Tuesdays rounds, we showed it to the residents  
 5 and kind of, like you say, ah ha, see, the  
 6 internal control, the antibody worked, so that  
 7 concept was known.  
 8 COFFEY, Q.C.:  
 9 Q. It was known. And known to you to the extent  
 10 that you were actually teaching it to your  
 11 residents?  
 12 DR. KHALIFA:  
 13 A. Yes.  
 14 COFFEY, Q.C.:  
 15 Q. Doctor, in relation to ER and PR, I understand  
 16 that they--we've heard evidence here to  
 17 suggest that internal controls exists for  
 18 other stains, but they can play a particular  
 19 importance when you're dealing with ER and PR  
 20 IHC testing? I'm not a physician, we just  
 21 heard references to that.  
 22 DR. KHALIFA:  
 23 A. Yes.  
 24 COFFEY, Q.C.:  
 25 Q. They can be very important. If you found back

Page 232

1 in '97, '98, were looking at tissue, breast  
 2 tissue, normal tissue I'll refer to it, and it  
 3 did not stain positive, what, if anything,  
 4 would you do then? If the external control  
 5 worked, first of all, you were satisfied the  
 6 external control worked and then you were  
 7 looking at a patient's tissue slide and there  
 8 was normal tissue there and there was tumour  
 9 there and the internal control did not stain,  
 10 what would be your thought process? What was  
 11 your approach at the time?  
 12 DR. KHALIFA:  
 13 A. Well if the internal control did not stain,  
 14 but the tumour is positive, then the tumour is  
 15 positive. If the internal control is negative  
 16 and the tumour is negative, then it could be  
 17 that the internal control is negative, that is  
 18 acceptable, or it could be maybe something was  
 19 wrong with the technique, maybe we didn't use  
 20 the right concentration or the machine--  
 21 something went wrong, but if the positive  
 22 control is positive, then we know the machine  
 23 was okay, the process was okay. Then the  
 24 problem now is in the tissue. Then maybe the  
 25 problem was with fixation of the tissue, so a

Page 233

1 negative control, a negative internal control  
 2 with a positive external control and a  
 3 negative tumour, maybe important, maybe  
 4 important in tumours that are known to be ER  
 5 positive, like tubular carcinoma, for example.  
 6 So if I have a tubular carcinoma that is  
 7 negative and the internal control is negative  
 8 and the external control is positive, then I  
 9 may wonder and say maybe there was a problem  
 10 with fixation. But, having said that,  
 11 internal controls do not tell the full story  
 12 because we know that internal control, i.e.  
 13 the normal non-tumour tissue in the female  
 14 breast expresses estrogen receptors to  
 15 different degrees during the menstrual cycle  
 16 and different parts of the breast and  
 17 different elements of the normal breast may  
 18 express different levels of estrogen  
 19 receptors. So when the internal control is  
 20 negative, that does not equate to problem, it  
 21 may suggest a problem, but it does not equal--  
 22 it's not equal to a problem.  
 23 COFFEY, Q.C.:  
 24 Q. Faced with that situation, like looking back  
 25 on it, what would your thought process be,

Page 234

1 it's potentially a problem, I take it, so you  
 2 would make inquiries? I take it that would -  
 3 DR. KHALIFA:  
 4 A. I would inquire, I would inquire.  
 5 COFFEY, Q.C.:  
 6 Q. Might you have the block run again, like do  
 7 the test again?  
 8 DR. KHALIFA:  
 9 A. Yeah, let's do it again.  
 10 COFFEY, Q.C.:  
 11 Q. That's one possibility.  
 12 DR. KHALIFA:  
 13 A. Yes, but that, again, is not the end of the  
 14 story because I was in the hotel yesterday and  
 15 I was presented by my counsel with some report  
 16 and I looked at some spreadsheet and in the  
 17 spreadsheet, I could find about 41 cases with  
 18 internal control that is negative and the  
 19 tumour was called negative in Newfoundland,  
 20 but was retested in another hospital and it  
 21 was still negative. So it was negative here,  
 22 when it was retested it was still negative and  
 23 the internal control is negative. So what  
 24 does that say? It says that probably it is  
 25 acceptable to accept a negative internal

Page 235

1 control or are we saying that all 41 cases had  
 2 fixation problem? If you accept that  
 3 possibility that all 41 cases had fixation  
 4 problem, then you go back to the same  
 5 spreadsheet and you find about 5 other cases  
 6 with internal control negative, the tumour was  
 7 called negative in Newfoundland, but after  
 8 repeated it, it became positive. So, okay,  
 9 you have cases here with negative internal  
 10 control and the tumour could be negative and  
 11 on retesting, becomes positive; or the tumour  
 12 is negative on retesting, still negative. So  
 13 what is the negative internal control telling  
 14 me? Probably not much in that setting.  
 15 COFFEY, Q.C.:  
 16 Q. If, Doctor, under that scenario in  
 17 Newfoundland it was the internal control was  
 18 viewed, there was internal control tissue  
 19 there and it was viewed to be negative and the  
 20 tumour was reported historically years ago as  
 21 negative, as well, and upon retest it was  
 22 reported as negative, the Mount Sinai reported  
 23 it as negative, but Mount Sinai reported the  
 24 internal control as positive, present and  
 25 stained, would that suggest--and it happens to

Page 236

1 be the same block, that would suggest, I take  
 2 it that while they got the result right the  
 3 first time by calling it negative, but that  
 4 was so despite the fact that the internal  
 5 control didn't stain.  
 6 DR. KHALIFA:  
 7 A. Yes.  
 8 COFFEY, Q.C.:  
 9 Q. It just happened to be negative, it ended up  
 10 negative but upon retest in '05 or '06 in  
 11 Mount Sinai, that the internal control did  
 12 stain.  
 13 DR. KHALIFA:  
 14 A. Yes.  
 15 COFFEY, Q.C.:  
 16 Q. Which would make you more comfortable?  
 17 DR. KHALIFA:  
 18 A. Yes.  
 19 COFFEY, Q.C.:  
 20 Q. I take it then from your perspective, back in  
 21 '97 or today for that matter, that in looking  
 22 at a slide and the external control is  
 23 positive, you look at the slide, and the  
 24 internal control is positive but the tumour is  
 25 negative, you're comfortable to say, well

Page 237

1 that's a negative tumour? That gives you the  
 2 degree of comfort then?  
 3 DR. KHALIFA:  
 4 A. Even if it was known to be one type of a  
 5 tumour that is supposed to be ER positive,  
 6 yes.  
 7 THE COMMISSIONER:  
 8 Q. Mr. Coffey, it's about time for the afternoon  
 9 break.  
 10 COFFEY, Q.C.:  
 11 Q. Commissioner, if I could, just before we  
 12 break, Exhibit P-0186?  
 13 THE COMMISSIONER:  
 14 Q. 186 or C.  
 15 COFFEY, Q.C.:  
 16 Q. I apologize, C-0186, I apologize. Doctor,  
 17 this is another pathology report. It's  
 18 prepared by yourself, it's November 3rd, '97  
 19 and it happens to be signed out the same day  
 20 actually by yourself. And here, Doctor, under  
 21 diagnosis, you've got "steroid receptor status  
 22 and here estrogen receptor is minimally  
 23 positive, less than 5 percent of the invasive  
 24 neoplastic cells, progesterone receptor is  
 25 moderately positive, 50 to 60 percent of the

Page 238

1 invasive neoplastic cells" and then you've  
 2 added here "The Comment", which I take it is  
 3 because it's less than 30, is that the reason  
 4 for the comment?  
 5 DR. KHALIFA:  
 6 A. (No audible response).  
 7 COFFEY, Q.C.:  
 8 Q. Doctor, here I noticed that you've gone to  
 9 minimally positive and moderately positive, do  
 10 you notice that?  
 11 DR. KHALIFA:  
 12 A. Well that was before, before we agreed to  
 13 abandon this language.  
 14 COFFEY, Q.C.:  
 15 Q. Yes. Because before on the one we just looked  
 16 at, it was strongly positive, strongly  
 17 positive.  
 18 DR. KHALIFA:  
 19 A. Yes.  
 20 COFFEY, Q.C.:  
 21 Q. And eventually after your memo in February,  
 22 you would have adopted the new approach.  
 23 DR. KHALIFA:  
 24 A. Yes.  
 25 COFFEY, Q.C.:

Page 239

1 Q. Break, Commissioner, thank you.  
 2 THE COMMISSIONER:  
 3 Q. Take the afternoon break.  
 4 (RECESS)  
 5 THE COMMISSIONER:  
 6 Q. Please be seated. Mr. Coffey.  
 7 COFFEY, Q.C.:  
 8 Q. Thank you, Commissioner. Doctor, I'm going to  
 9 ask you to look at a couple of different  
 10 memos, they are after your time, but I'm going  
 11 to ask you to look at them and just comment on  
 12 them. P--113 please? And I say after your  
 13 time, after your time in St. John's?  
 14 DR. KHALIFA:  
 15 A. Yes.  
 16 COFFEY, Q.C.:  
 17 Q. Now, Doctor, this is a memo from--thank you.  
 18 April 4th, 2003, it's addressed to  
 19 pathologists in HSC and St. Clare's and out-  
 20 of-town hospitals. It's from a Dr. Gershon  
 21 Ejeckam. Subject is "Immunohistochemical  
 22 Stains" and he writes to them at the time,  
 23 "Please note the immunohistochemical stains  
 24 with the following antibodies"--and there are  
 25 eight of them listed, ER and PR and the two

Page 240

1 last ones--"have remained unreliable, erratic  
 2 and therefore, unhelpful for diagnostic  
 3 purposes. Consequent on the above, staining  
 4 with the above antibodies will stop forthwith  
 5 until we can solve the reliability,  
 6 sensitivity and specificity problems. Efforts  
 7 are underway and hopefully a solution will be  
 8 found within the next four to six weeks."  
 9 Now, Doctor, in your time as site chief, okay,  
 10 do you--were you ever in a position that you  
 11 felt that the immunohistochemical stains with  
 12 any antibodies, those eight or any others for  
 13 that matter, were unreliable, erratic and  
 14 unhelpful for diagnostic purposes?  
 15 DR. KHALIFA:  
 16 A. No.  
 17 COFFEY, Q.C.:  
 18 Q. Page 2 of the same exhibit, Doctor, is a memo  
 19 of May 2nd, 2003, it's again to the same group  
 20 of pathologists, it's from the same doctor,  
 21 Doctor Ejeckam. Subject is "ER/PR  
 22 immunohistochemical stains." May 2, 2003, he  
 23 writes, "I'm glad to inform you that we have  
 24 rectified the difficulties related to the  
 25 immunostain of ER/PR; therefore, we can now

Page 241

1 resume regular requests for these antibody  
 2 stains. I will, however, like to bring the  
 3 following information to your attention"--and  
 4 then there's "results of the immunostains may  
 5 be affected by and he lists A to F, A through  
 6 D are fixation issues, E is dehydration and F  
 7 is tissue reprocessing. There's a discussion  
 8 of using 10 percent buffered formalin, neutral  
 9 buffered formalin and 18 to 24 hours as being  
 10 the optimal fixation time for immunostains.  
 11 And then he talks about the possibility of  
 12 ER/PR false negative results, increases in  
 13 core biopsies, talks about utilization of  
 14 internal controls using normal breast tissue  
 15 as a second level of control. He talks about  
 16 how often or the likelihood of PR tumours,  
 17 positive tumours being ER negative, as being  
 18 less than 10 percent or 10 percent or so. He  
 19 talks about different reporting formula, cut-  
 20 off points in the literature and refers to a  
 21 2000 National Institute of Health Consensus  
 22 Statement. He notes a higher staining  
 23 intensity does not reflect better results and  
 24 he notes that cytoplasmic staining for ER/PR  
 25 is considered negative. Notes ER positive

Page 242

1 tumours are of particular types and Dr.  
 2 Ejeckam has told the Commissioner he should  
 3 have included lobular in this listing. And as  
 4 well, he notes that no nuclear grade tumours  
 5 are usually positive for ER and PR. This is  
 6 being described as an instructive memo to  
 7 pathologists throughout Newfoundland by Dr.  
 8 Ejeckam in 2003. Doctor, back in 1998, did it  
 9 cross your mind at the time that, you know,  
 10 you might send out a memo like this about ER  
 11 and PR?  
 12 DR. KHALIFA:  
 13 A. Well two thoughts probably come to mind when  
 14 I'm looking at this note, remember, this is  
 15 2003, so by that time, we came to know much  
 16 more about breast cancer and ER/PR than we  
 17 knew then, for example, how sensitive this  
 18 test to fixation was not clear back then.  
 19 COFFEY, Q.C.:  
 20 Q. Back in '97, '98.  
 21 DR. KHALIFA:  
 22 A. Yes, '97, '98. The issue of internal controls  
 23 as an additional layer for validation, that  
 24 was not available to us in '97, '98. So many  
 25 of the content of this very useful memo were

Page 243

1 things that evolved, not only in Newfoundland,  
 2 but in our knowledge of breast cancer in  
 3 general, that is the first thought. The  
 4 second thought is memos of this nature can act  
 5 as a double edge sword and why is that?  
 6 Because if I send a memo like this or any kind  
 7 of informative memo of that nature, I carry  
 8 the risk that someone will take it as  
 9 inclusive--as comprehensive, for example, you  
 10 said he omitted to mention lobular carcinoma,  
 11 then well someone will say, I didn't know, he  
 12 didn't say, I am not a textbook. I am not a  
 13 textbook. This stuff is in textbook by then,  
 14 by '99, by '98, this stuff was already in  
 15 textbook.  
 16 COFFEY, Q.C.:  
 17 Q. So I take it it was in textbooks our journals,  
 18 the more cutting edge, leading edge parts of  
 19 this, the internal controls and fixation, the  
 20 particular susceptibility -  
 21 DR. KHALIFA:  
 22 A. That stuff started to trickle in papers in  
 23 2000. We didn't know that stuff but if you  
 24 open a text book that was available to our  
 25 residents, for example, in 1998, the text book

Page 244

1 talks about ER/PR. It was there - what  
 2 tumours are likely to be positive - and that's  
 3 maybe not internal control business. It was  
 4 in there, but other things, so I'm not sure  
 5 and I accept views here. If someone tells me  
 6 that pathologists need memos of that nature, I  
 7 can see the value of that but I don't like to  
 8 take the risk of showing myself in a light  
 9 that's probably bigger than I am and, as I  
 10 said, many of these pathologists - when I used  
 11 to go to Boston to meetings, I meet some of  
 12 the Newfoundland pathologists there. I mean,  
 13 some of them were cutting edge than I was. I  
 14 don't know.  
 15 MR. COFFEY:  
 16 Q. So at the time, I take it, Doctor, it didn't  
 17 occur to you to do it although your memo does  
 18 refer to the fact that you were available.  
 19 You made yourself available.  
 20 DR. KHALIFA:  
 21 A. I preferred to keep myself at that position.  
 22 I am a resource. I will do everything in my  
 23 capacity to help any colleague, any patient  
 24 but not more than that.  
 25 MR. COFFEY:

Page 245

1 Q. And if I could, please, Exhibit P-2423 - if we  
 2 could look, please, at Page 7 under your CV,  
 3 Doctor. It's page "Clinical Practice  
 4 Interests." The third bullet is  
 5 "Standardization of Reporting in an Anatomic  
 6 Pathology." Now if we could just go back -  
 7 it's an interest of yours - and back to Page  
 8 4. The last entry under "Honours and Awards"  
 9 on that particular page is "Cancer Quality  
 10 Council of Ontario and Canadian Cancer  
 11 Society, Ontario Division, Quality Award,  
 12 November 2006 for leadership and improving the  
 13 quality of cancer pathology reporting." I  
 14 take it, Doctor, that you have some interest.  
 15 DR. KHALIFA:  
 16 A. Deep interest.  
 17 MR. COFFEY:  
 18 Q. And why is there a necessity for attention to  
 19 be paid to that, from your perspective?  
 20 DR. KHALIFA:  
 21 A. Quality control.  
 22 MR. COFFEY:  
 23 Q. And in fact, in particular, this is cancer  
 24 pathology reporting itself and I -  
 25 DR. KHALIFA:

Page 246

1 A. Oh, standardized reporting.  
 2 MR. COFFEY:  
 3 Q. Standardized reporting, and I appreciate  
 4 assurance quality control is something that's  
 5 of interest to you as well.  
 6 DR. KHALIFA:  
 7 A. Yes.  
 8 MR. COFFEY:  
 9 Q. And, in particular, I'm going to ask you right  
 10 now about the standardized reporting that -  
 11 DR. KHALIFA:  
 12 A. Yes, standardized reporting simply means that  
 13 for every tumour, the pathologist will have a  
 14 set of questions to answer, whether they are  
 15 present or not or--we call them parameters.  
 16 So if a tumour exhibits certain  
 17 characteristics, the tradition before was that  
 18 pathologists only mentioned what they see,  
 19 which means that they leave the oncologists  
 20 with the question mark about other things that  
 21 are not in the report. Does that mean that  
 22 you didn't look for them, or did you look for  
 23 them but they were not there, and as the  
 24 science of oncology became more complicated  
 25 with the introduction of new treatment

Page 247

1 modality, medical oncologists and using drugs,  
 2 new drugs every day, radiation oncologists,  
 3 they are basing very fine decisions on the  
 4 fine details of the diagnosis pathologists  
 5 mention in their report. So it became  
 6 apparent that the pathology community needed a  
 7 standardized set of questions or parameters to  
 8 answer for every given tumour. When I came to  
 9 Newfoundland, people had different ideas but  
 10 there was no structure in place to standardize  
 11 our reporting. In George Washington, they  
 12 adopted what was called at the time tumour  
 13 summary, and I started talking to my  
 14 colleagues. They accepted my suggestion. I  
 15 developed forms for the common disease sides -  
 16 stomach, colon, breast, lung, the common  
 17 disease sides - with the list and the options.  
 18 Of course, this was very rudimentary. Of  
 19 course, now these things are on computer with  
 20 drop-down menus and it's very, very  
 21 sophisticated but at that time we just had  
 22 checklists on paper. We printed them in  
 23 booklets. We distributed them to all  
 24 pathologists in the island so they can use  
 25 them. I had a set meeting with - I apologize,

Page 248

1 I'm missing the name of the chief in the  
 2 cancer center. I would meet with him  
 3 regularly in the presence of the CEO--or the  
 4 President of the cancer clinic at the time.  
 5 She was there, and we go the list and I ask  
 6 him if he wants to add or delete, so this was  
 7 even a customized list. Again, because some  
 8 of my colleagues were supportive - some were  
 9 not - I decided to scan the environment in  
 10 Canada, and we had the lead article published  
 11 in the Canadian literature questioning all  
 12 chiefs across the country who was using and  
 13 who was not using standardized reporting, and  
 14 we published this. It's a Canadian  
 15 publication, and we concluded that most  
 16 medical centers at the time have some form of  
 17 standardized reporting. So that was my  
 18 contribution here in Newfoundland.  
 19 MR. COFFEY:  
 20 Q. Doctor, I take it, that you've been gone from  
 21 here now for--getting close to a decade, but  
 22 you still have an interest in it and, I take  
 23 it, that from your perspective the field of  
 24 pathology could use more standardized  
 25 reporting, more discussion about it and

Page 249

1 agreement on it because it makes things more  
 2 predictable for people reading the reports.  
 3 DR. KHALIFA:  
 4 A. Yes. It's better, more efficient  
 5 communication.  
 6 MR. COFFEY:  
 7 Q. Doctor, I'm going to ask you now about -  
 8 you're aware, course, that there was retesting  
 9 done at Mount Sinai in 2005, 2006 of blocks  
 10 from throughout Newfoundland between '97 and  
 11 2005. You're aware that there were a number  
 12 of conversions. You would be aware that--  
 13 conversions in the sense of things that were  
 14 originally reported as negative, Mount Sinai  
 15 reported them as positive.  
 16 DR. KHALIFA:  
 17 A. That is one type of conversion.  
 18 MR. COFFEY:  
 19 Q. Yes, conversion, and I appreciate there's  
 20 others that--you can get into conversions in  
 21 relation to cut-off points changing even if  
 22 there was 20 percent--repeats as 20 percent.  
 23 Depending upon where the cut-off point is, it  
 24 may convert on that basis alone because the  
 25 cut-off point has gone lower.

Page 250

1 DR. KHALIFA:  
 2 A. And can convert from positive to negative.  
 3 MR. COFFEY:  
 4 Q. Yes. In terms, Doctor, of--in the main, you  
 5 understand that most of the conversions in  
 6 Newfoundland from Mount Sinai throughout this  
 7 whole process have been from negative--ER  
 8 negative to ER positive, the conversions that  
 9 have occurred. You understand that. Doctor,  
 10 if some of them date back to - in fact, cases  
 11 that you called years ago--okay, you reported  
 12 on in 1997, 1998 - if some of your original  
 13 cases did convert, do you have any thoughts as  
 14 to why that might be so in the sense of why a  
 15 case that you reported, for example, in 1997  
 16 as zero ER, might be reported - I'll just pick  
 17 a figure - as 40 percent positive by Mount  
 18 Sinai or 50 percent positive by Mount Sinai in  
 19 2005. What could account for that?  
 20 DR. KHALIFA:  
 21 A. Well, before we look at data of this nature we  
 22 have to standardize the process so we would  
 23 have to ask if the same clone of antibody was  
 24 used, if the same concentration, same time,  
 25 same stainer, same methodology. So we have to

Page 251

1 ensure that the methodology is the same.  
 2 MR. COFFEY:  
 3 Q. Why is that?  
 4 DR. KHALIFA:  
 5 A. Because we know that - I'll just give you an  
 6 example. You saw my CV. You saw the papers I  
 7 published, and the manuscripts, and if you--  
 8 not even my work, but the work of others - if  
 9 you open any pathology journal and you look at  
 10 a n y p u b l i s h e d r e s e a r c h i n  
 11 immunohistochemistry, you go to the section  
 12 called Material and Methods and you see that  
 13 the authors have to detail the procedure, the  
 14 temperature, the concentration, everything,  
 15 and the clone - everything in their material  
 16 and method. The message here is that this is  
 17 the research. These are our findings. If you  
 18 want to get these findings, you have to follow  
 19 this recipe. In other words, if you follow a  
 20 different recipe you will get different  
 21 results. So the first question would be - and  
 22 I didn't see the details of that, but I'm sure  
 23 it has been taken in consideration, were the  
 24 procedures, including every fine detail, the  
 25 same--that would be critical.

Page 252

1 MR. COFFEY:  
 2 Q. And, Doctor, if an ER test was run on a block  
 3 in 1997 in St. John's -  
 4 DR. KHALIFA:  
 5 A. Sorry?  
 6 MR. COFFEY:  
 7 Q. If it was an ER -  
 8 DR. KHALIFA:  
 9 A. If it was negative?  
 10 MR. COFFEY:  
 11 Q. No, it was run on a block in St. John's and it  
 12 was negative in 1997 and using a particular  
 13 clone, whatever the clone was of the day,  
 14 utilizing St. John's, and the same block was  
 15 run in 2005 or 2006 or even now in 2008 in  
 16 Sunnybrook in your institution, and using a  
 17 different clone because the clones have  
 18 changed over the years, I take it, would you  
 19 expect to get a significant positive result  
 20 from that same block or would you expect to  
 21 get a negative result? Would the changing in  
 22 clone itself account for the difference  
 23 between, for example, zero and 70 or 80  
 24 percent? Would the change in clone alone do  
 25 that?

Page 253

1 DR. KHALIFA:  
 2 A. Yeah, it wouldn't surprise me if it does that.  
 3 MR. COFFEY:  
 4 Q. Okay, and why is that?  
 5 DR. KHALIFA:  
 6 A. Because we know that clones have different  
 7 sensitivity and certain clones come with kids  
 8 that make them more sensitive with different  
 9 methodology for antigen retrieval, so it's a  
 10 different test.  
 11 MR. COFFEY:  
 12 Q. Okay. Doctor, we have heard, okay, that Dr.  
 13 Ejeckam - you saw that memo of April where he  
 14 stopped testing for awhile ER/PR and he  
 15 started it again. You saw the second memo,  
 16 and we understand that he--they changed. They  
 17 kept the same clone but changed the dilution  
 18 rates--or dilution proportions. Could  
 19 changing the dilution--could that account for  
 20 a block going from negative to positive, the  
 21 same block.  
 22 DR. KHALIFA:  
 23 A. I would probably assume yes. Yes.  
 24 MR. COFFEY:  
 25 Q. And why is that? I take it, because -

Page 254

1 DR. KHALIFA:  
 2 A. Because you are adding more--the antibody is  
 3 like the eyes that see the antigens so you're  
 4 basically adding more eyes. You're more  
 5 likely to see the antigen.  
 6 MR. COFFEY:  
 7 Q. Doctor, while you were the site chief at the  
 8 General Hospital here in St. John's, did you  
 9 notice any particular problems with fixation  
 10 of tissue? I appreciate there'll be a sample  
 11 from time to time is poorly fixed.  
 12 DR. KHALIFA:  
 13 A. Yes.  
 14 MR. COFFEY:  
 15 Q. But I'm talking more generally.  
 16 DR. KHALIFA:  
 17 A. Fixation of tissue and relation between  
 18 fixation and immunohistochemistry is a problem  
 19 in every pathology lab and it's a problem with  
 20 every organ, basically. So it was an issue.  
 21 It was an issue, and the issue is when the  
 22 organ is removed--when the tumour or the organ  
 23 is removed from the patient, it has to go to  
 24 formalin within a certain time. It has to be  
 25 sliced in a certain way and, if the organ is

Page 255

1 hollow like a uterus or a stomach, it needs to  
 2 be open so the inside is exposed to formalin.  
 3 Again, at that time, remember Newfoundland did  
 4 not have what we call pathologists assistants  
 5 or PA's, so residents had to do that, or  
 6 staff. How can we do that, and the buckets  
 7 come from the OR with the organs and someone  
 8 has to add formalin and open the - I got a  
 9 bench and I put it in a strategic location in  
 10 the room in the lab where residents, in order  
 11 to get out of their office to go to Tim Horton  
 12 on the first floor, they have to pass through  
 13 that so I told them, "Guys, you are not  
 14 getting coffee without sticking your neck to  
 15 make sure that the buckets have enough  
 16 formalin and they have been cut and stuff"  
 17 like--it became like a tradition. It's not an  
 18 assembly line. It's not like if you're not on  
 19 call that day I have nothing to do with the  
 20 cases. These are our patients. These are our  
 21 cases. Just cut them. So did that help? It  
 22 helped. Did we eliminate the problem? I  
 23 wouldn't say we did. We had cases coming from  
 24 Labrador City on Friday night by plane, who  
 25 knows what happened to the specimen when it

Page 256

1 was in Labrador City. We get cases that were  
 2 cut in different hospitals. We know nothing  
 3 about their processing and their procedures.  
 4 We ourselves, we didn't have SOP's. We did  
 5 the best we can.  
 6 MR. COFFEY:  
 7 Q. Yes.  
 8 DR. KHALIFA:  
 9 A. But it is a problem.  
 10 MR. COFFEY:  
 11 Q. Doctor, at the time, I take it, you would  
 12 recognize when you see a slide, based upon  
 13 your training and experience, that it might be  
 14 apparent on the slide--the fixation problem  
 15 might be apparent from what you're even  
 16 seeing.  
 17 DR. KHALIFA:  
 18 A. It could be.  
 19 MR. COFFEY:  
 20 Q. It could.  
 21 DR. KHALIFA:  
 22 A. It could be.  
 23 MR. COFFEY:  
 24 Q. And sometimes it's not.  
 25 DR. KHALIFA:



Page 257

1 A. Yes.  
 2 MR. COFFEY:  
 3 Q. There's a problem there but it's not apparent  
 4 visually.  
 5 DR. KHALIFA:  
 6 A. Yes.  
 7 MR. COFFEY:  
 8 Q. Doctor, I will ask you this, if you had a  
 9 concern or misgivings about making a call on  
 10 an ER/PR, for example, in a breast cancer  
 11 case, based upon the fact that you just  
 12 weren't satisfied that you could reliably do  
 13 so, what would you do? Would you make kind  
 14 of--make a guess at it anyway or would you  
 15 actually just say, "No, I can't. I can't  
 16 report this."  
 17 DR. KHALIFA:  
 18 A. No, I can't report it. I would repeat it or  
 19 choose another block.  
 20 MR. COFFEY:  
 21 Q. And if, ultimately, it couldn't be reported,  
 22 that's what would end up, I take it, on the  
 23 report.  
 24 DR. KHALIFA:  
 25 A. What goes in the report has to be something

Page 258

1 that I am confident that it was truthful to  
 2 the best of my knowledge.  
 3 MR. COFFEY:  
 4 Q. Doctor, you have indicated that there was no  
 5 SOP's, for example, at the time. Why was  
 6 that?  
 7 DR. KHALIFA:  
 8 A. I don't know why is that. I guess you can ask  
 9 Mr. Gulliver about this or someone who was in  
 10 management. I don't know. I don't write  
 11 SOPs. I don't know.  
 12 COFFEY, Q.C.:  
 13 Q. And I take it as well, there were no SOPs as  
 14 well for pathologists either?  
 15 DR. KHALIFA:  
 16 A. I didn't see them.  
 17 COFFEY, Q.C.:  
 18 Q. Yes, and I just have a couple of other  
 19 questions. When you were dealing with the  
 20 technologists, the histotechnologists in St.  
 21 John's, did you ever give them any training?  
 22 DR. KHALIFA:  
 23 A. My experience with the two technologists who  
 24 were running the tests, that they were  
 25 comfortable with the test. They were doing

Page 259

1 immunohistochemistry for probably some time  
 2 before I even arrived. I did not feel the  
 3 need that they needed formal training. If I  
 4 felt that they needed formal training,  
 5 probably I wouldn't have given them myself  
 6 because I am not qualified to do that. I  
 7 would probably have sent them somewhere. But,  
 8 the interactions we had, my suggestions, my  
 9 discussions showed me that they were competent  
 10 and I wasn't concerned.  
 11 COFFEY, Q.C.:  
 12 Q. Doctor, back in your time as site chief,  
 13 speaking of QA, was any thought given to  
 14 sending random samples out to be looked at  
 15 elsewhere?  
 16 DR. KHALIFA:  
 17 A. You're talking about what is known as random  
 18 reviews?  
 19 COFFEY, Q.C.:  
 20 Q. Yes.  
 21 DR. KHALIFA:  
 22 A. There are different ways of doing random  
 23 reviews. One of them is, as you said, sending  
 24 slides outside. We were not at that level,  
 25 no. That didn't happen. Neither we sent

Page 260

1 cases outside nor did we randomly review them  
 2 internally.  
 3 COFFEY, Q.C.:  
 4 Q. Okay. Doctor, just one point. You did  
 5 indicate that on at least three occasions, you  
 6 spoke in the U.S. to--and I referred you to it  
 7 earlier, to the workshops involving staining.  
 8 Remember that?  
 9 DR. KHALIFA:  
 10 A. Surgical?  
 11 COFFEY, Q.C.:  
 12 Q. The National Society of Histochemistry?  
 13 DR. KHALIFA:  
 14 A. Yes.  
 15 COFFEY, Q.C.:  
 16 Q. National Society for Histotechnology.  
 17 DR. KHALIFA:  
 18 A. Yes.  
 19 COFFEY, Q.C.:  
 20 Q. Did you ever give that talk to the  
 21 technologists in St. John's?  
 22 DR. KHALIFA:  
 23 A. No.  
 24 COFFEY, Q.C.:  
 25 Q. Why not?

Page 261

1 DR. KHALIFA:  
 2 A. This was a theoretical talk. I didn't feel--I  
 3 didn't see the need for it. I didn't see that  
 4 they needed it. Obviously hospitals who send  
 5 their histotechnologists to this meeting, they  
 6 felt the need for that, for their own  
 7 histotechnologists, but I didn't see the need  
 8 for that.  
 9 COFFEY, Q.C.:  
 10 Q. I take it that was because it was a more--it  
 11 was a higher theoretical plane than would be  
 12 of use here in St. John's?  
 13 DR. KHALIFA:  
 14 A. I wouldn't say higher. It was a theoretical  
 15 background that probably is needed in R & D  
 16 labs or some--but the histotechnologists we  
 17 had on site were doing a fine job.  
 18 COFFEY, Q.C.:  
 19 Q. Doctor, you are the director of oncology  
 20 quality assurance program at Sunnybrook?  
 21 DR. KHALIFA:  
 22 A. That's correct.  
 23 COFFEY, Q.C.:  
 24 Q. What is the mandate of that program, mind  
 25 telling us that?

Page 262

1 DR. KHALIFA:  
 2 A. This program started in 2004. It was created  
 3 and I became the director of that program to  
 4 liaison between our cancer centre and the  
 5 surgeons and pathology to address the issues  
 6 in proof communication and tighten quality  
 7 assurance in respect to cancer surgery.  
 8 COFFEY, Q.C.:  
 9 Q. And Doctor, one final question I have for you  
 10 is this, because of course you did move on  
 11 from Newfoundland in 1999, Doctor, but you had  
 12 stayed--you had been here for four years at  
 13 that point, approximately four years?  
 14 DR. KHALIFA:  
 15 A. Yes.  
 16 COFFEY, Q.C.:  
 17 Q. And I'm going to ask you, is there any  
 18 particular thing or things that caused you to  
 19 move on at the time? Because I don't mind  
 20 telling you, Dr. Cook said, has told the  
 21 Commissioner that at the time, before you ever  
 22 showed up here, okay, that there was talk here  
 23 locally that they thought of you as a good  
 24 catch, as it were, in the sense of you were  
 25 going to--they were looking forward to your

Page 263

1 coming here in 1995/96, okay, 1995.  
 2 DR. KHALIFA:  
 3 A. Yes.  
 4 COFFEY, Q.C.:  
 5 Q. So I'm just asking you, you were here for four  
 6 years and you described the environment you  
 7 were in, the challenges.  
 8 DR. KHALIFA:  
 9 A. Yes.  
 10 COFFEY, Q.C.:  
 11 Q. Can you tell us, please, then -  
 12 DR. KHALIFA:  
 13 A. Well, you know, decisions like that take place  
 14 because of different groups of forces. There  
 15 are pulling forces and pushing forces.  
 16 Pulling forces are obvious family reasons and  
 17 opportunities for the children and things of  
 18 that nature and community and social. Pushing  
 19 forces mostly were in the fact that I did not  
 20 feel that my compensation was adequate. I had  
 21 certain encounters that, at the personal  
 22 level, that showed me that maybe probably  
 23 people didn't see me the way I saw myself or  
 24 the way I thought I was seen. I had one  
 25 particular incident where my mother had--so

Page 264

1 there was a group of issues, but my mother had  
 2 recurrence of her breast cancer. She did not  
 3 have an MCP number. She wasn't a Canadian  
 4 citizen at the time. She needed radiation as  
 5 a life saving measure. She's in coma right  
 6 now as we speak, so.  
 7 COFFEY, Q.C.:  
 8 Q. She's ill, I take it, yes. Doctor, I take it,  
 9 because you've--we've spoken about this  
 10 before, you and I have.  
 11 DR. KHALIFA:  
 12 A. Yes, anyway, I'm sorry for that, but as a life  
 13 saving, she was treated at the Cancer Centre,  
 14 very good oncologist took care of her and she  
 15 wasn't covered by MCP and at the end of her  
 16 treatment, the treatment was fantastic. She  
 17 survived that. I don't know if she survives  
 18 today, but she survived that time. And at the  
 19 end, I received a huge bill from Cancer  
 20 Centre. I went to the CEO of the Cancer  
 21 Centre. I told her, "listen, can you give me  
 22 a break here, a professional courtesy?" She  
 23 said "no." I said "listen, I've been doing  
 24 all this for four years. I've been reviewing  
 25 all your cases. I did not receive

Page 265

1 compensation for that." I mean, I carried more  
 2 than two or point two or point three FTE work,  
 3 more than anybody, and I did all that, just  
 4 give me a break, any break. No, and I didn't  
 5 get any break. So I wasn't sure why was that.  
 6 COFFEY, Q.C.:  
 7 Q. I take it that that did not entice you to  
 8 stay. I won't say it pushed you out of here,  
 9 but didn't entice you to stay.  
 10 DR. KHALIFA:  
 11 A. No, no, no, no, I mean, people don't leave  
 12 because of these things, but it's the little  
 13 things that accumulate over time that makes  
 14 you wonder if you are valued, if people are  
 15 listening to what I'm saying. I annoyed so  
 16 many people with my quality assurance  
 17 initiative. Nobody likes quality assurance,  
 18 but, and people cooperated with me and some  
 19 people resisted me and it was time to move on.  
 20 COFFEY, Q.C.:  
 21 Q. Commissioner, they're the questions I have.  
 22 Thank you.  
 23 THE COMMISSIONER:  
 24 Q. Thank you. Mr. Pritchard?  
 25 MR. PRITCHARD:

Page 266

1 Q. Thank you, Commissioner. I don't have any  
 2 questions for this witness. Dr. Khalifa,  
 3 thank you.  
 4 DR. KHALIFA:  
 5 A. Thank you.  
 6 THE COMMISSIONER:  
 7 Q. Mr. Simmons.  
 8 DR. MAHMOUD KHALIFA, EXAMINATION BY MR. DANIEL SIMMONS  
 9 MR. SIMMONS:  
 10 Q. Thank you, Commissioner. Good afternoon, Dr.  
 11 Khalifa. Only a few questions for you.  
 12 You've told us a certain amount about the  
 13 manner of reporting ER/PR results and some  
 14 efforts that you made to make some suggestions  
 15 when you instituted the testing here in 1998  
 16 about a suggested manner in which they could  
 17 be reported, but that you left it to the  
 18 professional discretion of individual  
 19 pathologists to determine whether they would  
 20 adopt that or not.  
 21 DR. KHALIFA:  
 22 A. Yes.  
 23 MR. SIMMONS:  
 24 Q. Is there now, where you practice in Ontario,  
 25 any set standard for how an ER/PR test is to

Page 267

1 be reported, a standard that applies across  
 2 institutions? Is there one way in which it is  
 3 to be done, even now?  
 4 DR. KHALIFA:  
 5 A. Yes. This is an initiative by Cancer Care  
 6 Ontario. Of course in Sunnybrook, we have a  
 7 subspecialized pathology practice, so only a  
 8 selected groups do selected sites. Breast is  
 9 only signed out by a certain group of  
 10 pathologists and there are--there is a  
 11 consensus about how the reports should look  
 12 like and there are strictly followed  
 13 guidelines and they consistently report in  
 14 this way. Cases for ER/PR come from other  
 15 hospitals to our medical centre or goes  
 16 centralized in certain areas, in certain labs,  
 17 so that they are consistently reported.  
 18 MR. SIMMONS:  
 19 Q. The Cancer Care Ontario guidelines for  
 20 reporting ER/PR is that something that was in  
 21 place when you went to Ontario in 1999 or has  
 22 that--is that a development that has happened  
 23 since then?  
 24 DR. KHALIFA:  
 25 A. Well, when I left St. John's and went to

Page 268

1 Sunnybrook, I wasn't hired as a breast  
 2 pathologist. We did everything for about a  
 3 year or so and then after that, we became  
 4 subspecialized, but I moved away from breast  
 5 significantly, so I wouldn't be able to answer  
 6 that question.  
 7 MR. SIMMONS:  
 8 Q. Do you know if it is part of the Cancer Care  
 9 Ontario reporting guidelines now that internal  
 10 controls must be reported on as part of the  
 11 reporting?  
 12 DR. KHALIFA:  
 13 A. I asked our expert pathology, breast pathology  
 14 about that and she said no, and the reason  
 15 they don't do it, it's not a requirement.  
 16 It's not required by CCO, by Cancer Care  
 17 Ontario. It's not required by the College of  
 18 American Pathologists, for a variety of  
 19 reasons. One is that if you put focus on  
 20 internal control, then what about the other  
 21 controls? Are we going to report all  
 22 controls? It is useful, but only in certain  
 23 cases. It is not the magic bullet. As I  
 24 demonstrated earlier that it could be negative  
 25 and still the case is kosher. So the answer

Page 269

1 is no, internal control is not one of the  
 2 required parameters in breast pathology.  
 3 MR. SIMMONS:  
 4 Q. Okay. When you were in Newfoundland, up until  
 5 1999, you did see and report quite a few  
 6 number of cases while you were here and for a  
 7 while, initially, you were the only  
 8 pathologist who was reporting the ER/PR cases  
 9 done by the IHC method here?  
 10 DR. KHALIFA:  
 11 A. That's correct.  
 12 MR. SIMMONS:  
 13 Q. And during that time period in particular, you  
 14 saw the positive control slides?  
 15 DR. KHALIFA:  
 16 A. Yes.  
 17 MR. SIMMONS:  
 18 Q. And do I understand that you continued to see  
 19 every positive control slide up until the time  
 20 you left in 1999?  
 21 DR. KHALIFA:  
 22 A. That's correct.  
 23 MR. SIMMONS:  
 24 Q. Yes, okay. Now did the technologists have any  
 25 role then in reviewing the positive controls?

Page 270

1 DR. KHALIFA:  
 2 A. No. No, they look at the slide when it leaves  
 3 the lab. If they see brown colour, brown  
 4 stain, that's good enough.  
 5 MR. SIMMONS:  
 6 Q. Beyond that, did you have any expectation for  
 7 the technologists to be able to read and  
 8 interpret the controls, for example, to  
 9 determine whether the staining was in the  
 10 nucleus, as opposed to the cytoplasm in the  
 11 cell?  
 12 DR. KHALIFA:  
 13 A. No, I didn't expect this from them.  
 14 MR. SIMMONS:  
 15 Q. Okay. Of all those cases that you saw and  
 16 reported on, did you see any trend or pattern  
 17 from the slides themselves that would have  
 18 suggested that there was any problem with  
 19 tissue handling that would have affected the  
 20 reliability of the ER/PR results that you  
 21 reported on?  
 22 DR. KHALIFA:  
 23 A. No.  
 24 MR. SIMMONS:  
 25 Q. So even though you were aware that there may

Page 271

1 have been some inconsistencies in the handling  
 2 of tissue at different times, you weren't  
 3 seeing any trends or problems in the slides  
 4 that were resulting from those tissues?  
 5 DR. KHALIFA:  
 6 A. Well, this is a two-folded question. I did  
 7 not notice trends. There was no trend, but  
 8 remember, the issues that were shown in the  
 9 memo before, the fixation, the sensitivity of  
 10 fixation, under fixation, over fixation,  
 11 inconsistent fixation, the issue of internal  
 12 control, these things were not available. We  
 13 didn't know these things at the time. So I  
 14 didn't know if these things were impacting the  
 15 stain or not, but I didn't see a problem, and  
 16 remember, at that time, all what we were  
 17 trying to do is to make sure that our  
 18 immunohistochemical result matches the  
 19 biochemical result.  
 20 MR. SIMMONS:  
 21 Q. Right, okay. Do you recall how or when you  
 22 first learned that here in Newfoundland  
 23 Eastern Health, successor to the Health Care  
 24 Corporation, was undertaking a fairly large  
 25 scale retesting of these ER/PR results from

Page 272

1 back as early as 1997?  
 2 DR. KHALIFA:  
 3 A. Probably 2005, 2006.  
 4 MR. SIMMONS:  
 5 Q. Okay. Are you aware of anything similar to  
 6 that having been undertaken in any other  
 7 hospitals in Canada or in North America?  
 8 DR. KHALIFA:  
 9 A. Never.  
 10 MR. SIMMONS:  
 11 Q. Did you have any particular reaction when you  
 12 heard that it was being done here, any views  
 13 concerning that?  
 14 DR. KHALIFA:  
 15 A. My reaction was probably similar to any of my  
 16 colleagues who heard about that, "oh my God,"  
 17 that's the reaction, oh my God, what would  
 18 happen if you take blocks from any hospital in  
 19 North America, anywhere, choose the best,  
 20 finest, institution you can think of. Take  
 21 blocks ten years ago. Send them to another  
 22 place to be tested under--in a different  
 23 environment, even if you tried to imitate or  
 24 match the specifics. Oh my God, I don't know.  
 25 I don't know what will happen.

Page 273

1 MR. SIMMONS:  
 2 Q. Okay. One other point. In Ontario, we've  
 3 heard that there is a program, QMPLS is the  
 4 acronym, I believe.  
 5 DR. KHALIFA:  
 6 A. Yes.  
 7 MR. SIMMONS:  
 8 Q. Quality Management Program for Laboratory  
 9 Services, and we understand that that provides  
 10 a mandatory accreditation -  
 11 DR. KHALIFA:  
 12 A. Yes.  
 13 MR. SIMMONS:  
 14 Q. - for medical laboratories in Ontario.  
 15 DR. KHALIFA:  
 16 A. Yes.  
 17 MR. SIMMONS:  
 18 Q. I presume that you've had some experience with  
 19 accreditation reviews at Sunnybrook?  
 20 DR. KHALIFA:  
 21 A. Yes, of course.  
 22 MR. SIMMONS:  
 23 Q. And I wonder if you would have any insight or  
 24 comments for us on what the benefits might be  
 25 for such a mandatory accreditation program for

Page 274

1 hospital laboratory services?  
 2 DR. KHALIFA:  
 3 A. Yes, it is my personal opinion and my strong  
 4 belief that this probably would have--would be  
 5 the most useful outcome from an endeavour such  
 6 as this one, because I worked in this system  
 7 enough to know how easy it is to have a  
 8 checklist of things to follow and we all know  
 9 that we can forget things. I mean, just  
 10 because everything looks okay in this room  
 11 doesn't mean that everything is actually done  
 12 properly, but if I have a checklist to go over  
 13 it and check the wires and check the  
 14 microphone and everything, and then I can--I  
 15 will be in a better position at least to say  
 16 that I am giving reliable results. So  
 17 accreditation programs, accreditation  
 18 programs, accreditation programs, I think this  
 19 is crucial.  
 20 MR. SIMMONS:  
 21 Q. Thank you very much, Dr. Khalifa.  
 22 THE COMMISSIONER:  
 23 Q. Thank you, Mr. Simmons. Mr. Pritchett?  
 24 MR. PRITCHETT:  
 25 Q. No questions, Commissioner.

Page 275

1 THE COMMISSIONER:  
 2 Q. Ms. Newbury?  
 3 DR. MAHMOUD KHALIFA, EXAMINATION BY MS. JENNIFER NEWBURY  
 4 MS. NEWBURY:  
 5 Q. Good afternoon, Dr. Khalifa. My name is  
 6 Jennifer Newbury and I represent the Canadian  
 7 Cancer Society, Newfoundland and Labrador  
 8 Division. I have a few questions for you,  
 9 starting with your interest in quality  
 10 assurance, and I was wondering if you could  
 11 explain what role, if any, monitoring of  
 12 trends in a pathology lab, monitoring of test  
 13 results plays in quality assurance? Is there  
 14 any connection between the two?  
 15 DR. KHALIFA:  
 16 A. Regarding ER/PR or -  
 17 MS. NEWBURY:  
 18 Q. Just generally speaking.  
 19 DR. KHALIFA:  
 20 A. Generally speaking, yes. It is very useful,  
 21 and I do that to monitor quality indicators  
 22 and quality indicators should be designed in  
 23 such a way to be sensitive to pick up areas  
 24 that we know are likely to be trouble areas,  
 25 and I do that regularly and if we see a trend,

Page 276

1 we try to troubleshoot or try to do a root  
 2 analysis for the problem. I guess you are  
 3 asking why is this important. It is important  
 4 because it can pick up a potential problem  
 5 before it actually happens.  
 6 MS. NEWBURY:  
 7 Q. And if you can extrapolate that to ER/PR or  
 8 immunohistochemical testing -  
 9 DR. KHALIFA:  
 10 A. Yes.  
 11 MS. NEWBURY:  
 12 Q. - how would you apply those sorts of processes  
 13 to ER/PR testing?  
 14 DR. KHALIFA:  
 15 A. Okay, so now we have a program, we have a  
 16 test. We can start doing audits, just like  
 17 the audit that we saw before. We can start  
 18 putting audits and collect all different  
 19 parameters that we think are important. Like  
 20 for example, now in Sunnybrook, because this  
 21 is a very hot topic, now when the case is  
 22 received and it is put in formalin, it is  
 23 reported when it went in formalin and when it  
 24 is processed, it is reported when it is  
 25 processed. So now we know how many hours did

Page 277

1 a specimen stay in formalin and stuff like  
 2 that. Then you have a program, you can start  
 3 developing the parameters and you monitor them  
 4 on monthly or quarterly basis and collect data  
 5 and draw graphs and work with it.  
 6 MS. NEWBURY:  
 7 Q. Okay, and I understand generally, from your  
 8 various experiences in the United States and  
 9 in Canada and Egypt, I guess, that there were  
 10 varying degrees of sophistication of labs,  
 11 depending on the size of the lab, the number  
 12 of pathologists, the resources available, you  
 13 know, whether or not the lab is affiliated  
 14 with a teaching institution, a university.  
 15 Are there any minimum requirements for  
 16 monitoring? We can all strive, I guess, to  
 17 have Sunnybrook's program.  
 18 DR. KHALIFA:  
 19 A. Yes.  
 20 MS. NEWBURY:  
 21 Q. And you indicated the ideal situation is to  
 22 have a full blown quality assurance department  
 23 dedicated to that, but what minimum  
 24 requirements would you see for ER/PR testing?  
 25 DR. KHALIFA:

Page 278

1 A. So the minimum requirements, we will go back  
 2 to the issue of accreditation program. An  
 3 accreditation program will tell us what are  
 4 the minimum requirements that are needed and  
 5 then we will try to meet that, if not to  
 6 exceed them. As I said, I've been away from  
 7 breast for some time now, so I don't--I  
 8 wouldn't really know now what are the minimum  
 9 requirement for a QA program in ER/PR.  
 10 MS. NEWBURY:  
 11 Q. Okay, and if you were to go look for one, if  
 12 you wanted to make a recommendation to some  
 13 institution, where would you go to get that  
 14 information? What body or individual would  
 15 you look to?  
 16 DR. KHALIFA:  
 17 A. Again, this is something that I personally  
 18 have very strong opinions about it, having  
 19 been through Newfoundland and learned about  
 20 the geography, the culture. I personally  
 21 think it is dangerous to import quality  
 22 assurance parameters or programs from other  
 23 jurisdictions. You can use them to build on  
 24 them, but I think quality assurance programs  
 25 should always be custom made, should always be

Page 279

1 home recipes, and by home I mean province wide  
 2 recipe, done by people who know the issues of  
 3 the place.  
 4 MS. NEWBURY:  
 5 Q. Sure. So tailored to the geography and the  
 6 population and the facilities?  
 7 DR. KHALIFA:  
 8 A. Of course, of course, with consultation with  
 9 lawyers, the standard of care, experts. You  
 10 get all the pieces together, but then at the  
 11 end, what actually applies is what you design,  
 12 based on the needs of your community.  
 13 MS. NEWBURY:  
 14 Q. And what role would a cancer registry have in  
 15 your work, in terms of monitoring trends and  
 16 dealing with quality assurance? Do you have  
 17 any views on how a cancer registry might be of  
 18 some benefit?  
 19 DR. KHALIFA:  
 20 A. You are almost talking now about the ultimate,  
 21 like the Cadillac of all things. The ultimate  
 22 goal is to have a central cancer registry and  
 23 in Ontario, we are still working on that.  
 24 Importing data, there is a system of staging  
 25 now called collaborative staging. Very, very

Page 280

1 few places in North America has it. We are  
 2 hoping that Ontario would be one of them by  
 3 2010 or 2011. In systems like this, the data  
 4 warehouse receives data from all cancer  
 5 systems, from radiology, from pathology, from  
 6 biochemistry, from surgeons, from everything,  
 7 pools in a central warehouse where people,  
 8 experts will do data mining for quality  
 9 assurance, for trend observation, for  
 10 research, for translational research, health  
 11 care research. So of course, when you have  
 12 centralized data collected in such a way,  
 13 someone can mine the data and pull out reports  
 14 to notice those trends we are talking about.  
 15 MS. NEWBURY:  
 16 Q. Right, and if you were in charge of quality  
 17 assurance at a pathology lab, would you have  
 18 access--would you expect to have access to  
 19 that information so that you can, you know,  
 20 see if there's anything pertinent to your  
 21 particular role?  
 22 DR. KHALIFA:  
 23 A. This is what Cancer Care Ontario is taking  
 24 leadership in. When we started asking  
 25 pathologists to follow the standardized

Page 281

1 reporting and do all these things, some of the  
 2 pathologists said, "well, what's in it for me?  
 3 If I'm going to give you all this data, what  
 4 am I getting back?" and then CCO created a  
 5 web-based system called I-Port in which health  
 6 care providers now can go back and pull  
 7 reports that are useful to them. If you want  
 8 to monitor age for breast cancer, colon  
 9 cancer, any report, you pull from pull-down  
 10 menu, you choose the variables and you design  
 11 your curve and here you go. So of course, it  
 12 is still preliminary. I mean, this is only a  
 13 two-year old program, but programs like this,  
 14 yes, you have a central warehouse, but the  
 15 health care providers can retrieve reports  
 16 from the database.  
 17 MS. NEWBURY:  
 18 Q. Okay, and I'm going to bring up an Exhibit P-  
 19 2416, just to help jog your memory. I want to  
 20 ask you what was happening in St. John's when  
 21 you were here, in terms of cancer registry,  
 22 and on page two of this document, this is a  
 23 January 8th, 1998 meeting, Anatomical  
 24 Pathology Site Chief Divisional Managers  
 25 meeting, and there's a note here, item number

Page 282

1 four, demographic information on pathology  
 2 reports. "Dr. Cook presented a letter from  
 3 Susan Ryan from the Cancer Registry. In the  
 4 letter, she requested that pathology reports  
 5 include pertinent demographic information,  
 6 such as patient's address, city, town,  
 7 etcetera. This information is currently  
 8 supplied on pathology reports from the Grace  
 9 site. Following a discussion at the meeting,  
 10 it was felt that this information should not  
 11 be supplied on pathology reports from the  
 12 General Hospital and St. Clare's site. It was  
 13 felt if this information is required, it  
 14 should be obtained from the last attending or  
 15 family physician. This information will  
 16 continue on pathology reports from the Grace,  
 17 mainly due to the fact that this information  
 18 is entered at the time of patient registration  
 19 on admission," and Dr. Cook was to write Susan  
 20 Ryan regarding this. Do you have any  
 21 recollection of this? I believe you were at  
 22 that meeting.  
 23 DR. KHALIFA:  
 24 A. No, I don't recall this particular incident.  
 25 MS. NEWBURY:

Page 283

1 Q. And it seems to be just the demographic  
 2 information, as opposed to pathology reports,  
 3 the results themselves that are at issue here.  
 4 DR. KHALIFA:  
 5 A. Yeah, this issue falls under standardized,  
 6 even the reports between the three hospitals.  
 7 MS. NEWBURY:  
 8 Q. Sure.  
 9 DR. KHALIFA:  
 10 A. If you look at the report from Grace Hospital  
 11 at that time, you will see more information  
 12 than the one from St. Clare's and General. We  
 13 were trying to, as much as possible, to make  
 14 them uniform.  
 15 MS. NEWBURY:  
 16 Q. Notwithstanding this, do you think that all  
 17 pathology reports from the General Hospital  
 18 and St. Clare's site were nonetheless being  
 19 forwarded on to the Registry, albeit not with  
 20 some of this demographic information?  
 21 DR. KHALIFA:  
 22 A. Yes.  
 23 MS. NEWBURY:  
 24 Q. And do you know if, at any point in time, even  
 25 though it may not have been as advanced as

Page 284

1 what's happening now in Ontario, would there  
 2 be access to that information to look for any  
 3 trends? Was there any value in what was being  
 4 sent to the Cancer Registry or was the  
 5 Registry in such a state that it could be  
 6 accessed by a pathologist with an interest in  
 7 seeing what's going on in the lab?  
 8 DR. KHALIFA:  
 9 A. We are required by CCO standard, we have to  
 10 have this information in the report. It's not  
 11 a choice. It's not a matter of choice.  
 12 MS. NEWBURY:  
 13 Q. But I guess my question relates back to your  
 14 time here in St. John's. Did you, as a  
 15 pathologist, ever access that information for  
 16 your own information? Did you ever contact  
 17 the Cancer Registry to see, you know, curious  
 18 in what's happening with these types of  
 19 results? Was it actually a useable tool for  
 20 you as a pathologist?  
 21 DR. KHALIFA:  
 22 A. It is useable for someone who is conducting a  
 23 research project. Of course, if we want to do  
 24 a project, we have to submit a proposal to the  
 25 ethics committee, it's called the IRB, the

Page 285

1 Institutional Review Board, to approve the  
 2 study and to tell us what we can and what we  
 3 cannot do, and then when we have this  
 4 approval, we may contact Cancer Care, the  
 5 cancer centre and tell them we need to look at  
 6 the files of these patients or things like  
 7 that. So yes, they would provide us with  
 8 data.  
 9 MS. NEWBURY:  
 10 Q. Okay, from a research point of view?  
 11 DR. KHALIFA:  
 12 A. For research.  
 13 MS. NEWBURY:  
 14 Q. I'll give an example, just to be more pointed  
 15 in my question. Now you were reading all of  
 16 the slides here, so you would have a good  
 17 handle on the types of cancers, breast cancers  
 18 that were being diagnosed and the ER/PR  
 19 results. But if the reading of the slides  
 20 were spread out amongst all of the  
 21 pathologists in Newfoundland, as an example,  
 22 and you wanted to find out if there are any  
 23 trends here, in terms of the types of cancer,  
 24 like tubular, which you would expect  
 25 statistically speaking to be positive, ER

Page 286

1 positive as opposed to ER negative, would you  
 2 have been able to access the registry at that  
 3 time to get a list of all of those results so  
 4 that you can eyeball and then see does this  
 5 look right or, you know, should I -  
 6 DR. KHALIFA:  
 7 A. No.  
 8 MS. NEWBURY:  
 9 Q. You couldn't have?  
 10 DR. KHALIFA:  
 11 A. No, I couldn't.  
 12 MS. NEWBURY:  
 13 Q. Okay, and that's something that you could now  
 14 do in Ontario? Is that something that you're  
 15 working towards or that now exists in Ontario?  
 16 DR. KHALIFA:  
 17 A. In Ontario, some hospitals share the same  
 18 network of computer information, but when they  
 19 developed the data warehouse, it was a high  
 20 level. It was administrative database. You  
 21 can not go to the specifics of the patient.  
 22 You can go, I think, as down as the level of  
 23 the region, but not the hospital and not the  
 24 patient.  
 25 MS. NEWBURY:

Page 287

1 Q. Okay. That's in Ontario?  
 2 DR. KHALIFA:  
 3 A. In Ontario, that's right.  
 4 MS. NEWBURY:  
 5 Q. And in terms of monitoring those types of  
 6 trends, was there anything being done in St.  
 7 John's at that time in terms of ER/PR testing,  
 8 not using the cancer registry, but just  
 9 keeping a track of it? Now, I realize you  
 10 were doing -  
 11 DR. KHALIFA:  
 12 A. Not until I left, no.  
 13 MS. NEWBURY:  
 14 Q. Okay. You've mentioned your interest in  
 15 patient having a safety culture and promoting,  
 16 I think, the reporting of any problems, near  
 17 misses, et cetera with a view to promoting  
 18 patient safety. And I'm just wondering if you  
 19 could explain how, first of all, what do you  
 20 mean by blame, you wanted to take the blame  
 21 out, I think, in -  
 22 DR. KHALIFA:  
 23 A. Yes.  
 24 MS. NEWBURY:  
 25 Q. - order to promote safety. What do you mean

Page 288

1 by blame? What types of blame are you talking  
 2 about?  
 3 DR. KHALIFA:  
 4 A. It is something that is inherent in the  
 5 medical community, the way we studied medicine  
 6 and the way we see ourselves and the society  
 7 sees doctors. There is some belief that we  
 8 are error free or we are expected to be error  
 9 free. And because of that, this means that if  
 10 I made an error, I will be--actually there's  
 11 literature about this, what kind of emotions  
 12 does a physician feel when he or she is  
 13 confronted by their own error? You get, I  
 14 think the highest emotion was shame, self  
 15 doubt and very, very negative emotions. I  
 16 think there were four or five of them. So,  
 17 now what we are trying to say is that the  
 18 problem with that is because I didn't talk  
 19 about it, my colleagues didn't learn from it  
 20 and even I, myself, didn't reflect positively  
 21 on it, so probably I am going to do the same  
 22 problem again, mistake again and my colleagues  
 23 are going to do it again. That's very  
 24 expensive. And, of course, we are talking  
 25 about error in a very general sense because



Page 289

1 not every error is an adverse event. Adverse  
 2 events are events that hurt patients, but  
 3 error could be just a very simple error that  
 4 does not result in an adverse event. So, the  
 5 non-blame culture is a culture where people  
 6 can sit around the table and talk freely about  
 7 their near misses or their slips. And as I  
 8 always tease my colleagues, I say, we need to  
 9 have a party at the end of the year where we  
 10 sit around the table and say, what did I do  
 11 today to make my practice safer? If I can say  
 12 one thing, if I can say one problem, one error  
 13 I made and then the next guy goes and the next  
 14 guy goes, then we are learning from each  
 15 other. I cannot do that if as soon as I speak  
 16 someone will point the finger at me and  
 17 starting blaming me. So, blame stops me from  
 18 doing that. So, if we get blame out of the  
 19 picture a little bit and deal openly with  
 20 issues, then we may actually learn something.  
 21 MS. NEWBURY:  
 22 Q. And in terms of that sort of a culture and the  
 23 ability of patients and the public to be  
 24 confident that their safety is being assured,  
 25 how is that accomplished? How do you make

Page 290

1 sure that the public and the patients who  
 2 might see this as taking out accountability,  
 3 how can you assure them that their safety will  
 4 be taken care of?  
 5 DR. KHALIFA:  
 6 A. Well, we need to gain trust of patients  
 7 because patients come to physicians with a  
 8 trust by their titles and their  
 9 qualifications, but we need to gain the  
 10 patients trust. And we gain patients trust by  
 11 consist delivery of high quality health care  
 12 and when something goes wrong, we just have to  
 13 be open about it. And, I guess, disclosure,  
 14 if patients are comfortable with the  
 15 disclosure in the community, then they will  
 16 have trust in the system.  
 17 MS. NEWBURY:  
 18 Q. Okay. So, you would see that if there are  
 19 problems, that you would have to communicate  
 20 that with the patients, be open and -  
 21 DR. KHALIFA:  
 22 A. In the right context.  
 23 MS. NEWBURY:  
 24 Q. I'd like to refer to exhibit P-1850 please.  
 25 This the memo which you outlined the review

Page 291

1 of, I think you've attached a review of 19  
 2 cases. That was over a nine month period. At  
 3 the top of page four, nine month period,  
 4 January 1997 to September 1997 and you've  
 5 indicated, I think, in your evidence this  
 6 morning that you consider this to be a semi-  
 7 scientific document. And you explained that  
 8 this wasn't a full blown study.  
 9 DR. KHALIFA:  
 10 A. No, because we continued to look at slides  
 11 until March of the next year. So, the total  
 12 number of cases was much more than this.  
 13 MS. NEWBURY:  
 14 Q. Was higher than this, okay. The 19 cases over  
 15 this nine month period, would that have been  
 16 all of the tests for which ER/PR testing was  
 17 done?  
 18 DR. KHALIFA:  
 19 A. As I said, I knew that some of the cases from  
 20 St. Clare's hospital probably were sent to  
 21 Mayo Clinic, but if your question is whether  
 22 this is the total number done in our lab or  
 23 not, I probably would have to go back to the  
 24 files and track them down.  
 25 MS. NEWBURY:

Page 292

1 Q. Perhaps if I asked the question this way, was  
 2 an effort made to pick out particularly  
 3 difficult cases or were you trying to do a  
 4 random sample of whatever tests came through  
 5 the door?  
 6 DR. KHALIFA:  
 7 A. No, audits of that nature have to be either  
 8 random or consecutive. We cannot pick up  
 9 cases and do an audit.  
 10 MS. NEWBURY:  
 11 Q. And do you think this was probably the  
 12 consecutive type of a study?  
 13 DR. KHALIFA:  
 14 A. I would assume that these were consecutive  
 15 cases. Can you kindly scroll down the number  
 16 and see if it is logic or not.  
 17 MS. NEWBURY:  
 18 Q. I'm not even sure that they're all listed in  
 19 the same numerical order there.  
 20 DR. KHALIFA:  
 21 A. It's interesting, the numbers are not in an  
 22 ascending order. So, okay, so we went  
 23 probably from 2100 to 5500, that's about a  
 24 total of 3000 cases. In 3000 cases you get 20  
 25 cases, that probably sounds okay, that sounds

Page 293

1 like consecutive numbers.  
 2 MS. NEWBURY:  
 3 Q. Okay, but either way it would have been one or  
 4 the other, in your view.  
 5 DR. KHALIFA:  
 6 A. If it wasn't consecutive, it had to be random.  
 7 MS. NEWBURY:  
 8 Q. Okay. And were the 19 of these tests here all  
 9 performed under the same circumstances?  
 10 DR. KHALIFA:  
 11 A. Yes.  
 12 MS. NEWBURY:  
 13 Q. Okay. You used the same kit for all 19?  
 14 DR. KHALIFA:  
 15 A. Yes.  
 16 MS. NEWBURY:  
 17 Q. And there was no tweaking of any of the steps  
 18 -  
 19 DR. KHALIFA:  
 20 A. No, the tweaking part was before we starting  
 21 doing the tests.  
 22 MS. NEWBURY:  
 23 Q. Okay. So, any of the tweaking you did before  
 24 and this would have been all identical.  
 25 DR. KHALIFA:

Page 294

1 A. Yes, I didn't report that tweaking part.  
 2 MS. NEWBURY:  
 3 Q. Okay. And were you the only pathologist  
 4 reading the slides produced through this  
 5 study?  
 6 DR. KHALIFA:  
 7 A. Yes.  
 8 MS. NEWBURY:  
 9 Q. Okay. And there's no second pathologist or  
 10 resident involved in rereading those slides  
 11 just to -  
 12 DR. KHALIFA:  
 13 A. Just retrieving the slides and looking at them  
 14 and learning from them, yes.  
 15 MS. NEWBURY:  
 16 Q. Okay, but not in a formal way of recording  
 17 results.  
 18 DR. KHALIFA:  
 19 A. No.  
 20 MS. NEWBURY:  
 21 Q. And at the time that you read the slides from  
 22 the ER/PR testing through the IHC method,  
 23 would you have been aware of the results from  
 24 the biochemical assay method?  
 25 DR. KHALIFA:

Page 295

1 A. I would like to say yes, I had to -  
 2 MS. NEWBURY:  
 3 Q. Before you read the slides. I guess the  
 4 question I'm asking is whether or not this  
 5 would have been done, I think it's called a  
 6 blind study, that you would not know what the  
 7 results are to try to keep any potential bias  
 8 out of the study.  
 9 DR. KHALIFA:  
 10 A. Okay. I understand the question. This was  
 11 not a study, this was an audit, these were  
 12 actual patients. So, in other words, if you  
 13 look at any of these cases, this case was  
 14 reported with the purpose of serving the  
 15 patient. I was serving the patient. I wasn't  
 16 doing a research study. So, in order to serve  
 17 the patient, I wanted to, in my mind, make  
 18 sure that I'm signing an accurate report. And  
 19 I would do whatever it takes to make the  
 20 report accurate, even if I look at the  
 21 biochemical assay. So, if I look at the  
 22 biochemical assay and I look at my slide and I  
 23 see that it was positive here and I'm looking  
 24 at positive then, I'm comfortable with it. If  
 25 it is positive and I'm calling it negative,

Page 296

1 maybe I have to repeat it. So, these were  
 2 real cases. I had to deliver accurate  
 3 diagnosis.  
 4 MS. NEWBURY:  
 5 Q. Okay. At the time you put your signature on  
 6 the report, I can see that, but would you have  
 7 at least tested yourself just to see if you  
 8 would come up with the same results before  
 9 looking at the biochemical assay? Is that  
 10 something you might have considered or would  
 11 you -  
 12 DR. KHALIFA:  
 13 A. No, no.  
 14 MS. NEWBURY:  
 15 Q. - have taken all information available to -  
 16 DR. KHALIFA:  
 17 A. No, I wanted full information.  
 18 MS. NEWBURY:  
 19 Q. And how about the individual doing the  
 20 biochemical assay procedure. Would that  
 21 person have known about you results at the  
 22 time?  
 23 DR. KHALIFA:  
 24 A. No, the biochemical assay, my understanding  
 25 was -

Page 297

1 MS. NEWBURY:  
 2 Q. That would have been done first, would it?  
 3 DR. KHALIFA:  
 4 A. - was done by a machine.  
 5 MS. NEWBURY:  
 6 Q. Okay.  
 7 DR. KHALIFA:  
 8 A. There's very little human influence on them.  
 9 MS. NEWBURY:  
 10 Q. So you always had the biochemical assay  
 11 results before?  
 12 DR. KHALIFA:  
 13 A. Yes.  
 14 MS. NEWBURY:  
 15 Q. Okay, and you've indicated that you weren't  
 16 validating the test procedure, due to the fact  
 17 that you were relying upon a certified kit,  
 18 which you understood to be valid?  
 19 DR. KHALIFA:  
 20 A. Yes.  
 21 MS. NEWBURY:  
 22 Q. Okay, and would you have expected that the  
 23 validation of the kit itself by the  
 24 manufacturer would have been put through a  
 25 more rigorous analysis, a full blown

Page 298

1 scientific study?  
 2 DR. KHALIFA:  
 3 A. Oh yes, oh yes.  
 4 MS. NEWBURY:  
 5 Q. Okay, and just generally speaking, what types  
 6 of steps would the manufacturer have completed  
 7 in validating the kit?  
 8 DR. KHALIFA:  
 9 A. Well, with every specification sheet you get  
 10 from the manufacturer, there is a list of  
 11 references and they tell you exactly what  
 12 studies use this clone and these are very,  
 13 very well structured programs.  
 14 MS. NEWBURY:  
 15 Q. If a decision was made to do the  
 16 immunohistochemical testing for ER/PR without  
 17 the benefit of a kit, what type of exercise  
 18 would you go through to ensure that the test  
 19 procedures were valid?  
 20 DR. KHALIFA:  
 21 A. If I didn't have a kit, I'm just doing the  
 22 antibody and using my own reagents?  
 23 MS. NEWBURY:  
 24 Q. Yes, without the benefit of the sheets that  
 25 you were just talking about with all of the

Page 299

1 research protocols.  
 2 DR. KHALIFA:  
 3 A. Yes.  
 4 MS. NEWBURY:  
 5 Q. Would you ever have a kit--sorry, would you  
 6 ever have a situation where you have a kit,  
 7 but you have information from manufacturers?  
 8 I'm just wondering, you know, how does a kit  
 9 make it different, in terms of your ability to  
 10 forego a more scientific study, compared to  
 11 not having a kit when you do ER/PR testing?  
 12 DR. KHALIFA:  
 13 A. When we don't have the kit, we purchase the  
 14 antibody and the manufacturer will say use  
 15 this solution and this other solutions before  
 16 you add the antibody, and after you add the  
 17 antibody, there is a secondary antibody and so  
 18 you get these elements of the recipe,  
 19 ingredients, from different vendors, and so  
 20 you shop around. You get the cheapest around  
 21 and then you get this one antibody from that  
 22 one manufacturer. Of course the kits sells  
 23 itself by saying, you know, what I'm going to  
 24 save you from shopping around for all  
 25 ingredients. I'm going to put them altogether

Page 300

1 in one box, just open the box and add--and it  
 2 is expensive, and at that time, and up to to  
 3 date, if you compare the data from different  
 4 national studies, you're comparing antibodies  
 5 that come individually and antibodies that  
 6 come in kits, you will not find any  
 7 superiority linked to any of them. The issue  
 8 here is what has been approved. Which one has  
 9 been approved? And to my knowledge none of  
 10 them were approved because the--and by  
 11 approved, I mean FDA approved. Well first of  
 12 all, you can argue about the value of FDA  
 13 approval if you are not practising in the  
 14 States, why are we looking for FDA approval?  
 15 Should we have a Canadian agency that approves  
 16 kits and antibodies and drugs, that is not a  
 17 question for me to answer. But, for example,  
 18 when in December of '98 when the FDA approved  
 19 HER2/neu kits, then now that is the kit that  
 20 is approved by FDA. Then anybody who uses a  
 21 different kit of different antibody carries  
 22 the risk of producing inaccurate results  
 23 because, hey, this is the only one that is  
 24 approved by FDA. I don't think, at least at  
 25 that time, I didn't know of a FDA approved

Page 301

1 antibody or a kit for ER/PR. Of course, if  
 2 there was such a thing, well, maybe that was  
 3 the one that we should use, but I wasn't aware  
 4 of any. But again, even if there was, the  
 5 issue would be how much weight are you going  
 6 to give to a FDA approval if you're not  
 7 practising in the States.  
 8 MS. NEWBURY:  
 9 Q. But when you mention that the kit was  
 10 certified, certified by the manufacturer or -  
 11 DR. KHALIFA:  
 12 A. That's what I meant.  
 13 MS. NEWBURY:  
 14 Q. Okay, and do you have the same sort of  
 15 certification from the manufacturer when  
 16 you're not using a kit and when you're just  
 17 using antibodies?  
 18 DR. KHALIFA:  
 19 A. Yes, before they release the antibody, they  
 20 run rigorous testing on it and they wouldn't  
 21 release it unless they have validated it. And  
 22 still, if you use it and you have problems  
 23 with it, we can ship it back to the  
 24 manufacturer and say this lot so and so is  
 25 just not working and they replace it.

Page 302

1 MS. NEWBURY:  
 2 Q. And the fact that you have a kit with all the  
 3 ingredients for your recipe, does that mean  
 4 that you don't have to do as rigorous a test  
 5 when you're trying to validate a procedure for  
 6 ER/PR testing?  
 7 DR. KHALIFA:  
 8 A. No, I would still do the same, if you are  
 9 talking about the correlation?  
 10 MS. NEWBURY:  
 11 Q. Yes.  
 12 DR. KHALIFA:  
 13 A. I would still do the correlation because  
 14 remember, the correlation was done to make  
 15 people comfortable that we are giving our  
 16 patients similar service to the one that they  
 17 were given under the old system.  
 18 MS. NEWBURY:  
 19 Q. But would the correlation have any additional  
 20 requirements, given that you're not using a  
 21 kit?  
 22 DR. KHALIFA:  
 23 A. No.  
 24 MS. NEWBURY:  
 25 Q. So it would be the same type of study that you

Page 303

1 would -  
 2 DR. KHALIFA:  
 3 A. I would have done the same.  
 4 MS. NEWBURY:  
 5 Q. And there's no special consideration given  
 6 what you've described to be the delegacy of  
 7 this particular test, ER/PR testing using  
 8 prognosis, that's using prognosis in a  
 9 therapeutic role?  
 10 DR. KHALIFA:  
 11 A. No, because the manufacturer of an antibody  
 12 guarantees reliable results. I mean, all of  
 13 these manufacturers guarantee reliable  
 14 results.  
 15 MS. NEWBURY:  
 16 Q. They've got a range of procedures though and  
 17 you've indicated that they do change from, you  
 18 know, in an institution you may not follow the  
 19 recipe exactly, you still have to make sure  
 20 that it's right for your particular  
 21 circumstance?  
 22 DR. KHALIFA:  
 23 A. Yes, yes.  
 24 MS. NEWBURY:  
 25 Q. And is the manufacturer responsible for that

Page 304

1 or is that something that the hospital -  
 2 DR. KHALIFA:  
 3 A. Well, as I said, it's within a range, so they  
 4 say from five to ten minutes, you can use the  
 5 ten minutes, you use the five minutes,  
 6 sometimes when the section is cut a little bit  
 7 thicker, maybe you need to change the dilution  
 8 a little bit, so it's again, like a cook  
 9 recipe, you have to play a little bit.  
 10 There's a range, we shouldn't exceed the  
 11 range, but we can play within the range.  
 12 MS. NEWBURY:  
 13 Q. Just a quick question about the surgical  
 14 pathology rounds on Tuesdays and you've  
 15 indicated, I think that during this parallel  
 16 study or the parallel review of the  
 17 biochemical assay and the immunohistochemical  
 18 testing for ER/PR, that you had reviewed some  
 19 cases under the multi-headed microscope?  
 20 DR. KHALIFA:  
 21 A. Some of them, yes.  
 22 MS. NEWBURY:  
 23 Q. Some of them, okay, and which pathologists  
 24 generally attended those rounds?  
 25 DR. KHALIFA:

Page 305

1 A. The pathologists in the Health Sciences Centre  
2 and the residents and as my farewell letter  
3 says, the attendance was at the average of  
4 3.2, including myself, so that means that  
5 there was at least two other pathologists  
6 sitting at the microscope with me.  
7 MS. NEWBURY:  
8 Q. Were pathologists from other hospitals in the  
9 St. John's area aware of this and invited to  
10 attend?  
11 DR. KHALIFA:  
12 A. Oh of course they were aware of it, I don't  
13 recall them attending, but we may have had an  
14 occasional pathologist from another city who  
15 happened to be in St. John's and pops in and  
16 looks at slides with us.  
17 MS. NEWBURY:  
18 Q. That was the next question, I was wondering  
19 whether people from other parts of the  
20 province were aware of it and invited to  
21 attend?  
22 DR. KHALIFA:  
23 A. I recall at least a couple of incidents where  
24 some of our colleagues and friends came with  
25 us, but everybody knew about these rounds.

Page 306

1 MS. NEWBURY:  
2 Q. Okay, and they certainly were welcome to  
3 attend if they so wanted to.  
4 DR. KHALIFA:  
5 A. Absolutely, absolutely.  
6 MS. NEWBURY:  
7 Q. Thank you very much, Dr. Khalifa, those are my  
8 questions.  
9 DR. KHALIFA:  
10 A. Thank you.  
11 THE COMMISSIONER:  
12 Q. Ms. Taylor?  
13 DOCTOR MAHMOUD KHALIFA, EXAMINATION BY MS. PAMELA TAYLOR  
14 MS. TAYLOR:  
15 Q. Good afternoon, Dr. Khalifa. My name is Pay  
16 Taylor, I'm here on behalf of the Breast  
17 Cancer Testing Class Action Group. I just  
18 have a few questions for you. When, near the  
19 beginning of your testimony when you were  
20 talking about the ER/PR procedure in IHC  
21 actually being brought in back in 1997, and I  
22 think that Mr. Coffey asked you some questions  
23 about whether or not, you know, there was any  
24 examination then of the financial resources  
25 that might be needed or any sort of analysis

Page 307

1 at that time. And I think what you indicated  
2 was that you had talked to biochemistry, IHC  
3 was up and running at that time and this was  
4 just one more antibody that would be used or  
5 utilized within the IHC lab, is that a fair  
6 summarization of what you said?  
7 DR. KHALIFA:  
8 A. Yeah, it wasn't rocket science, it was just  
9 one more antibody added to our portfolio.  
10 MS. TAYLOR:  
11 Q. So there wouldn't have needed to be any type  
12 of analysis in terms of moving a procedure  
13 from one department of biochemistry to IHC,  
14 different people doing a procedure, whether or  
15 not they had proper training, the proper level  
16 of knowledge, if there was any equipment that  
17 was needed, those sorts of things, that  
18 wouldn't have to be examined at that time?  
19 DR. KHALIFA:  
20 A. As I indicated, the antibody for estrogen and  
21 progesterone receptors was just one more  
22 antibody, they were doing antibodies for a  
23 variety of antigens for different tumours and  
24 different situations, so that was just one  
25 antibody that comes with its recipe. Its

Page 308

1 recipe was very comparable to the recipe  
2 employed in other antibodies. No, it did not  
3 need any additional resource or personnel or  
4 anything like that.  
5 MS. TAYLOR:  
6 Q. Another question that I had had to do with the  
7 DAKO autostainer, now this might not be  
8 something that you can answer. There's a  
9 little bit of confusion, I think, over when  
10 the actual DAKO autostainer was brought in and  
11 was being used in the lab. We have seen a  
12 contract that shows that it was executed in  
13 May of 1998. Do you know when the DAKO  
14 autostainer would have been brought in and  
15 when it was in use in the lab?  
16 DR. KHALIFA:  
17 A. I wouldn't remember, I'm sorry, I wouldn't  
18 remember. I wasn't really involved in the  
19 process and that was happening in the lab and  
20 so I wouldn't remember.  
21 MS. TAYLOR:  
22 Q. And I just want to go back for one moment to  
23 P-1850 Registrar? I know you've been asked a  
24 number of questions about the series that was  
25 run, the audit that was done. Now the purpose

Page 309

1 of the audit again was to compare the two  
 2 methods, the biochemical assay method verses  
 3 the IHC method to ensure that the results were  
 4 comparable.  
 5 DR. KHALIFA:  
 6 A. Comparable, yes.  
 7 MS. TAYLOR:  
 8 Q. So the total number of cases that were run in,  
 9 I guess the side-by-side series were 19?  
 10 DR. KHALIFA:  
 11 A. In this audit they were 19, yes.  
 12 MS. TAYLOR:  
 13 Q. Was there any other audits?  
 14 DR. KHALIFA:  
 15 A. No, I was doing this on an ongoing basis. I  
 16 kept doing it until the end of March, until  
 17 March '98, and I continued the correlation on  
 18 a case-by-base basis.  
 19 MS. TAYLOR:  
 20 Q. You continued doing that, but it wasn't  
 21 necessarily documented in this way, is that  
 22 what you're indicating?  
 23 DR. KHALIFA:  
 24 A. No, no, we did not generate another audit.  
 25 MS. TAYLOR:

Page 310

1 Q. Okay, and so the purpose of this, even though  
 2 you were correlating the other cases, the  
 3 purpose of doing this in this way, documenting  
 4 this in this way was for what purpose?  
 5 DR. KHALIFA:  
 6 A. I wanted to document how we were doing,  
 7 comparing our results to the biochemical assay  
 8 so that pathologists, clinicians and everybody  
 9 involved would feel comfortable that we can  
 10 move in this direction.  
 11 MS. TAYLOR:  
 12 Q. And documenting the 19 cases in this way, you  
 13 felt that that was enough, in terms of  
 14 documenting the comparison between the two  
 15 methods to, I'm going to use the word  
 16 "validate" I know that's been used in a  
 17 different way, but to sort of validate the  
 18 difference between the two procedures, to  
 19 provide a comfort level to these other  
 20 professionals that you're talking about.  
 21 DR. KHALIFA:  
 22 A. It certainly was my impression that everybody  
 23 was fine with it, if one of my colleagues or  
 24 an oncologist or anybody would come back and  
 25 say, you know what, why don't we keep doing

Page 311

1 this for another year, I would have done it  
 2 for another year, but the colleagues in St.  
 3 Clare's wanted to get custody of their cases,  
 4 they wanted to take their cases for reporting,  
 5 the Grace Hospital, as you saw in one of the  
 6 minutes, wanted to take their cases, people  
 7 were comfortable, there wasn't any undue  
 8 anxiety around the procedure that would  
 9 require extending and as you saw in one of the  
 10 minutes that there was no timeline, I mean, we  
 11 did not start this with pressure to end in a  
 12 certain point. If someone wanted to expand  
 13 this for one more year, I would have done it  
 14 for another year.  
 15 MS. TAYLOR:  
 16 Q. So in terms of documenting a sample size for  
 17 statistical reliability confirming between the  
 18 two methods, that's not something that you  
 19 were trying to achieve with this audit?  
 20 DR. KHALIFA:  
 21 A. As I said earlier, and we can go around and  
 22 ask other medical centres when did they  
 23 implement immunohistochemistry and what did  
 24 they do, and I bet you many places would say  
 25 we bought the kit, we started using it. Why

Page 312

1 trouble correlating with the biochemistry? I  
 2 mean, this is a valid test, has been tested by  
 3 the manufacturer and has been tested in many  
 4 studies. You can pull out an article and see  
 5 what clone they used, okay, give satisfactory  
 6 results, I am going to use that clone. And  
 7 that was customary at the time. Really the  
 8 audit was on top and above of any endeavour to  
 9 make people comfortable with this procedure.  
 10 MS. TAYLOR:  
 11 Q. Okay, thank you, that's all the questions I  
 12 have.  
 13 THE COMMISSIONER:  
 14 Q. Thank you. Mr. Pike?  
 15 MR. PIKE:  
 16 Q. I have no questions, thank you.  
 17 THE COMMISSIONER:  
 18 Q. Mr. Browne?  
 19 DR. MAHMOUD KHALIFA, EXAMINATION BY MR. PETER BROWNE  
 20 MR. BROWNE:  
 21 Q. Dr. Khalifa, good afternoon. I just have a  
 22 couple of questions for you and actually I'll  
 23 just leave off where Ms. Taylor finished  
 24 questioning you and it's Exhibit P-1850, just  
 25 to sort of summarize your evidence in respect

Page 313

1 of what you were doing here, Doctor, you were  
 2 correlating two test results, the estrogen  
 3 progesterone receptor testing through the IHC  
 4 method with the biochemical assay method, both  
 5 results were measuring the same. This  
 6 understanding was based on literature where  
 7 large studies were done to say what was  
 8 necessary and how this would correlate. So  
 9 you used that literature to sort of basically  
 10 perform an audit, not a scientific study -  
 11 DR. KHALIFA:  
 12 A. Yes.  
 13 MR. BROWNE:  
 14 Q. This is not a scientific study.  
 15 DR. KHALIFA:  
 16 A. Yes.  
 17 MR. BROWNE:  
 18 Q. So all that had been already done in the  
 19 literature prior to all this, correct?  
 20 DR. KHALIFA:  
 21 A. Exactly, and that one reference I gave was the  
 22 one that had the largest series for  
 23 correlation.  
 24 MR. BROWNE:  
 25 Q. Right, and that was referenced in one of your

Page 314

1 --  
 2 DR. KHALIFA:  
 3 A. In this memo.  
 4 MR. BROWNE:  
 5 Q. In this --  
 6 DR. KHALIFA:  
 7 A. At the bottom of this audit.  
 8 COMMISSIONER:  
 9 Q. Just to make sure I understand, my conclusion  
 10 from what I've heard today was that you looked  
 11 at the studies as to what the correlation  
 12 should be, and then you looked at the results  
 13 of these 19 tests to see whether or not you  
 14 fell within the parameters of what you  
 15 anticipated based on the studies?  
 16 DR. KHALIFA:  
 17 A. That's correct.  
 18 COMMISSIONER:  
 19 Q. And what you found was consistent with the  
 20 studies, in your view?  
 21 DR. KHALIFA:  
 22 A. That's correct.  
 23 MR. BROWNE:  
 24 Q. And I'm -- Commissioner, it's the O'Keane  
 25 study which is cited at the bottom.

Page 315

1 COMMISSIONER:  
 2 Q. Yes, uh-hm. So that was the basis on which  
 3 you felt that you could say to pathologists,  
 4 and particularly oncologists who would be  
 5 looking at this method for the first time  
 6 because they would be accustomed to having the  
 7 results of another kind of test, to say this  
 8 is really -- this is how you transfer the  
 9 knowledge you already have to this new IHC  
 10 method?  
 11 DR. KHALIFA:  
 12 A. That's correct.  
 13 COMMISSIONER:  
 14 Q. Is that the whole purpose?  
 15 DR. KHALIFA:  
 16 A. That's correct.  
 17 COMMISSIONER:  
 18 Q. Okay.  
 19 MR. BROWNE:  
 20 Q. So continuing education for your colleagues on  
 21 this transfer?  
 22 DR. KHALIFA:  
 23 A. Yes.  
 24 MR. BROWNE:  
 25 Q. Doctor, you had mentioned, and it's very

Page 316

1 evident from some of your answers your passion  
 2 for quality assurance, and it would seem  
 3 throughout your curriculum vitae your efforts  
 4 -- endeavours in that direction beginning here  
 5 in Newfoundland and carrying on to Toronto. I  
 6 just want to touch on you mentioned you're a  
 7 member of or were a member of the College of  
 8 American Pathologists, Quality Assurance  
 9 Accreditation Committee, did I capture that  
 10 correctly?  
 11 DR. KHALIFA:  
 12 A. Yes.  
 13 MR. BROWNE:  
 14 Q. And one of the hospitals was Mount Sinai,  
 15 which you certified under that program, and  
 16 one of the factors -- did I understand it  
 17 correctly, one of the factors that allowed  
 18 that to happen -- you talked about sort of  
 19 that that could not necessarily apply across  
 20 the country, but one of the factors that was  
 21 critical to that certification was the fact  
 22 that Mount Sinai had very large research  
 23 capabilities and very large funding?  
 24 DR. KHALIFA:  
 25 A. I wouldn't know the background as to why these

Page 317

1 sorts of certification by the College of the  
 2 American Pathology, but I can tell you that  
 3 certification by the College of American  
 4 Pathology is a very prestigious status, and  
 5 certainly labs like Mount Sinai lab is a very  
 6 -- I mean, this is cutting edge, this is --  
 7 this is state of the art laboratory, and I was  
 8 very impressed to see their work, very, very  
 9 high quality. So it is a very prestigious  
 10 status to say I am certified by the College of  
 11 American Pathologists. I was just saying that  
 12 seeking certification by the College of  
 13 American Pathologists is not only a feather in  
 14 your hat to say, look at me, how prestigious I  
 15 am, it actually gives you credibility if you  
 16 want to apply for grants from the United  
 17 States -- like, Sunnybrook, for example, is  
 18 not, and my personal position is that I didn't  
 19 think that we needed that.

20 MR. BROWNE:  
 21 Q. So it is important if you're going to do  
 22 research in the United States to have that  
 23 certification?  
 24 DR. KHALIFA:  
 25 A. It is very useful, yes.

Page 318

1 MR. BROWNE:  
 2 Q. And you'd mentioned in one of your answers to  
 3 -- I'm not sure if it was Mr. Coffey's  
 4 question or one of other counsel, about the  
 5 notion of an agency for labs, and I didn't  
 6 quite get --  
 7 DR. KHALIFA:  
 8 A. Sorry, again please.  
 9 MR. BROWNE:  
 10 Q. You mentioned about having an agency for labs,  
 11 and I'm not quite sure what -- if you  
 12 completed that thought or not.  
 13 DR. KHALIFA:  
 14 A. Agency?  
 15 MR. BROWNE:  
 16 Q. For quality assurance for labs.  
 17 DR. KHALIFA:  
 18 A. Accreditation agency?  
 19 MR. BROWNE:  
 20 Q. Accreditation agency.  
 21 DR. KHALIFA:  
 22 A. Yes, or a program just like QMPLS. QMPLS came  
 23 to Sunnybrook to inspect us. They passed us  
 24 on certain things and did not pass some other  
 25 labs on other things. We had to fix them, or

Page 319

1 they had to fix them, and we reapplied, and we  
 2 were granted, but it was a stressful process,  
 3 but extremely useful, extremely practical to  
 4 get an accrediting organization or body to go  
 5 through the lab -- beforehand they give you a  
 6 checklist of things that need to be in your  
 7 lab, and you make sure you have them, of  
 8 course, over many years, and then when the  
 9 inspection date comes, they come and they  
 10 inspect you and they certify you.

11 MR. BROWNE:  
 12 Q. Now is that mostly in relation to the  
 13 technical component of the lab as opposed to  
 14 sort of the interpretative pathology  
 15 component, or is it both?  
 16 DR. KHALIFA:  
 17 A. Accreditation programs are mostly on the  
 18 technical side.  
 19 MR. BROWNE:  
 20 Q. We heard -- Mr. Coffey asked you about  
 21 synoptic reporting, and I just want to just  
 22 canvas that for a minute. You were -- and  
 23 we'll probably hear from another witness  
 24 tomorrow about the introduction of synoptic  
 25 reporting here in Newfoundland, and how you

Page 320

1 mentioned this afternoon how you sort of  
 2 interfaced with the Cancer Clinic to do a  
 3 checklist.  
 4 DR. KHALIFA:  
 5 A. Yes.  
 6 MR. BROWNE:  
 7 Q. And there are two types of reporting, I  
 8 understand, in pathology. There is the  
 9 narrative form.  
 10 DR. KHALIFA:  
 11 A. Yes.  
 12 MR. BROWNE:  
 13 Q. And then synoptic form?  
 14 DR. KHALIFA:  
 15 A. Yes.  
 16 MR. BROWNE:  
 17 Q. And there seems -- is there more of a move now  
 18 towards synoptic reporting because of the  
 19 importance to other specialties in trying to  
 20 make sure that important information is  
 21 transmitted to clinicians?  
 22 DR. KHALIFA:  
 23 A. Yes, indeed. The narrative report, when you  
 24 read the narrative report, you may miss some  
 25 of the parameters, some of the parameters may



Page 321

1 be missing and you wouldn't even know they  
 2 were missing. So the step better than the  
 3 narrative report which I was trying to  
 4 implement here in Newfoundland, and I'm sure  
 5 it is going on, what is called semi-synoptic.  
 6 The semi-synoptic means you have the  
 7 parameters, the variables, and the pathologist  
 8 report. Each one, through their own language,  
 9 for example, tumour type, and I would say that  
 10 tumour type is tubular or lobular, something  
 11 like that. So these are semi-synoptic. The  
 12 true synoptic report which is now being  
 13 implemented is you have the parameter, and  
 14 then you can not free text -- you can not free  
 15 text the variable, you have to choose from a  
 16 drop down menu. So you're only presented by,  
 17 say, six options, six names to call that  
 18 tumour.  
 19 MR. BROWNE:  
 20 Q. Uh-hm.  
 21 DR. KHALIFA:  
 22 A. And, of course, these are developed -- we are  
 23 following the College of American Pathologist  
 24 checklist which is the most robust well  
 25 studied evidence-based checklist available.

Page 322

1 There are several other systems. The College  
 2 of American Pathologist is comprehensive, it's  
 3 evidence-based, it's adopted by many  
 4 accrediting agencies in the United States, and  
 5 they give you, say, six or eight options,  
 6 eight names. Then you have to choose one of  
 7 them, so forth, and so forth, and so forth.  
 8 So that does not only guarantee that the  
 9 parameters are all included, but it guarantees  
 10 standardized nomenclature and standardized  
 11 language in the way we express our report.  
 12 MR. BROWNE:  
 13 Q. And just to -- you were shown your curriculum  
 14 vitae, and the reference to your 2006 award  
 15 for quality of cancer pathology reporting. Is  
 16 that an area that this award focused on, your  
 17 efforts there?  
 18 DR. KHALIFA:  
 19 A. My award was focused on three pillars, and  
 20 that was one of them.  
 21 MR. BROWNE:  
 22 Q. What were the other two?  
 23 DR. KHALIFA:  
 24 A. The other two were creating an non-punitive  
 25 culture in pathology which is on a website --

Page 323

1 I think the website is where my CV -- it's in  
 2 the Registry of Improved Medical Practice by  
 3 the Ministry of Health in Ontario. They used  
 4 what happened in Sunnybrook as a model that is  
 5 used on their website for people around the  
 6 world to see it and see how can that improve  
 7 patient quality. The third parameter was our  
 8 effort in making sure that every colon cancer  
 9 is excised with 12 lymph nodes. So that's a  
 10 surgical -that's a clinical parameter and a  
 11 pathology parameter to make sure that patients  
 12 of colon cancer are properly staged.  
 13 MR. BROWNE:  
 14 Q. And that's one of your areas of special  
 15 practice?  
 16 DR. KHALIFA:  
 17 A. That also is one of my sub-specialties, yes.  
 18 MR. BROWNE:  
 19 Q. Dr. Khalifa, you'll be glad to know I have one  
 20 last question. That is, do you have any  
 21 statements or recommendations you'd like to  
 22 make to the Commission?  
 23 DR. KHALIFA:  
 24 A. I would like to make a brief statement, if  
 25 you'll allow me. First, I want to thank the

Page 324

1 Commissioner and I want to thank people of  
 2 Newfoundland for giving me the opportunity to  
 3 be part of this endeavour. This is a very  
 4 delicate issue we are dealing with here, and I  
 5 am hoping and pleading to the public and the  
 6 media to respect the delicacy of this  
 7 situation and to treat it with sensitivity and  
 8 objectiveness. I also want to mention that  
 9 the pathology community in Ontario and across  
 10 the country -- I was in Vancouver last month  
 11 in the Canadian Partnership Against Cancer,  
 12 the CPAC, spoke to pathologists from across  
 13 the country. Everybody is watching what's  
 14 happening here in Newfoundland very closely.  
 15 It is very useful -- it's a very useful  
 16 learning experience for everybody, and nobody  
 17 has any doubt whatsoever that something very  
 18 positive, extremely positive is going to come  
 19 out of this endeavour, not only for  
 20 Newfoundland, but for pathology and health  
 21 care professionals across the country. Thank  
 22 you very much.  
 23 MR. BROWNE:  
 24 Q. Thank you, Commissioner.  
 25 COMMISSIONER:

Page 325

1 Q. Mr. Coffey, do you have any arising?  
 2 DR. MAHMOUD KHALIFA - EXAMINATION BY BERNARD COFFEY, Q.C.  
 3 COFFEY, Q.C.:  
 4 Q. Doctor, I have just one question. You were  
 5 asked -- you made reference, I believe, in  
 6 response to a question from Ms. Newbury, you  
 7 referred to QMPLS, and, of course, that's in  
 8 Ontario, a group, and their jurisdiction in a  
 9 legal sense is limited to Ontario, I gather?  
 10 DR. KHALIFA:  
 11 A. Yes.  
 12 COFFEY, Q.C.:  
 13 Q. I think you indicated that if there was  
 14 something like QMPLS or its equivalent  
 15 nationally, that that might be from your  
 16 perspective useful, and, in fact, I believe  
 17 you indicated perhaps might have been helped  
 18 to have -- if not prevent it, at least  
 19 identify earlier any problems that there might  
 20 have been in the laboratory here?  
 21 DR. KHALIFA:  
 22 A. Yes, sir.  
 23 COFFEY, Q.C.:  
 24 Q. So it is your view, I take it, that such a  
 25 body, if it could exist or could be created,

Page 326

1 would be useful throughout Canada to provide  
 2 such a service everywhere in this country?  
 3 DR. KHALIFA:  
 4 A. My personal view would be a national body with  
 5 appropriate delegation to provincial bodies.  
 6 COFFEY, Q.C.:  
 7 Q. That would carry out that sort of function  
 8 within their particular geographic location?  
 9 DR. KHALIFA:  
 10 A. Exactly, to deal with the fine details of each  
 11 province.  
 12 COFFEY, Q.C.:  
 13 Q. Thank you, Commissioner. Thank you very much,  
 14 Doctor?  
 15 DR. KHALIFA:  
 16 A. Thank you.  
 17 COMMISSIONER:  
 18 Q. Doctor, I'm afraid we kept you a little longer  
 19 than we had anticipated. We very much  
 20 appreciate your having come from Ontario to  
 21 assist us with this, and the task, as you've  
 22 noted, one that is a long one and is important  
 23 not only to us, but I believe to people in the  
 24 other parts of the country, and we're  
 25 certainly very much aware of that. Thank you

Page 327

1 very much.  
 2 DR. KHALIFA:  
 3 A. Thank you.  
 4 COMMISSIONER:  
 5 Q. 9:30 in the morning.

Page 328

1 CERTIFICATE  
 2 I, Judy Moss, hereby certify that the foregoing is  
 3 a true and correct transcript in the matter of the  
 4 Commission of Inquiry on Hormone Receptor Testing,  
 5 heard on the 24th day of July, A.D., 2008 before  
 6 the Honourable Justice Margaret A. Cameron,  
 7 Commissioner, at the Commission of Inquiry, St.  
 8 John's, Newfoundland and Labrador and was  
 9 transcribed by me to the best of my ability by  
 10 means of a sound apparatus.  
 11 Dated at St. John's, Newfoundland and Labrador  
 12 this 24th day of July, A.D., 2008  
 13 Judy Moss

|   |  |   |  |  |
|---|--|---|--|--|
| <p><b>-#-</b></p> <p><b>#1</b> [1] 170:1</p> <hr/> <p><b>-\$-</b></p> <p><b>\$10,000.00</b> [1] 98:9</p> <hr/> <p><b>-&amp;-</b></p> <p><b>&amp;</b> [2] 30:3 261:15</p> <hr/> <p><b>-'-</b></p> <p><b>'05</b> [1] 236:10</p> <p><b>'06</b> [1] 236:10</p> <p><b>'78</b> [1] 7:25</p> <p><b>'87</b> [1] 6:3</p> <p><b>'90s</b> [3] 28:19 83:3,4</p> <p><b>'92</b> [1] 83:11</p> <p><b>'93</b> [1] 6:8</p> <p><b>'94</b> [3] 6:13 15:22 83:22</p> <p><b>'95</b> [8] 6:13,17 9:19 15:24 16:15 59:3 82:6 84:2</p> <p><b>'96</b> [8] 17:23,25 18:12,18 26:19,19 59:4 68:25</p> <p><b>'97</b> [25] 87:3 116:21 117:9 121:8 124:13 125:2 128:16 131:11 136:12 141:9 147:20,20 155:14 159:1,7,14 163:15 228:21 232:1 236:21 237:18 242:20,22,24 249:10</p> <p><b>'98</b> [15] 17:6 87:3 121:7 169:21 197:22 206:2 208:25 209:24 232:1 242:20,22,24 243:14 300:18 309:17</p> <p><b>'99</b> [9] 6:17,20 20:11,13 69:1 206:2 214:8 228:2 243:14</p> | <p>228:2</p> <p><b>10</b> [7] 141:10 142:8 193:21 204:6 241:8,18 241:18</p> <p><b>100</b> [6] 62:13,14 94:19 150:12 153:8,12</p> <p><b>105</b> [2] 225:22,25</p> <p><b>10th</b> [1] 116:13</p> <p><b>113</b> [1] 239:12</p> <p><b>12</b> [2] 204:19 323:9</p> <p><b>121</b> [1] 192:20</p> <p><b>127</b> [1] 192:20</p> <p><b>12th</b> [5] 104:4 174:25 175:4,25 204:15</p> <p><b>13</b> [1] 205:16</p> <p><b>13th</b> [4] 125:12,17,21 197:22</p> <p><b>14</b> [4] 150:12,18,24 192:20</p> <p><b>1400</b> [2] 116:21 152:14</p> <p><b>141</b> [1] 3:5</p> <p><b>15</b> [2] 30:11 157:2</p> <p><b>15th</b> [1] 163:15</p> <p><b>16</b> [1] 30:12</p> <p><b>16th</b> [3] 163:19,25 176:13</p> <p><b>17</b> [3] 142:17 154:22 155:1</p> <p><b>1778</b> [1] 209:7</p> <p><b>1778-98</b> [1] 209:5</p> <p><b>17th</b> [4] 123:23 131:17 133:16 136:2</p> <p><b>18</b> [3] 3:1 136:2 241:9</p> <p><b>1850</b> [1] 160:19</p> <p><b>1857</b> [1] 123:8</p> <p><b>1859</b> [1] 161:6</p> <p><b>186</b> [1] 237:14</p> <p><b>1862</b> [1] 201:17</p> <p><b>1863</b> [1] 203:12</p> <p><b>1898</b> [1] 216:5</p> <p><b>19</b> [16] 39:12 146:15 148:8 150:25 151:7 153:24 154:24 210:14 291:1,14 293:8,13 309:9 309:11 310:12 314:13</p> <p><b>1978</b> [3] 5:23 7:8,12</p> <p><b>1982</b> [1] 8:8</p> <p><b>1986</b> [2] 8:10 10:19</p> <p><b>1987</b> [1] 10:16</p> <p><b>1988</b> [1] 10:16</p> <p><b>1990</b> [4] 6:8 83:11 154:5 192:20</p> <p><b>1990's</b> [4] 72:22 73:12 74:2,5</p> <p><b>1990s</b> [5] 38:1 93:10 103:22 213:1 223:12</p> <p><b>1994</b> [2] 13:21 155:8</p> <p><b>1995</b> [3] 16:13 22:23 263:1</p> <p><b>1995/96</b> [1] 263:1</p> <p><b>1996</b> [5] 105:1 125:18,21 216:9 225:23</p> <p><b>1997</b> [31] 100:14,16 104:4</p> | <p>106:3 116:13 123:23 124:17 125:12,21 129:1 129:11 131:17 133:16 136:2,16 139:2 140:12 142:8 145:23 147:9 163:19 228:20 230:17 250:12,15 252:3,12 272:1 291:4,4 306:21</p> <p><b>1998</b> [31] 167:14 168:2 172:14 174:25 175:15,19 175:21,25 176:13 178:24 190:7 197:24 198:4,6,15 199:4,6 203:13 204:6,19 205:16 208:16,21 209:5 211:19 242:8 243:25 250:12 266:15 281:23 308:13</p> <p><b>1999</b> [13] 20:9 68:23 196:17 213:20 216:8,9 216:16 225:13 226:20 262:11 267:21 269:5,20</p> <p><b>19th</b> [4] 197:24 198:4 199:5 216:7</p>   | <p><b>28</b> [3] 58:23,23 100:8</p> <p><b>28th</b> [1] 225:13</p> <p><b>2nd</b> [3] 138:7 208:10 240:19</p> <hr/> <p><b>-3-</b></p> <p><b>3</b> [6] 117:12,13 127:4 218:4 226:21,22</p> <p><b>3-20</b> [1] 148:15</p> <p><b>3.2</b> [4] 175:7 198:10 226:2 305:4</p> <p><b>3.4</b> [1] 131:23</p> <p><b>3.5</b> [2] 132:7 133:15</p> <p><b>30</b> [20] 78:11,17 116:18 118:13,23,23 120:25 148:13,14,18,19 150:1 153:20 154:18 168:24 192:12,16 203:17 210:16 238:3</p> <p><b>3000</b> [2] 292:24,24</p> <p><b>306</b> [2] 2:5,6</p> <p><b>312</b> [2] 2:6,7</p> <p><b>324</b> [1] 2:7</p> <p><b>325</b> [1] 2:8</p> <p><b>327</b> [1] 2:8</p> <p><b>3rd</b> [4] 125:18,20 228:21 237:18</p>   | <p><b>8</b> [2] 138:8 145:23</p> <p><b>80</b> [8] 154:22 191:10,10 194:2,4 228:23,25 252:23</p> <p><b>800</b> [3] 61:12 62:12 66:2</p> <p><b>800-plus</b> [1] 61:14</p> <p><b>81</b> [1] 3:4</p> <p><b>82</b> [2] 154:2,12</p> <p><b>86</b> [2] 81:12 154:21</p> <p><b>87</b> [1] 81:12</p> <p><b>88</b> [1] 153:22</p> <p><b>8th</b> [2] 169:20 281:23</p> <hr/> <p><b>-9-</b></p> <p><b>90</b> [4] 153:23 191:10 194:4 228:25</p> <p><b>90s</b> [3] 41:10 98:2 99:13</p> <p><b>97-1932</b> [1] 160:22</p> <p><b>9:30</b> [1] 327:5</p>   |
| <hr/> <p><b>---</b></p> <p><b>-because</b> [1] 121:6</p> <p><b>-I'm</b> [1] 216:5</p> <p><b>-that's</b> [1] 323:10</p> <p><b>-they</b> [1] 15:11</p> <hr/> <p><b>-.-</b></p> <p><b>.2</b> [2] 77:24 78:4</p> <p><b>.3</b> [2] 77:24 78:4</p> <hr/> <p><b>-0-</b></p> <p><b>0</b> [1] 117:12</p> <p><b>0-3</b> [1] 148:15</p> <p><b>0185</b> [1] 81:12</p> <p><b>0186</b> [1] 81:9</p> <p><b>0187</b> [1] 81:9</p> <hr/> <p><b>-1-</b></p> <p><b>1</b> [11] 35:5 154:4 175:15 175:19,21 176:3 178:24 198:15 210:15 227:6</p>   | <p><b>15th</b> [1] 163:15</p> <p><b>16</b> [1] 30:12</p> <p><b>16th</b> [3] 163:19,25 176:13</p> <p><b>17</b> [3] 142:17 154:22 155:1</p> <p><b>1778</b> [1] 209:7</p> <p><b>1778-98</b> [1] 209:5</p> <p><b>17th</b> [4] 123:23 131:17 133:16 136:2</p> <p><b>18</b> [3] 3:1 136:2 241:9</p> <p><b>1850</b> [1] 160:19</p> <p><b>1857</b> [1] 123:8</p> <p><b>1859</b> [1] 161:6</p> <p><b>186</b> [1] 237:14</p> <p><b>1862</b> [1] 201:17</p> <p><b>1863</b> [1] 203:12</p> <p><b>1898</b> [1] 216:5</p> <p><b>19</b> [16] 39:12 146:15 148:8 150:25 151:7 153:24 154:24 210:14 291:1,14 293:8,13 309:9 309:11 310:12 314:13</p> <p><b>1978</b> [3] 5:23 7:8,12</p> <p><b>1982</b> [1] 8:8</p> <p><b>1986</b> [2] 8:10 10:19</p> <p><b>1987</b> [1] 10:16</p> <p><b>1988</b> [1] 10:16</p> <p><b>1990</b> [4] 6:8 83:11 154:5 192:20</p> <p><b>1990's</b> [4] 72:22 73:12 74:2,5</p> <p><b>1990s</b> [5] 38:1 93:10 103:22 213:1 223:12</p> <p><b>1994</b> [2] 13:21 155:8</p> <p><b>1995</b> [3] 16:13 22:23 263:1</p> <p><b>1995/96</b> [1] 263:1</p> <p><b>1996</b> [5] 105:1 125:18,21 216:9 225:23</p> <p><b>1997</b> [31] 100:14,16 104:4</p>   | <p><b>2</b> [7] 126:12 155:6 203:13 204:22 214:8 240:18,22</p> <p><b>20</b> [12] 31:1,5 78:10,17 117:13,14 148:16 210:14 211:19 249:22,22 292:24</p> <p><b>2000</b> [6] 73:2,18 226:20 227:6 241:21 243:23</p> <p><b>2003</b> [8] 6:20,20 120:2 239:18 240:19,22 242:8 242:15</p> <p><b>2004</b> [3] 6:24 120:2 262:2</p> <p><b>2005</b> [5] 249:9,11 250:19 252:15 272:3</p> <p><b>2006</b> [5] 245:12 249:9 252:15 272:3 322:14</p> <p><b>2008</b> [6] 1:4 3:1 73:10 252:15 328:5,12</p> <p><b>2010</b> [1] 280:3</p> <p><b>2011</b> [1] 280:3</p> <p><b>20th</b> [4] 104:11 213:20 216:6,11</p> <p><b>21</b> [1] 139:2</p> <p><b>2100</b> [1] 292:23</p> <p><b>22</b> [1] 203:13</p> <p><b>22nd</b> [1] 199:4</p> <p><b>23</b> [2] 140:12 141:9</p> <p><b>2347</b> [1] 205:14</p> <p><b>24</b> [2] 1:4 241:9</p> <p><b>2410</b> [1] 4:24</p> <p><b>2413</b> [1] 163:24</p> <p><b>2416</b> [1] 281:19</p> <p><b>2424</b> [1] 211:17</p> <p><b>2425</b> [1] 4:25</p> <p><b>24th</b> [2] 328:5,12</p> <p><b>25th</b> [1] 198:5</p> <p><b>266</b> [2] 2:3,4</p> <p><b>27</b> [1] 102:4</p> <p><b>274</b> [1] 2:4</p> <p><b>275</b> [1] 2:5</p> | <hr/> <p><b>-4-</b></p> <p><b>4</b> [4] 2:3 147:14,14 245:8</p> <p><b>4,000</b> [2] 11:2,17</p> <p><b>40</b> [1] 250:17</p> <p><b>4000</b> [1] 210:6</p> <p><b>41</b> [3] 234:17 235:1,3</p> <p><b>48</b> [1] 34:21</p> <p><b>4th</b> [1] 239:18</p> <hr/> <p><b>-5-</b></p> <p><b>5</b> [9] 3:3 136:12,16 147:14 193:18 208:15,25 235:5 237:23</p> <p><b>50</b> [5] 150:23 161:21 210:15 237:25 250:18</p> <p><b>5000</b> [1] 210:5</p> <p><b>5500</b> [1] 292:23</p> <p><b>5th</b> [1] 138:10</p> <hr/> <p><b>-6-</b></p> <p><b>6/05/98</b> [1] 208:25</p> <p><b>60</b> [1] 237:25</p> <hr/> <p><b>-7-</b></p> <p><b>7</b> [4] 33:17 138:8 208:12 245:2</p> <p><b>70</b> [4] 191:9 194:2 228:23 252:23</p> <p><b>76</b> [2] 154:2,12</p> <p><b>780</b> [1] 226:2</p> <hr/> <p><b>-8-</b></p> | <hr/> <p><b>-A-</b></p> <p><b>A.D</b> [2] 328:5,12</p> <p><b>abandon</b> [1] 238:13</p> <p><b>Abdelfattah</b> [1] 4:11</p> <p><b>ability</b> [4] 37:21 289:23 299:9 328:9</p> <p><b>able</b> [7] 62:10 91:6 102:17 112:3 268:5 270:7 286:2</p> <p><b>above</b> [6] 8:11,13 205:19 240:3,4 312:8</p> <p><b>absolute</b> [1] 151:6</p> <p><b>absolutely</b> [12] 26:5 31:9 31:17 65:16,20 70:5,5 129:21 145:18 183:8 306:5,5</p> <p><b>abusing</b> [1] 52:16</p> <p><b>academic</b> [7] 10:2 16:23 24:2 40:19,24 41:3 98:23</p> <p><b>accept</b> [4] 141:25 234:25 235:2 244:5</p> <p><b>acceptable</b> [3] 69:20 232:18 234:25</p> <p><b>accepted</b> [10] 11:10 18:4 125:19 146:3 164:14 188:10 198:19 199:6 229:10 247:14</p> <p><b>access</b> [7] 122:25 139:22 280:18,18 284:2,15 286:2</p> <p><b>accessed</b> [1] 284:6</p> <p><b>accommodate</b> [1] 200:24</p> <p><b>accomplish</b> [1] 70:2</p> <p><b>accomplished</b> [2] 220:25 289:25</p> <p><b>according</b> [3] 66:20 134:20 165:14</p> <p><b>accordingly</b> [2] 52:25 149:10</p> <p><b>account</b> [5] 14:1 203:22 250:19 252:22 253:19</p> <p><b>accountability</b> [1] 290:2</p> |

|   |   |   |  |  |
|---|---|---|--|--|
| <p><b>accounted</b> [1] 15:1<br/> <b>accredit</b> [1] 224:25<br/> <b>accreditation</b> [12] 273:10,19,25 274:17,17 274:18 278:2,3 316:9 318:18,20 319:17<br/> <b>accredited</b> [1] 225:4<br/> <b>accrediting</b> [5] 189:13 223:8 224:23 319:4 322:4<br/> <b>accumulate</b> [1] 265:13<br/> <b>accuracy</b> [1] 177:1<br/> <b>accurate</b> [4] 151:20 295:18,20 296:2<br/> <b>accustomed</b> [1] 315:6<br/> <b>achieve</b> [2] 116:19 311:19<br/> <b>achievements</b> [2] 41:3 213:3<br/> <b>acknowledge</b> [1] 67:24<br/> <b>acknowledged</b> [2] 165:3 165:8<br/> <b>acquire</b> [4] 9:15 14:14 97:20 199:12<br/> <b>acquired</b> [1] 9:19<br/> <b>acquires</b> [1] 7:18<br/> <b>acronym</b> [1] 273:4<br/> <b>act</b> [1] 243:4<br/> <b>acted</b> [1] 56:9<br/> <b>acting</b> [1] 227:4<br/> <b>action</b> [4] 1:13 147:6,8 306:17<br/> <b>active</b> [3] 75:22 117:24 200:2<br/> <b>activity</b> [4] 24:1 28:1 31:19 219:25<br/> <b>actual</b> [6] 131:20 153:17 163:24 185:5 295:12 308:10<br/> <b>add</b> [7] 28:14 52:22 248:6 255:8 299:16,16 300:1<br/> <b>added</b> [4] 76:9 193:1 238:2 307:9<br/> <b>adding</b> [3] 192:25 254:2 254:4<br/> <b>addition</b> [1] 201:21<br/> <b>additional</b> [4] 199:7 242:23 302:19 308:3<br/> <b>address</b> [6] 37:15 179:10 186:7 200:24 262:5 282:6<br/> <b>addressed</b> [12] 95:17 104:7 110:6 123:12,21 170:10,18 172:11 186:21 205:16 211:21 239:18<br/> <b>addressing</b> [2] 170:19 188:15<br/> <b>adds</b> [1] 230:13<br/> <b>adequate</b> [10] 35:14 179:6 183:13,24 184:1 184:20,23 199:17 201:8 263:20<br/> <b>adequately</b> [1] 184:25<br/> <b>adjourned</b> [1] 167:9<br/> <b>adjust</b> [1] 95:4<br/> <b>administration</b> [2]</p> | <p>27:17,19<br/> <b>administrative</b> [3] 37:10 46:8 286:20<br/> <b>admission</b> [1] 282:19<br/> <b>admonishing</b> [2] 108:18 108:18<br/> <b>adopt</b> [5] 85:20 156:18 188:11 189:20 266:20<br/> <b>adopted</b> [5] 189:8,8 238:22 247:12 322:3<br/> <b>advance</b> [2] 205:21 214:11<br/> <b>advanced</b> [2] 177:20 283:25<br/> <b>advantage</b> [2] 189:22 225:7<br/> <b>adverse</b> [3] 289:1,1,4<br/> <b>advice</b> [2] 60:16 95:25<br/> <b>advised</b> [2] 90:16 124:14<br/> <b>advisedly</b> [1] 91:11<br/> <b>advises</b> [2] 94:13,14<br/> <b>advising</b> [4] 126:20 177:5 186:18 204:13<br/> <b>affected</b> [2] 241:5 270:19<br/> <b>affiliated</b> [1] 277:13<br/> <b>AFFIRMED</b> [2] 2:2 4:5<br/> <b>afraid</b> [1] 326:18<br/> <b>afternoon</b> [12] 23:6 33:15,22 34:1 228:16 237:8 239:3 266:10 275:5 306:15 312:21 320:1<br/> <b>afterward</b> [1] 113:3<br/> <b>afterwards</b> [2] 29:2 110:7<br/> <b>again</b> [68] 29:21 30:8,14 30:20 31:1,3 38:1 43:3 47:3 50:1 60:2 64:10 66:18,20 79:1,6 80:5 84:6,8 99:23 100:8 103:5 103:6 108:14 113:11 117:23 119:1 126:11 130:9 131:6 134:18,23 137:8 140:25 149:10 150:2 163:6 164:4 167:24 174:1 175:4 180:13 196:21 198:8 200:22 203:25 204:20 205:4 213:18 215:18 219:14 229:14 234:6,7,9,13 240:19 248:7 253:15 255:3 278:17 288:22,22 288:23 301:4 304:8 309:1 318:8<br/> <b>against</b> [2] 141:12 324:11<br/> <b>age</b> [1] 281:8<br/> <b>agencies</b> [2] 225:6 322:4<br/> <b>agency</b> [8] 13:1 223:8 300:15 318:5,10,14,18 318:20<br/> <b>agenda</b> [13] 123:9,25 124:6,6,16 125:2,3 131:18 163:20 170:1 174:24 197:24 204:15<br/> <b>agendas</b> [2] 43:1 63:5<br/> <b>agent</b> [1] 189:13</p> | <p><b>ago</b> [4] 176:19 235:20 250:11 272:21<br/> <b>agree</b> [1] 188:9<br/> <b>agreed</b> [20] 17:6 18:16 65:7 66:19 126:14 128:8 131:8 132:4 136:22 169:16 171:2,4,8,11 172:1,2 199:11,15 204:23 238:12<br/> <b>agreement</b> [3] 150:13 150:24 249:1<br/> <b>ahead</b> [7] 15:5 49:8 51:10 88:6 93:16 155:19 176:8<br/> <b>al</b> [1] 1:9<br/> <b>albeit</b> [1] 283:19<br/> <b>alive</b> [1] 196:23<br/> <b>alleviated</b> [1] 35:11<br/> <b>allow</b> [5] 38:23 51:16 149:1 214:11 323:25<br/> <b>allowed</b> [4] 8:12 105:25 187:8 316:17<br/> <b>almost</b> [7] 60:18 62:11 108:11 126:8 169:16 220:15 279:20<br/> <b>alone</b> [2] 249:24 252:24<br/> <b>along</b> [1] 197:13<br/> <b>altogether</b> [1] 299:25<br/> <b>always</b> [9] 112:4 175:8 180:12 205:9 229:16 278:25,25 289:8 297:10<br/> <b>amended</b> [2] 164:6 198:10<br/> <b>America</b> [8] 9:10 47:22 73:3 98:24 102:12 272:7 272:19 280:1<br/> <b>American</b> [21] 9:12,17 13:13,19 73:22 83:4 154:10 155:7 192:19 224:5,24 225:5,6 268:18 316:8 317:2,3,11,13 321:23 322:2<br/> <b>among</b> [6] 128:6 129:6 141:22 144:22 161:24 216:1<br/> <b>amongst</b> [7] 54:17 93:18 127:20 195:9 201:4 217:4 285:20<br/> <b>amount</b> [4] 38:4 128:9 227:13 266:12<br/> <b>amounted</b> [1] 78:9<br/> <b>analysing</b> [1] 83:8<br/> <b>analysis</b> [7] 148:22 152:17 153:24 276:2 297:25 306:25 307:12<br/> <b>anatomic</b> [16] 6:6 13:7 13:13 17:22 43:10,12 44:18,21,22 45:2 48:17 53:16 98:25 125:10 147:16 245:5<br/> <b>anatomical</b> [7] 106:17 123:10 169:20 213:19 223:14 227:7 281:23<br/> <b>Anderson</b> [1] 130:11<br/> <b>ann</b> [1] 319:4<br/> <b>annoyed</b> [1] 265:15</p> | <p><b>annual</b> [2] 102:6,11<br/> <b>answer</b> [11] 77:25 107:15 179:10 186:7 222:24 246:14 247:8 268:5,25 300:17 308:8<br/> <b>answering</b> [1] 71:17<br/> <b>answers</b> [2] 316:1 318:2<br/> <b>antibodies</b> [32] 50:7 51:12 53:24 54:2 85:24 85:25 88:14 89:4 90:14 91:24 92:10,12 97:22 98:1,7,9,11 110:8 111:25 141:12 201:22,23 206:3 239:24 240:4,12 300:4,5 300:16 301:17 307:22 308:2<br/> <b>antibody</b> [53] 46:19 51:25 52:21 85:5 86:2 88:16 89:3 92:1,3,20 94:12 95:13 98:12,13,16 98:20 99:7,8 104:13 109:12,21 112:21 113:15 200:12,21 201:25 202:6 202:18,18 203:3 210:15 230:12,14,25 231:6 241:1 250:23 254:2 298:22 299:14,16,17,17,21 300:21 301:1,19 303:11 307:4,9,20,22,25<br/> <b>anticipated</b> [3] 214:13 314:15 326:19<br/> <b>anticipating</b> [1] 214:25<br/> <b>antigen</b> [6] 90:6,10,14 97:3 253:9 254:5<br/> <b>antigens</b> [2] 254:3 307:23<br/> <b>anxiety</b> [2] 174:5 311:8<br/> <b>anxious</b> [1] 149:13<br/> <b>anytime</b> [1] 143:19<br/> <b>anyway</b> [3] 73:22 257:14 264:12<br/> <b>anyways</b> [1] 102:20<br/> <b>apologies</b> [1] 131:22<br/> <b>apologize</b> [7] 28:16 175:13,19 208:10 237:16 237:16 247:25<br/> <b>apparatus</b> [1] 328:10<br/> <b>apparent</b> [4] 247:6 256:14,15 257:3<br/> <b>Appearances</b> [1] 1:5<br/> <b>appeared</b> [1] 201:7<br/> <b>applicable</b> [4] 223:6 224:8,11 225:10<br/> <b>applicants</b> [3] 11:2,15 11:17<br/> <b>applied</b> [2] 11:1 12:15<br/> <b>applies</b> [2] 267:1 279:11<br/> <b>apply</b> [5] 17:6 224:22 276:12 316:19 317:16<br/> <b>appointed</b> [1] 6:13<br/> <b>appointment</b> [1] 17:10<br/> <b>appreciate</b> [13] 32:17 105:7 110:25 117:2 121:14 141:20 144:20 169:8 188:18 246:3 249:19 254:10 326:20</p> | <p><b>appreciated</b> [1] 205:23<br/> <b>appreciation</b> [1] 164:4<br/> <b>approach</b> [10] 50:3 99:18 105:23 109:15 152:12 186:12 194:5,17 232:11 238:22<br/> <b>approached</b> [1] 18:14<br/> <b>approaches</b> [1] 67:25<br/> <b>appropriate</b> [3] 80:13 229:5 326:5<br/> <b>approval</b> [4] 285:4 300:13,14 301:6<br/> <b>approve</b> [2] 202:13 285:1<br/> <b>approved</b> [10] 125:5 300:8,9,10,11,11,18,20 300:24,25<br/> <b>approves</b> [1] 300:15<br/> <b>April</b> [18] 6:16 16:1,4,12 16:15 17:19 116:13 199:4 203:13 213:19 214:4 216:6,7,11 225:13 228:2 239:18 253:13<br/> <b>area</b> [10] 9:22 11:5 57:8 57:9 63:25 101:25 138:21 149:18 305:9 322:16<br/> <b>areas</b> [7] 24:10 27:7,11 267:16 275:23,24 323:14<br/> <b>argue</b> [2] 120:13 300:12<br/> <b>argument</b> [1] 33:23<br/> <b>arise</b> [1] 113:11<br/> <b>arising</b> [5] 124:1 175:1 198:21 199:7 325:1<br/> <b>arm</b> [1] 24:1<br/> <b>Armed</b> [5] 6:2 10:16 11:7,23 12:1<br/> <b>arose</b> [1] 127:23<br/> <b>arrange</b> [1] 140:21<br/> <b>arrival</b> [1] 172:24<br/> <b>arrive</b> [2] 16:12 64:10<br/> <b>arrived</b> [29] 16:8 18:7 18:21 19:5,17 22:22 23:1 25:11 28:20 31:11 33:5 34:22 39:15 45:13 50:3 50:12 53:12 54:15 59:15 59:23 63:1 81:23 82:1,4 105:3 124:7 172:23,24 259:2<br/> <b>arrives</b> [1] 134:17<br/> <b>art</b> [2] 14:20 317:7<br/> <b>article</b> [2] 248:10 312:4<br/> <b>ascending</b> [1] 292:22<br/> <b>aside</b> [1] 65:22<br/> <b>asks</b> [1] 211:21<br/> <b>aspect</b> [7] 49:25 59:13 68:23 76:25 90:7 102:23 112:7<br/> <b>aspects</b> [6] 37:11 43:13 55:23 63:2 103:24 109:10<br/> <b>assay</b> [44] 82:8,8 84:7 85:15,17 86:10,11,15,23 89:14 111:25 118:15,19 118:20,25 127:15 146:25 147:2 153:1 158:11,24 158:25 160:15,25 161:8</p> |
|---|---|---|--|--|

|  |   |  |  |   |
|--|---|--|--|---|
| <p>171:4 173:8 175:14<br/>192:18 193:9 196:11,23<br/>197:1 294:24 295:21,22<br/>296:9,20,24 297:10<br/>304:17 309:2 310:7 313:4<br/><b>assays</b> [6] 146:17 149:7<br/>149:9 187:15 197:18<br/>198:18<br/><b>assembly</b> [1] 255:18<br/><b>asserted</b> [1] 129:11<br/><b>assess</b> [1] 102:18<br/><b>assessing</b> [1] 166:13<br/><b>assessment</b> [11] 116:17<br/>121:9 163:22 167:2,14<br/>168:2 186:22 190:6<br/>193:15 220:9 229:2<br/><b>assessments</b> [1] 141:14<br/><b>assigned</b> [1] 57:16<br/><b>assist</b> [1] 326:21<br/><b>assistant</b> [4] 6:5,13<br/>16:21 40:5<br/><b>assistants</b> [2] 44:11<br/>255:4<br/><b>associate</b> [4] 6:17 17:9<br/>40:6,8<br/><b>Association</b> [1] 1:14<br/><b>assume</b> [3] 101:22<br/>253:23 292:14<br/><b>assumed</b> [1] 44:25<br/><b>assumes</b> [1] 82:12<br/><b>assurance</b> [31] 7:1 32:6<br/>60:8 64:14 65:3 66:8<br/>69:19 70:13 71:7,9 76:10<br/>220:14,19 221:22,23<br/>246:4 261:20 262:7<br/>265:16,17 275:10,13<br/>277:22 278:22,24 279:16<br/>280:9,17 316:2,8 318:16<br/><b>assure</b> [2] 156:3 290:3<br/><b>assured</b> [1] 289:24<br/><b>atmosphere</b> [1] 42:14<br/><b>attached</b> [4] 188:5,11<br/>189:20 291:1<br/><b>attachment</b> [1] 117:19<br/><b>attempts</b> [1] 101:1<br/><b>attend</b> [3] 305:10,21<br/>306:3<br/><b>attendance</b> [3] 62:2<br/>204:21 305:3<br/><b>attended</b> [5] 146:9<br/>164:22 217:17,22 304:24<br/><b>attending</b> [2] 282:14<br/>305:13<br/><b>attention</b> [4] 109:4<br/>139:25 241:3 245:18<br/><b>audible</b> [1] 238:6<br/><b>audience</b> [2] 101:16,17<br/><b>audit</b> [17] 146:15 147:10<br/>147:11 148:7,12 150:7<br/>276:17 292:9 295:11<br/>308:25 309:1,11,24<br/>311:19 312:8 313:10<br/>314:7<br/><b>audits</b> [7] 176:23 177:3<br/>221:15 276:16,18 292:7</p> | <p>309:13<br/><b>August</b> [3] 6:23 139:2<br/>159:14<br/><b>Authorities</b> [1] 1:17<br/><b>authority</b> [2] 1:11<br/>189:11<br/><b>authorize</b> [2] 64:22,22<br/><b>authorized</b> [1] 63:18<br/><b>authors</b> [1] 251:13<br/><b>auto</b> [1] 93:5<br/><b>autopsies</b> [1] 23:14<br/><b>autopsy</b> [2] 23:13 44:12<br/><b>autostainer</b> [3] 308:7<br/>308:10,14<br/><b>available</b> [22] 25:8 51:12<br/>53:10 54:3 85:25 91:25<br/>92:1 108:15 142:4 177:4<br/>179:9 186:6 192:14 223:1<br/>242:24 243:24 244:18,19<br/>271:12 277:12 296:15<br/>321:25<br/><b>average</b> [1] 305:3<br/><b>avoiding</b> [1] 215:24<br/><b>award</b> [7] 213:9,12,14<br/>245:11 322:14,16,19<br/><b>awarded</b> [1] 5:25<br/><b>Awards</b> [1] 245:8<br/><b>aware</b> [25] 40:2 81:16,17<br/>189:11 212:15,19 222:8<br/>222:9,12,12 223:4,21<br/>224:2,6 249:8,11,12<br/>270:25 272:5 294:23<br/>301:3 305:9,12,20 326:25<br/><b>awareness</b> [1] 156:5<br/><b>away</b> [6] 83:5 197:18<br/>214:1,19 268:4 278:6<br/><b>awhile</b> [1] 253:14</p> <hr/> <p style="text-align: center;"><b>-B-</b></p> <hr/> <p><b>b</b> [8] 67:12,14,15 83:13<br/>83:20 86:13 217:11<br/>251:10<br/><b>background</b> [6] 5:20<br/>37:12 60:2 104:1 261:15<br/>316:25<br/><b>bad</b> [3] 34:21 117:1<br/>121:13<br/><b>ball</b> [1] 120:8<br/><b>Baltimore</b> [2] 6:6 12:14<br/><b>Barrington</b> [1] 126:18<br/><b>based</b> [8] 85:19 149:7<br/>193:15 256:12 257:11<br/>279:12 313:6 314:15<br/><b>basing</b> [1] 247:3<br/><b>basis</b> [8] 128:23 133:23<br/>144:9 249:24 277:4<br/>309:15,18 315:2<br/><b>batch</b> [1] 181:1<br/><b>became</b> [20] 6:11,15<br/>10:20 13:6 26:10,19 27:2<br/>27:11 31:13 34:25 55:13<br/>56:11 60:20 66:17 235:8<br/>246:24 247:5 255:17<br/>262:3 268:3</p> | <p><b>become</b> [3] 119:12 143:7<br/>227:5<br/><b>becomes</b> [2] 184:8<br/>235:11<br/><b>beforehand</b> [1] 319:5<br/><b>began</b> [2] 73:18 74:7<br/><b>begin</b> [2] 80:20 110:23<br/><b>beginning</b> [6] 18:12<br/>68:25 69:1 225:24 306:19<br/>316:4<br/><b>begins</b> [1] 131:12<br/><b>behalf</b> [2] 17:7 306:16<br/><b>behave</b> [1] 151:15<br/><b>behind</b> [2] 49:23 85:15<br/><b>belief</b> [2] 274:4 288:7<br/><b>belong</b> [2] 25:1 34:4<br/><b>below</b> [2] 39:7 215:13<br/><b>bench</b> [3] 24:20 57:11<br/>255:9<br/><b>benchmarks</b> [1] 70:9<br/><b>benefit</b> [5] 119:17 150:6<br/>279:18 298:17,24<br/><b>benefits</b> [1] 273:24<br/><b>benign</b> [3] 83:7 114:14<br/>114:20<br/><b>Bernard</b> [5] 1:6 2:3,8<br/>4:5 325:2<br/><b>best</b> [11] 98:22 108:6<br/>114:23 120:19 141:25<br/>164:21 217:25 256:5<br/>258:2 272:19 328:9<br/><b>bet</b> [2] 196:24 311:24<br/><b>better</b> [9] 51:16 71:9 80:1<br/>101:10 110:16 241:23<br/>249:4 274:15 321:2<br/><b>between</b> [28] 6:8 8:21<br/>9:8 10:15 27:19 39:10<br/>46:8 48:21 76:11 78:10<br/>80:3 91:24 106:15 114:21<br/>127:15 174:11 184:12<br/>194:21 210:3 249:10<br/>252:23 254:17 262:4<br/>275:14 283:6 310:14,18<br/>311:17<br/><b>beyond</b> [4] 37:20 49:21<br/>102:8 270:6<br/><b>bias</b> [1] 295:7<br/><b>Bibi</b> [1] 211:20<br/><b>big</b> [3] 40:9 50:21 85:9<br/><b>bigger</b> [4] 30:4 157:15<br/>200:16 244:9<br/><b>bill</b> [1] 264:19<br/><b>billed</b> [1] 79:2<br/><b>bio</b> [3] 116:20,23 171:3<br/><b>biochem</b> [1] 116:16<br/><b>biochemical</b> [63] 82:8,8<br/>84:7 85:15,17 86:10,11<br/>86:15,23 89:13 97:2<br/>111:24 117:4,12,14<br/>118:15,18,25 120:24<br/>121:9 122:9,13,17,23<br/>127:15 146:17,25 148:15<br/>149:7,8 152:4,12 153:1<br/>158:11,24,24 160:10,15<br/>160:25 173:8 175:14</p> | <p>176:24 186:22 187:15<br/>192:18 193:9 196:10,23<br/>197:1,18 198:17 271:19<br/>294:24 295:21,22 296:9<br/>296:20,24 297:10 304:17<br/>309:2 310:7 313:4<br/><b>biochemist</b> [3] 84:19<br/>173:17 176:2<br/><b>biochemist's</b> [1] 175:9<br/><b>biochemistry</b> [21] 82:21<br/>84:11 87:15 94:22,24<br/>95:2 96:23 117:12,17<br/>147:18 149:24 152:16,21<br/>186:20 187:5 195:5<br/>226:24 280:6 307:2,13<br/>312:1<br/><b>biopsies</b> [3] 35:2,6<br/>241:13<br/><b>biopsy</b> [3] 34:14,16 48:5<br/><b>bit</b> [25] 25:25 26:10 27:13<br/>32:6 35:21 37:1 40:12<br/>43:3,6 47:14 48:9 69:11<br/>120:25 149:2 161:5<br/>169:13 187:2,4,5 221:5<br/>289:19 304:6,8,9 308:9<br/><b>Blair</b> [1] 1:16<br/><b>blame</b> [8] 72:12 73:6<br/>287:20,20 288:1,1 289:17<br/>289:18<br/><b>blaming</b> [1] 289:17<br/><b>blind</b> [1] 295:6<br/><b>Blindness</b> [1] 13:2<br/><b>block</b> [28] 36:24 46:20<br/>50:24 51:14,24 88:15<br/>114:22,23 115:11 133:20<br/>172:18,18 178:11 184:5<br/>205:19,21 206:7 211:23<br/>211:24 234:6 236:1 252:2<br/>252:11,14,20 253:20,21<br/>257:19<br/><b>blocks</b> [7] 36:24 50:8<br/>114:20 163:23 249:9<br/>272:18,21<br/><b>blown</b> [3] 277:22 291:8<br/>297:25<br/><b>Blue</b> [2] 80:22,24<br/><b>board</b> [7] 9:17,17 13:19<br/>15:13 84:11,12 285:1<br/><b>boat</b> [1] 60:18<br/><b>bodies</b> [1] 326:5<br/><b>body</b> [4] 278:14 319:4<br/>325:25 326:4<br/><b>boil</b> [1] 91:12<br/><b>boiling</b> [3] 90:22,23<br/>91:10<br/><b>book</b> [3] 12:8 243:24,25<br/><b>booklets</b> [1] 247:23<br/><b>books</b> [2] 51:21 206:4<br/><b>born</b> [2] 19:11,13<br/><b>Boston</b> [1] 244:11<br/><b>bottom</b> [6] 194:19<br/>206:14 209:12 229:1<br/>314:7,25<br/><b>bought</b> [1] 311:25<br/><b>bound</b> [1] 115:14</p> | <p><b>box</b> [2] 300:1,1<br/><b>brakes</b> [1] 150:2<br/><b>Brazil</b> [1] 1:8<br/><b>bread</b> [1] 25:16<br/><b>break</b> [12] 80:13 158:1<br/>163:7 228:16 237:9,12<br/>239:1,3 264:22 265:4,4<br/>265:5<br/><b>breakdown</b> [1] 109:18<br/><b>breast</b> [61] 1:12 6:1<br/>11:12 14:16 25:14 75:1<br/>82:4 87:18,19 100:10<br/>101:24 102:19,20 103:15<br/>103:17 111:4,10,16 116:8<br/>116:10 117:24,25 119:3<br/>119:5,13,18 120:5,11<br/>122:2 127:16,18,22 129:8<br/>146:15 169:24 170:25<br/>171:3,5 203:21 204:22<br/>204:24 205:13 232:1<br/>233:14,16,17 241:14<br/>242:16 243:2 247:16<br/>257:10 264:2 267:8 268:1<br/>268:4,13 269:2 278:7<br/>281:8 285:17 306:16<br/><b>brief</b> [1] 323:24<br/><b>bring</b> [12] 24:8 46:22<br/>58:22 61:1 80:5 96:2<br/>147:11 149:1 200:4<br/>203:12 241:2 281:18<br/><b>bringing</b> [1] 201:25<br/><b>brings</b> [2] 67:10 182:8<br/><b>broad</b> [2] 5:18 14:19<br/><b>broader</b> [1] 26:3<br/><b>broken</b> [1] 181:2<br/><b>Brook</b> [4] 104:25 134:14<br/>172:15 173:22<br/><b>brought</b> [8] 84:10 109:3<br/>128:5 172:7 202:19<br/>306:21 308:10,14<br/><b>brown</b> [3] 178:22 270:3<br/>270:3<br/><b>Browne</b> [28] 2:7 312:18<br/>312:19,20 313:13,17,24<br/>314:4,23 315:19,24<br/>316:13 317:20 318:1,9<br/>318:15,19 319:11,19<br/>320:6,12,16 321:19<br/>322:12,21 323:13,18<br/>324:23<br/><b>Browne/Jane</b> [1] 1:9<br/><b>buckets</b> [2] 255:6,15<br/><b>buffered</b> [2] 241:8,9<br/><b>build</b> [3] 124:24 220:19<br/>278:23<br/><b>built</b> [1] 76:11<br/><b>bullet</b> [6] 59:1 100:9<br/>102:5 213:4 245:4 268:23<br/><b>bullets</b> [1] 167:15<br/><b>bump</b> [1] 135:7<br/><b>bumped</b> [1] 113:7<br/><b>bunch</b> [1] 182:8<br/><b>burden</b> [1] 85:9<br/><b>business</b> [10] 124:1<br/>127:5,7 131:6 146:13<br/>158:6 175:1 198:20 199:7</p> |
|--|---|--|--|---|

|   |   |   |   |  |
|---|---|---|---|--|
| <p>244:3<br/> <b>busy</b> [5] 33:24 105:22<br/>         107:17 108:1 115:1<br/> <b>Butler</b> [3] 58:3 206:22<br/>         208:3<br/> <b>button</b> [2] 70:20,21<br/> <b>buy</b> [2] 99:8 200:11<br/> <b>by-passing</b> [1] 200:13</p> <hr/> <p style="text-align: center;"><b>-C-</b></p> <hr/> <p><b>c</b> [9] 81:8 83:13,20 86:13<br/>         124:1 126:13 147:20<br/>         237:14 251:10<br/> <b>C-0185</b> [4] 3:4 81:9,13<br/>         228:16<br/> <b>C-0186</b> [1] 237:16<br/> <b>C-0187</b> [2] 3:4 81:13<br/> <b>Cadillac</b> [1] 279:21<br/> <b>Cairo</b> [2] 5:23 7:8<br/> <b>cal</b> [2] 200:8,10<br/> <b>calls</b> [3] 24:14 35:12<br/>         218:3<br/> <b>camaraderie</b> [1] 174:10<br/> <b>Cameron</b> [2] 1:3 328:6<br/> <b>camp</b> [1] 130:12<br/> <b>Canada</b> [8] 9:18 14:1,5<br/>         225:2 248:10 272:7 277:9<br/>         326:1<br/> <b>Canadian</b> [12] 1:15<br/>         147:4 161:10 223:20,23<br/>         245:10 248:11,14 264:3<br/>         275:6 300:15 324:11<br/> <b>cancer</b> [100] 1:12,15 6:22<br/>         11:13 67:13,15 71:14<br/>         75:8,9,10,11,18,21 76:4<br/>         76:12,19 79:9 82:4 97:25<br/>         100:11,12 101:13,14<br/>         102:20,21 103:15,18<br/>         111:5,11,16 114:16,18<br/>         114:23 115:2,6 117:25<br/>         119:4,6,14,15,18,20<br/>         120:6,11,12,16 122:3<br/>         146:15,24 147:7 156:16<br/>         156:17 158:10,20 161:12<br/>         162:1 204:22,25 205:13<br/>         242:16 243:2 245:9,10<br/>         245:13,23 248:2,4 257:10<br/>         262:4,7 264:2,13,19,20<br/>         267:5,19 268:8,16 275:7<br/>         279:14,17,22 280:4,23<br/>         281:8,9,21 282:3 284:4<br/>         284:17 285:4,5,23 287:8<br/>         306:17 320:2 322:15<br/>         323:8,12 324:11<br/> <b>cancers</b> [2] 285:17,17<br/> <b>candidate</b> [2] 11:5 18:3<br/> <b>cannot</b> [4] 23:18 285:3<br/>         289:15 292:8<br/> <b>canvas</b> [1] 319:22<br/> <b>canvassed</b> [1] 173:23<br/> <b>canvassing</b> [1] 67:18<br/> <b>capabilities</b> [1] 316:23<br/> <b>capacity</b> [1] 244:23<br/> <b>capture</b> [1] 316:9<br/> <b>carcinoma</b> [4] 141:11</p> | <p>233:5,6 243:10<br/> <b>carcinomas</b> [2] 146:23<br/>         164:13<br/> <b>care</b> [30] 19:10,18 71:14<br/>         77:2 98:23 101:25 123:10<br/>         126:23 146:20 158:8<br/>         164:10 172:4 204:3<br/>         211:18 215:11 264:14<br/>         267:5,19 268:8,16 271:23<br/>         279:9 280:11,23 281:6<br/>         281:15 285:4 290:4,11<br/>         324:21<br/> <b>carried</b> [3] 63:3 215:8<br/>         265:1<br/> <b>carries</b> [1] 300:21<br/> <b>carry</b> [3] 120:6 243:7<br/>         326:7<br/> <b>carrying</b> [1] 316:5<br/> <b>case</b> [68] 24:14 34:21<br/>         47:20 50:23 51:14 60:9<br/>         60:11,24 63:16 64:3,9<br/>         64:12,21,23 65:3,4 66:11<br/>         66:15,19,23 67:2,4,10<br/>         76:21 86:22 94:24 104:25<br/>         113:22,25 114:12 115:5<br/>         116:21 118:13,15 123:5<br/>         134:8,15 135:8 139:23<br/>         142:8 144:10 152:14,19<br/>         178:21 184:5,7,10 185:5<br/>         185:5,15,19 190:23 193:7<br/>         193:16 195:5,14 197:12<br/>         203:16 204:25 206:14<br/>         209:2,3 219:18 250:15<br/>         257:11 268:25 276:21<br/>         295:13<br/> <b>case-by-base</b> [1] 309:18<br/> <b>case-by-case</b> [1] 128:23<br/> <b>cases</b> [142] 11:13 15:12<br/>         23:9 24:8,9 25:1 34:22<br/>         35:1,24,25 36:1,2,9,10<br/>         52:6 61:1,7,12,14 62:7<br/>         62:12 63:21,22 64:2,24<br/>         66:3,4 70:8 74:9 75:24<br/>         76:1,1 79:22 86:18,18<br/>         87:18,21,25 95:3 104:24<br/>         116:15,24 121:11 123:1<br/>         123:3 128:22 129:14<br/>         132:3,4,13,19,23 135:1<br/>         135:3 136:9,14 137:1<br/>         139:11,14 141:11,14<br/>         142:9 145:4 146:16 148:8<br/>         148:20 149:14,21,22<br/>         150:13,23 151:4,7,22,23<br/>         153:24 154:22,25 155:1<br/>         167:4 168:23 171:21<br/>         173:24 175:22 177:17<br/>         178:1,3,10,16 179:19<br/>         180:3 185:4,5,10,21<br/>         186:10,13 187:11 192:2<br/>         204:22 210:4,8 219:5,23<br/>         226:2 234:17 235:1,3,5<br/>         235:9 250:10,13 255:20<br/>         255:21,23 256:1 260:1<br/>         264:25 267:14 268:23<br/>         269:6,8 270:15 291:2,12<br/>         291:14,19 292:3,9,15,24<br/>         292:24,25 295:13 296:2<br/>         304:19 309:8 310:2,12<br/>         311:3,4,6<br/> <b>cases</b> [1] 154:1</p> | <p><b>cast</b> [1] 176:7<br/> <b>catch</b> [1] 262:24<br/> <b>categories</b> [2] 82:22<br/>         112:5<br/> <b>caused</b> [1] 262:18<br/> <b>CCO</b> [3] 268:16 281:4<br/>         284:9<br/> <b>cell</b> [1] 270:11<br/> <b>cells</b> [25] 82:19 83:7<br/>         118:14,24 119:3,11 150:1<br/>         155:3 161:21 168:22<br/>         178:23 184:6 190:17<br/>         191:4 192:12,17 194:3,5<br/>         194:13,25 203:18 228:24<br/>         228:25 237:24 238:1<br/> <b>center</b> [12] 59:12 75:11<br/>         75:18,22 76:4,13 77:2<br/>         79:9 134:17 205:16 210:3<br/>         248:2<br/> <b>centers</b> [3] 75:8 147:4<br/>         248:16<br/> <b>central</b> [7] 1:16 205:15<br/>         209:3 210:9 279:22 280:7<br/>         281:14<br/> <b>centralized</b> [2] 267:16<br/>         280:12<br/> <b>centre</b> [31] 6:22,22 17:15<br/>         18:7 21:4,19 101:13,15<br/>         118:1 126:3 128:21 131:3<br/>         155:22 156:16,17 158:20<br/>         165:21 166:9,14 178:14<br/>         180:4,6 184:13 221:4<br/>         262:4 264:13,20,21<br/>         267:15 285:5 305:1<br/> <b>centres</b> [7] 98:23 161:10<br/>         173:17,18 189:15 191:19<br/>         311:22<br/> <b>CEO</b> [2] 248:3 264:20<br/> <b>certain</b> [25] 9:13,22,25<br/>         24:10 56:7 61:6 63:2<br/>         70:2 98:6 112:13 130:17<br/>         131:22 225:3 246:16<br/>         253:7 254:24,25 263:21<br/>         266:12 267:9,16,16<br/>         268:22 311:12 318:24<br/> <b>certainly</b> [15] 19:7 26:18<br/>         56:19 59:17 87:17 90:23<br/>         124:12,17 125:1 182:21<br/>         203:24 306:2 310:22<br/>         317:5 326:25<br/> <b>Certificate</b> [2] 2:9 328:1<br/> <b>certification</b> [9] 9:16<br/>         9:19 17:20 301:15 316:21<br/>         317:1,3,12,23<br/> <b>certified</b> [9] 13:18 15:13<br/>         17:21 156:21 297:17<br/>         301:10,10 316:15 317:10<br/> <b>certify</b> [2] 319:10 328:2<br/> <b>cetera</b> [2] 218:8 287:17<br/> <b>chair</b> [2] 40:16 215:15<br/> <b>Chairman</b> [3] 15:24<br/>         17:25 19:7<br/> <b>challenge</b> [1] 110:18<br/> <b>challenges</b> [1] 263:7<br/> <b>chance</b> [2] 96:6 101:9<br/> <b>chances</b> [2] 119:8,9</p> | <p><b>change</b> [13] 17:3 27:1<br/>         34:8,10 40:18 47:14 48:3<br/>         50:14 52:25 95:11 252:24<br/>         303:17 304:7<br/> <b>changed</b> [8] 17:5 26:10<br/>         27:3 29:3 48:2 252:18<br/>         253:16,17<br/> <b>changes</b> [2] 68:16 81:19<br/> <b>changing</b> [5] 50:4 107:7<br/>         249:21 252:21 253:19<br/> <b>characteristics</b> [1]<br/>         246:17<br/> <b>charge</b> [5] 105:9 111:2<br/>         165:19,21 280:16<br/> <b>chart</b> [6] 65:12,18 66:6<br/>         66:13 160:22,23<br/> <b>chasing</b> [1] 108:11<br/> <b>Chaytor</b> [2] 1:7 5:16<br/> <b>cheaper</b> [1] 109:22<br/> <b>cheapest</b> [1] 299:20<br/> <b>check</b> [3] 182:12 274:13<br/>         274:13<br/> <b>checking</b> [1] 51:16<br/> <b>checklist</b> [6] 274:8,12<br/>         319:6 320:3 321:24,25<br/> <b>checklists</b> [1] 247:22<br/> <b>chemicals</b> [1] 86:3<br/> <b>chemistry</b> [4] 43:14<br/>         82:14,16 114:1<br/> <b>cheque</b> [1] 40:10<br/> <b>chief</b> [86] 14:15 18:1,6<br/>         19:14 20:13 21:18,22,23<br/>         22:4,9,15 26:10,20 27:2<br/>         27:11 28:3,5 31:13,20<br/>         32:3,5 34:25 41:10,13<br/>         41:21 42:7 44:5,13 47:7<br/>         47:10,12 48:11,19,20<br/>         54:23,25 55:13,18 56:11<br/>         56:19,24 59:11 68:2,25<br/>         79:3 80:7 106:16 117:22<br/>         121:16 123:22 124:14<br/>         132:10 137:23 138:4,14<br/>         172:7 180:16 181:23<br/>         201:6 202:12 203:7,9<br/>         212:4,11,16,18 215:3,16<br/>         215:18 216:3,8 218:9<br/>         222:7,19 223:13 226:24<br/>         226:25 227:1,4,5,6 240:9<br/>         248:1 254:7 259:12<br/>         281:24<br/> <b>chief's</b> [4] 18:14 55:11<br/>         197:23 199:4<br/> <b>chiefs</b> [11] 21:19 125:10<br/>         126:5 155:16 163:18<br/>         172:4 201:5 202:13 222:6<br/>         222:7 248:12<br/> <b>chiefs'</b> [3] 136:6 145:22<br/>         150:9<br/> <b>chiefs/divisional</b> [1]<br/>         169:19<br/> <b>children</b> [1] 263:17<br/> <b>Children's</b> [1] 30:25<br/> <b>Chittal</b> [3] 139:3 213:20<br/>         215:13<br/> <b>choice</b> [2] 284:11,11<br/> <b>choose</b> [9] 91:23 93:18</p> | <p>93:18 115:11 257:19<br/>         272:19 281:10 321:15<br/>         322:6<br/> <b>chooses</b> [2] 11:6 114:23<br/> <b>chores</b> [2] 215:8 216:8<br/> <b>chore</b> [1] 11:7<br/> <b>chosen</b> [4] 11:18 92:24<br/>         96:13 172:18<br/> <b>circulate</b> [3] 141:22<br/>         144:22 145:1<br/> <b>circulates</b> [1] 180:25<br/> <b>circulating</b> [1] 180:24<br/> <b>circumstance</b> [1]<br/>         303:21<br/> <b>circumstances</b> [2] 135:8<br/>         293:9<br/> <b>citation</b> [1] 155:7<br/> <b>cited</b> [1] 314:25<br/> <b>citizen</b> [1] 264:4<br/> <b>city</b> [9] 6:23 13:12 83:12<br/>         103:5 107:19 255:24<br/>         256:1 282:6 305:14<br/> <b>claim</b> [1] 178:13<br/> <b>Clare's</b> [41] 20:4,20 21:3<br/>         22:2,4 87:7,17 107:21<br/>         117:23 121:17 122:21,24<br/>         125:12 127:21 128:23<br/>         129:7 130:16 131:3 132:1<br/>         132:18 133:3 134:14<br/>         143:20 164:25 165:22,24<br/>         165:24 166:9,22 178:9<br/>         180:18 181:5,6 200:9<br/>         203:25 239:19 282:12<br/>         283:12,18 291:20 311:3<br/> <b>Clareville</b> [3] 212:6<br/>         212:10,19<br/> <b>Clareville's</b> [1] 212:5<br/> <b>clarified</b> [1] 42:1<br/> <b>Class</b> [2] 1:13 306:17<br/> <b>classification</b> [2] 142:10<br/>         142:11<br/> <b>clear</b> [6] 59:24 120:22<br/>         162:6 189:9 190:21<br/>         242:18<br/> <b>clearly</b> [5] 104:21 105:14<br/>         188:13 197:16 220:23<br/> <b>click</b> [2] 70:19,21<br/> <b>clinic</b> [17] 63:22 123:1,4<br/>         128:3 130:2,11 146:24<br/>         147:7 158:10 161:12<br/>         162:2 178:10,11,12 248:4<br/>         291:21 320:2<br/> <b>clinical</b> [26] 19:14 21:23<br/>         27:21,23 30:1 31:5 35:14<br/>         41:24 42:7 46:9 48:18<br/>         48:20 49:12 55:22 69:8<br/>         80:7 105:8 111:1 155:8<br/>         193:21 201:6 222:6,7<br/>         223:13 245:3 323:10<br/> <b>clinically</b> [1] 31:7<br/> <b>clinician</b> [4] 24:13 34:15<br/>         35:8 120:21<br/> <b>clinician's</b> [3] 24:13<br/>         168:25 218:3<br/> <b>clinicians</b> [8] 35:13,19<br/>         48:21 85:19 87:13 151:11</p> |
|---|---|---|---|--|

|   |  |   |   |  |
|---|--|---|---|--|
| <p>310:8 320:21<br/> <b>clone</b> [16] 92:6 93:18<br/>           94:3 96:13 97:7 250:23<br/>           251:15 252:13,13,17,22<br/>           252:24 253:17 298:12<br/>           312:5,6<br/> <b>clones</b> [6] 86:1 93:19<br/>           96:14 252:17 253:6,7<br/> <b>close</b> [5] 44:13 76:5 90:23<br/>           193:4 248:21<br/> <b>closed</b> [1] 29:1<br/> <b>closely</b> [1] 324:14<br/> <b>closer</b> [1] 158:21<br/> <b>closing</b> [3] 20:24 21:5<br/>           107:20<br/> <b>Co-counsel</b> [2] 1:6,7<br/> <b>coast</b> [2] 103:8 130:10<br/> <b>coffee</b> [3] 33:20 43:20<br/>           255:14<br/> <b>Coffey</b> [564] 1:6 2:3,8<br/>           4:2,3,6,17,21 5:4 7:3,19<br/>           7:24 8:4,19 9:2,7 10:1,6<br/>           10:12 11:14,21 12:17<br/>           13:3,11,17,24 14:6,24<br/>           15:4,14,18 16:6,11,16<br/>           16:25 17:13 18:5,11,19<br/>           19:3,16,25 20:7,12,17<br/>           21:6,11,16,25 22:7,12<br/>           22:19 23:21 24:16 25:10<br/>           26:2,12,17,23 27:20 28:2<br/>           28:6,18,23 29:7,13 30:5<br/>           30:13,17 31:2,6,10,18<br/>           32:2,8,12,16,20 33:2,10<br/>           34:7 36:5,12,18 37:4,9<br/>           37:18,24 38:10,14 39:2<br/>           39:6 41:6,19 42:22 43:4<br/>           43:11,17,23 44:4,20 45:1<br/>           45:6,12,21 46:1,6,14<br/>           47:6 48:10 49:3,7,11,15<br/>           49:20,24 50:11 52:5,24<br/>           53:8,21 54:4,14,24 55:4<br/>           55:8,15,21 56:10,18,23<br/>           57:14,22 58:2,6,10,14<br/>           58:20 59:9 61:20 62:9<br/>           62:19,23 64:5 65:9,17<br/>           65:21 66:1 67:17 68:6<br/>           68:10,21 69:14,23 70:14<br/>           71:19 72:10,15,20 73:7<br/>           73:9,16,21,25 74:12<br/>           76:14,24 77:5,12,16 78:3<br/>           78:8,15,21 80:6,11,16<br/>           80:20 81:5,14 84:16,22<br/>           85:1 87:10 88:1,5 89:16<br/>           89:23 90:2,11,15,21 91:1<br/>           91:7,16,21 92:14,22 93:4<br/>           93:8,14,25 94:7,16 95:7<br/>           95:16,20 96:11,18,22<br/>           97:1,6,11 98:14 99:10<br/>           99:17 100:5 101:12 102:1<br/>           103:9,13,19 104:2 106:11<br/>           106:22 107:1,11 108:16<br/>           108:22 109:2,8,24 110:4<br/>           110:22 111:8,17 113:1,9<br/>           113:17 114:3,7 115:15<br/>           115:24 116:5,11 118:8<br/>           121:4,20,25 122:6,15,20<br/>           123:6,19 124:11,20,25<br/>           126:10 127:3,12 128:24<br/>           129:5,17,22 131:4,15<br/>           132:17,22 133:14 135:10</p> | <p>135:17,20,25 137:4,10<br/>           137:15,22 138:13,19,25<br/>           139:9 140:6,10,15,18,22<br/>           141:1,5 142:22 143:1,6<br/>           143:12,18,24 144:14,18<br/>           145:5,10,20 146:8,12<br/>           148:4,11 149:3 150:11<br/>           150:17,21 151:3,24 152:3<br/>           152:8,23 153:6,13 154:11<br/>           154:16 155:11,18,23<br/>           156:6 157:6,11,17 158:1<br/>           158:2,16,22 159:5,12,20<br/>           159:24 160:3,8,17 161:3<br/>           162:15,19,23 163:3,9,10<br/>           164:20 165:18,23 166:10<br/>           166:16,20,25 167:20<br/>           168:14 169:3,12,17 170:4<br/>           170:15,24 171:17,24<br/>           172:9,22 173:6,11,16<br/>           174:17,22 175:12,18<br/>           176:6,11 177:9,14 178:18<br/>           179:22 181:21 182:3,15<br/>           182:20 183:11,22 184:15<br/>           184:24 185:16,23 186:2<br/>           186:17 187:7,14,19,25<br/>           188:4,23 189:18 190:3<br/>           190:11 191:1,15,21 192:1<br/>           192:7,23 193:24 194:12<br/>           194:16 195:2,7,15,19,24<br/>           196:3,8,14 197:4,10,19<br/>           201:1,11,15 202:10,17<br/>           203:1,6,10 204:4,12<br/>           205:7,12 206:11,17,23<br/>           207:3,7,12,18,22 208:2<br/>           208:7,20 209:11,15,19<br/>           209:25 210:10,24 211:5<br/>           211:10,15 212:3,9,14,23<br/>           213:16 214:7 215:1,21<br/>           216:14,19 217:1,8,16,21<br/>           218:1,14,19,24 219:3<br/>           220:3,11 222:4,16,25<br/>           223:11,19,24 224:4,13<br/>           225:11,21 226:9,17<br/>           227:18,24 228:7,14<br/>           229:19 230:4,16 231:8<br/>           231:14,24 233:23 234:5<br/>           234:10 235:15 236:8,15<br/>           236:19 237:8,10,15 238:7<br/>           238:14,20,25 239:6,7,16<br/>           240:17 242:19 243:16<br/>           244:15,25 245:17,22<br/>           246:2,8 248:19 249:6,18<br/>           250:3 251:2 252:1,6,10<br/>           253:3,11,24 254:6,14<br/>           256:6,10,19,23 257:2,7<br/>           257:20 258:3,12,17<br/>           259:11,19 260:3,11,15<br/>           260:19,24 261:9,18,23<br/>           262:8,16 263:4,10 264:7<br/>           265:6,20 306:22 319:20<br/>           325:1,2,3,12,23 326:6<br/>           326:12<br/> <b>Coffey's</b> [1] 318:3<br/> <b>coin</b> [1] 119:10<br/> <b>collaborative</b> [1] 279:25<br/> <b>Collating</b> [1] 219:22<br/> <b>colleague</b> [2] 67:10<br/>           244:23<br/> <b>colleagues</b> [21] 24:5,8<br/>           24:10 40:21 41:9,11 51:9<br/>           174:3,7 188:9 189:6</p> | <p>247:14 248:8 272:16<br/>           288:19,22 289:8 305:24<br/>           310:23 311:2 315:20<br/> <b>collect</b> [4] 52:10 70:24<br/>           276:18 277:4<br/> <b>collected</b> [3] 149:21,21<br/>           280:12<br/> <b>collecting</b> [2] 70:23<br/>           133:8<br/> <b>collection</b> [5] 114:19<br/>           118:6 141:22 144:22<br/>           145:18<br/> <b>collective</b> [2] 61:18 80:2<br/> <b>College</b> [13] 9:18 17:21<br/>           17:22 224:24 225:4<br/>           268:17 316:7 317:1,3,10<br/>           317:12 321:23 322:1<br/> <b>collegial</b> [4] 42:14,20,25<br/>           69:12<br/> <b>collegiality</b> [2] 174:11<br/>           215:23<br/> <b>colon</b> [7] 34:14,15,19<br/>           247:16 281:8 323:8,12<br/> <b>colour</b> [1] 270:3<br/> <b>colouring</b> [1] 110:11<br/> <b>column</b> [1] 100:24<br/> <b>coma</b> [1] 264:5<br/> <b>combination</b> [4] 104:13<br/>           104:15 109:25 110:10<br/> <b>combining</b> [1] 215:15<br/> <b>comfort</b> [3] 230:14 237:2<br/>           310:19<br/> <b>comfortable</b> [20] 85:18<br/>           89:12 130:22 133:12<br/>           156:25 157:1,5 180:18<br/>           181:15,17 187:23 236:16<br/>           236:25 258:25 290:14<br/>           295:24 302:15 310:9<br/>           311:7 312:9<br/> <b>coming</b> [16] 29:17 34:17<br/>           35:13 76:1 79:1 81:9<br/>           90:23 108:5 115:6 159:21<br/>           183:1 187:16,16 211:6<br/>           255:23 263:1<br/> <b>comment</b> [15] 168:23<br/>           169:9 192:9,13,25 193:1<br/>           194:18,19 196:5,9 197:3<br/>           215:23 238:2,4 239:11<br/> <b>comments</b> [3] 153:19<br/>           154:18 273:24<br/> <b>Commission</b> [8] 1:1,6<br/>           1:7 4:9 10:24 323:22<br/>           328:4,7<br/> <b>Commissioner</b> [79] 1:3<br/>           4:1,22 5:1,5,7 7:9 16:7<br/>           22:14,21,24 26:24 29:15<br/>           33:3 38:2,15 41:8 50:1<br/>           58:21 59:10,19 67:21<br/>           74:1,16 80:12,19 81:6,6<br/>           81:11,17,24 107:2 126:11<br/>           140:24 148:24 157:25<br/>           158:25 161:5 163:4,5,8<br/>           163:11 164:4 176:17<br/>           208:12 228:18 237:7,11<br/>           237:13 239:1,2,5,8 242:2<br/>           262:21 265:21,23 266:1<br/>           266:6,10 274:22,25 275:1</p> | <p>306:11 312:13,17 314:8<br/>           314:18,24 315:1,13,17<br/>           324:1,24,25 326:13,17<br/>           327:4 328:7<br/> <b>committed</b> [1] 221:17<br/> <b>committee</b> [9] 127:7,8<br/>           127:14 198:22 199:10<br/>           201:20 204:23 284:25<br/>           316:9<br/> <b>common</b> [4] 91:17 137:8<br/>           247:15,16<br/> <b>commonsense</b> [1] 63:9<br/> <b>communicate</b> [3] 24:5<br/>           120:21 290:19<br/> <b>communicated</b> [1]<br/>           162:1<br/> <b>communicating</b> [2]<br/>           105:20 132:11<br/> <b>communication</b> [8]<br/>           35:18 59:25 60:1 108:2<br/>           109:17 174:2 249:5 262:6<br/> <b>communications</b> [1]<br/>           60:22<br/> <b>community</b> [8] 76:8,20<br/>           247:6 263:18 279:12<br/>           288:5 290:15 324:9<br/> <b>companies</b> [2] 86:1<br/>           92:20<br/> <b>comparable</b> [6] 85:13<br/>           157:23 199:19 308:1<br/>           309:4,6<br/> <b>compare</b> [7] 35:25 38:5<br/>           70:10,11 112:19 300:3<br/>           309:1<br/> <b>compared</b> [5] 38:3 69:2<br/>           90:7 123:4 299:10<br/> <b>comparing</b> [4] 96:19<br/>           152:25 300:4 310:7<br/> <b>comparison</b> [2] 106:8<br/>           310:14<br/> <b>compassionate</b> [1]<br/>           135:8<br/> <b>compensated</b> [5] 78:1<br/>           78:23 79:6,7,16<br/> <b>compensation</b> [2]<br/>           263:20 265:1<br/> <b>competent</b> [1] 259:9<br/> <b>competition</b> [2] 11:4<br/>           12:15<br/> <b>competitive</b> [1] 10:25<br/> <b>complain</b> [1] 174:18<br/> <b>complaining</b> [3] 106:23<br/>           136:10,25<br/> <b>complaint</b> [2] 116:6<br/>           144:12<br/> <b>complementary</b> [1]<br/>           151:13<br/> <b>complete</b> [3] 4:8,11<br/>           219:18<br/> <b>completed</b> [4] 136:11<br/>           228:19 298:6 318:12<br/> <b>completely</b> [1] 89:15<br/> <b>completion</b> [1] 136:15<br/> <b>complexity</b> [2] 35:24<br/>           36:10</p> | <p><b>complicated</b> [2] 11:12<br/>           246:24<br/> <b>component</b> [5] 190:14<br/>           191:3 192:9 319:13,15<br/> <b>components</b> [4] 66:9,10<br/>           168:4 190:13<br/> <b>comprehensive</b> [3]<br/>           185:13 243:9 322:2<br/> <b>computer</b> [10] 51:10<br/>           71:1,2,4 115:9 208:23<br/>           220:17 221:10 247:19<br/>           286:18<br/> <b>computers</b> [2] 191:19<br/>           191:20<br/> <b>concentrated</b> [1] 96:9<br/> <b>concentration</b> [8] 86:7<br/>           94:20 95:1,5 96:7 232:20<br/>           250:24 251:14<br/> <b>concentrations</b> [2] 96:6<br/>           202:24<br/> <b>concept</b> [3] 57:8 230:9<br/>           231:7<br/> <b>concern</b> [10] 38:6,13<br/>           127:20 129:6 144:13<br/>           151:8 218:10,15,20 257:9<br/> <b>concerned</b> [2] 218:9<br/>           259:10<br/> <b>concerning</b> [1] 272:13<br/> <b>concerns</b> [14] 105:15<br/>           108:7 143:15,20 144:3,7<br/>           165:6 174:18 179:10<br/>           186:7,14 188:1,3 200:24<br/> <b>conclude</b> [3] 144:19<br/>           186:3 188:5<br/> <b>concluded</b> [1] 248:15<br/> <b>concludes</b> [1] 121:10<br/> <b>conclusion</b> [3] 116:25<br/>           121:12 314:9<br/> <b>concordance</b> [2] 151:6<br/>           151:7<br/> <b>concordant</b> [4] 150:13<br/>           150:23,25 151:4<br/> <b>concurrency</b> [1] 153:9<br/> <b>conditions</b> [5] 86:8 95:6<br/>           95:9 100:4 157:24<br/> <b>conducting</b> [1] 284:22<br/> <b>conference</b> [3] 87:6<br/>           219:5 225:25<br/> <b>confident</b> [2] 258:1<br/>           289:24<br/> <b>confirming</b> [1] 311:17<br/> <b>conflicts</b> [3] 27:25<br/>           215:24 218:8<br/> <b>confronted</b> [1] 288:13<br/> <b>confused</b> [3] 131:1 181:2<br/>           190:2<br/> <b>confusion</b> [1] 308:9<br/> <b>connection</b> [1] 275:14<br/> <b>consecutive</b> [5] 292:8<br/>           292:12,14 293:1,6<br/> <b>consensus</b> [8] 42:23,25<br/>           128:6 172:8 181:13 201:4<br/>           241:21 267:11<br/> <b>consequences</b> [2] 105:8<br/>           111:1</p> |
|---|--|---|---|--|

|   |  |  |   |   |
|---|--|--|---|---|
| <p><b>Consequent</b> [1] 240:3<br/> <b>consider</b> [2] 214:10<br/>                 291:6<br/> <b>considerable</b> [1] 188:14<br/> <b>considerably</b> [1] 90:17<br/> <b>consideration</b> [2]<br/>                 251:23 303:5<br/> <b>considered</b> [6] 116:22<br/>                 148:21 152:18 189:3<br/>                 241:25 296:10<br/> <b>considering</b> [1] 141:15<br/> <b>consist</b> [1] 290:11<br/> <b>consistency</b> [1] 177:18<br/> <b>consistent</b> [4] 94:23<br/>                 130:25 161:23 314:19<br/> <b>consistently</b> [2] 267:13<br/>                 267:17<br/> <b>consortium</b> [1] 107:23<br/> <b>constant</b> [3] 27:18<br/>                 110:18 134:22<br/> <b>constraints</b> [1] 71:22<br/> <b>consultation</b> [11] 14:20<br/>                 24:6 63:17 67:9 78:9<br/>                 79:23 170:9 219:17,22<br/>                 219:24 279:8<br/> <b>consultations</b> [2] 74:15<br/>                 77:7<br/> <b>consulted</b> [2] 74:8 76:15<br/> <b>consulting</b> [4] 42:9 75:6<br/>                 109:13 144:8<br/> <b>consults</b> [1] 170:20<br/> <b>consumed</b> [2] 104:10<br/>                 106:1<br/> <b>consuming</b> [1] 47:23<br/> <b>contact</b> [4] 99:7 158:21<br/>                 284:16 285:4<br/> <b>contacted</b> [2] 14:22<br/>                 198:16<br/> <b>content</b> [2] 188:9 242:25<br/> <b>CONTENTS</b> [1] 2:1<br/> <b>context</b> [9] 66:5 144:24<br/>                 149:1 183:23,23 185:7<br/>                 196:22 207:13 290:22<br/> <b>continue</b> [8] 79:19 80:4<br/>                 146:21 158:9 164:11<br/>                 179:9 186:6 282:16<br/> <b>continued</b> [7] 12:10<br/>                 86:21 87:2 269:18 291:10<br/>                 309:17,20<br/> <b>continues</b> [2] 153:15<br/>                 199:13<br/> <b>continuing</b> [2] 100:13<br/>                 315:20<br/> <b>contract</b> [3] 15:21 16:3<br/>                 308:12<br/> <b>contrast</b> [1] 51:4<br/> <b>contribution</b> [1] 248:18<br/> <b>control</b> [68] 132:3 137:17<br/>                 137:25 138:22 180:2,8<br/>                 180:12,15,19,21,24<br/>                 181:10,13,17 183:4,4,9<br/>                 183:16 184:4,4,25 185:9<br/>                 185:11,12,20,24 207:17<br/>                 207:19 229:18,24 230:9<br/>                 231:6 232:4,6,9,13,15</p> | <p>232:17,22 233:1,1,2,7,8<br/>                 233:12,19 234:18,23<br/>                 235:1,6,10,13,17,18,24<br/>                 236:5,11,22,24 241:15<br/>                 244:3 245:21 246:4<br/>                 268:20 269:1,14,19<br/>                 271:12<br/> <b>controlled</b> [1] 126:4<br/> <b>controls</b> [36] 88:23 95:3<br/>                 179:1,4,7,13,15,18,19<br/>                 181:4,23,25 183:14,24<br/>                 183:25 217:5 218:5 229:6<br/>                 229:7,17,20,22,22,23<br/>                 230:1,21 231:17 233:11<br/>                 241:14 242:22 243:19<br/>                 268:10,21,22 269:25<br/>                 270:8<br/> <b>convenience</b> [1] 205:22<br/> <b>convenient</b> [1] 158:1<br/> <b>conventional</b> [3] 118:22<br/>                 119:20 149:25<br/> <b>conversation</b> [2] 136:6<br/>                 136:7<br/> <b>conversion</b> [2] 249:17<br/>                 249:19<br/> <b>conversions</b> [5] 249:12<br/>                 249:13,20 250:5,8<br/> <b>convert</b> [3] 249:24 250:2<br/>                 250:13<br/> <b>converting</b> [1] 82:18<br/> <b>conveyed</b> [1] 104:21<br/> <b>convinced</b> [1] 181:15<br/> <b>cook</b> [36] 22:2,3 99:24<br/>                 116:14 117:19,22 121:6<br/>                 121:16 123:14 125:14<br/>                 127:19 128:9 129:6,10<br/>                 131:21 136:5 145:24<br/>                 146:3,18 158:7 163:16<br/>                 164:1,6,16 169:21 172:2<br/>                 175:5 198:7,19,24 203:15<br/>                 203:22 262:20 282:2,19<br/>                 304:8<br/> <b>Cook's</b> [3] 121:15 122:8<br/>                 175:20<br/> <b>cooking</b> [2] 94:15 99:23<br/> <b>cooperated</b> [1] 265:18<br/> <b>copied</b> [2] 104:5 136:4<br/> <b>copies</b> [2] 136:13 188:19<br/> <b>copy</b> [3] 5:12 198:1<br/>                 226:12<br/> <b>core</b> [1] 241:13<br/> <b>corner</b> [7] 53:4 104:25<br/>                 134:14 172:15 173:22<br/>                 198:5 210:14<br/> <b>corporate</b> [2] 127:19<br/>                 128:18<br/> <b>Corporation</b> [12] 19:11<br/>                 19:15,18 123:11 126:23<br/>                 146:20 158:8 164:10<br/>                 172:4 211:18 215:11<br/>                 271:24<br/> <b>correct</b> [27] 5:15 22:11<br/>                 29:6 50:10 58:5 61:9<br/>                 68:5 121:19 122:5 127:11<br/>                 129:16 154:15 160:7<br/>                 163:2 172:7 173:10<br/>                 192:22 195:13 261:22</p> | <p>269:11,22 313:19 314:17<br/>                 314:22 315:12,16 328:3<br/> <b>correctly</b> [3] 151:23<br/>                 316:10,17<br/> <b>correlate</b> [4] 149:24<br/>                 193:4 219:19 313:8<br/> <b>correlating</b> [7] 88:10<br/>                 146:16 176:23 219:13<br/>                 310:2 312:1 313:2<br/> <b>correlation</b> [17] 116:19<br/>                 117:7,11 127:14 147:17<br/>                 149:11 150:7 151:17<br/>                 156:23 202:4 302:9,13<br/>                 302:14,19 309:17 313:23<br/>                 314:11<br/> <b>correspond</b> [1] 192:17<br/> <b>corresponded</b> [1]<br/>                 151:23<br/> <b>Council</b> [1] 245:10<br/> <b>counsel</b> [2] 234:15 318:4<br/> <b>counselled</b> [2] 39:21<br/>                 118:3<br/> <b>count</b> [1] 150:18<br/> <b>countries</b> [1] 12:6<br/> <b>country</b> [14] 11:3 12:4<br/>                 29:24 38:21 47:22 71:12<br/>                 189:15 248:12 316:20<br/>                 324:10,13,21 326:2,24<br/> <b>counts</b> [1] 190:21<br/> <b>couple</b> [11] 16:2 86:5<br/>                 164:23 179:11 213:7,22<br/>                 228:15 239:9 258:18<br/>                 305:23 312:22<br/> <b>course</b> [51] 23:18,24<br/>                 28:24 31:14 33:23 35:15<br/>                 38:21 44:12 51:25 52:19<br/>                 61:5 76:4 81:15 85:24<br/>                 87:4 91:23 92:6 95:19<br/>                 111:4 116:24 117:2<br/>                 119:21 120:7 121:11<br/>                 122:7,12 134:12,25<br/>                 135:24 164:1 172:1<br/>                 199:25 220:20 247:18,19<br/>                 249:8 262:10 267:6<br/>                 273:21 279:8,8 280:11<br/>                 281:11 284:23 288:24<br/>                 299:22 301:1 305:12<br/>                 319:8 321:22 325:7<br/> <b>courtesy</b> [1] 264:22<br/> <b>cover</b> [1] 23:16<br/> <b>covered</b> [2] 75:4 264:15<br/> <b>covering</b> [1] 206:18<br/> <b>covers</b> [3] 227:25 228:1<br/>                 228:2<br/> <b>CPAC</b> [1] 324:12<br/> <b>create</b> [2] 64:6,8<br/> <b>created</b> [3] 262:2 281:4<br/>                 325:25<br/> <b>creating</b> [1] 322:24<br/> <b>credibility</b> [1] 317:15<br/> <b>credit</b> [2] 40:23,24<br/> <b>criteria</b> [3] 127:25<br/>                 129:25 167:6<br/> <b>critical</b> [3] 26:6 251:25<br/>                 316:21<br/> <b>criticism</b> [1] 52:1</p> | <p><b>cross</b> [4] 17:9 51:3 196:5<br/>                 242:9<br/> <b>crucial</b> [2] 105:6 274:19<br/> <b>crude</b> [1] 83:6<br/> <b>culture</b> [21] 71:25 72:1,3<br/>                 72:4,6,9,11,19,21 73:11<br/>                 220:19,20,24 221:2,11<br/>                 278:20 287:15 289:5,5<br/>                 289:22 322:25<br/> <b>curious</b> [1] 284:17<br/> <b>current</b> [5] 18:1 169:1<br/>                 198:22 199:15 201:6<br/> <b>curriculum</b> [4] 5:13 7:5<br/>                 316:3 322:13<br/> <b>curve</b> [1] 281:11<br/> <b>custody</b> [1] 311:3<br/> <b>custom</b> [1] 278:25<br/> <b>customary</b> [1] 312:7<br/> <b>customized</b> [1] 248:7<br/> <b>cut</b> [9] 82:10 153:20<br/>                 154:18 184:8 241:19<br/>                 255:16,21 256:2 304:6<br/> <b>cut-off</b> [5] 116:18 150:2<br/>                 249:21,23,25<br/> <b>cutting</b> [4] 108:9 243:18<br/>                 244:13 317:6<br/> <b>CV</b> [6] 58:24 102:4 213:6<br/>                 245:2 251:6 323:1<br/> <b>cycle</b> [1] 233:15<br/> <b>Cytology</b> [2] 227:2,6<br/> <b>cytoplasm</b> [2] 89:5<br/>                 270:10<br/> <b>cytoplasmic</b> [2] 89:24<br/>                 241:24</p> | <p><b>David</b> [3] 18:22,25 40:16<br/> <b>days</b> [9] 23:14,24 36:24<br/>                 47:10 48:11 59:11 114:8<br/>                 135:14 205:25<br/> <b>DC</b> [2] 39:1,5<br/> <b>deal</b> [7] 22:14 25:12 40:7<br/>                 40:7 107:12 289:19<br/>                 326:10<br/> <b>dealing</b> [7] 118:16 170:8<br/>                 197:22 231:19 258:19<br/>                 279:16 324:4<br/> <b>deals</b> [2] 151:12 169:24<br/> <b>dealt</b> [2] 170:17,20<br/> <b>debriefed</b> [2] 216:21,23<br/> <b>decade</b> [2] 62:11 248:21<br/> <b>December</b> [6] 125:18<br/>                 125:20 163:15,19,25<br/>                 300:18<br/> <b>decide</b> [2] 34:18 92:3<br/> <b>decided</b> [8] 18:1 60:19<br/>                 86:11,17 89:13 92:23<br/>                 128:4 248:9<br/> <b>decides</b> [1] 114:15<br/> <b>deciding</b> [3] 56:13 93:16<br/>                 94:8<br/> <b>decision</b> [8] 42:8 80:2,3<br/>                 109:23 193:13,23 215:5<br/>                 298:15<br/> <b>decisions</b> [3] 120:16<br/>                 247:3 263:13<br/> <b>decrease</b> [2] 32:25 35:22<br/> <b>Decreased</b> [1] 35:12<br/> <b>dedicated</b> [1] 277:23<br/> <b>dedication</b> [3] 108:4<br/>                 221:12 222:3<br/> <b>Deep</b> [1] 245:16<br/> <b>defensiveness</b> [1] 73:5<br/> <b>define</b> [1] 200:21<br/> <b>defined</b> [1] 190:16<br/> <b>degree</b> [9] 7:7,10,15,15<br/>                 8:6,8,9,11 237:2<br/> <b>degrees</b> [5] 8:10,18,22<br/>                 233:15 277:10<br/> <b>dehydration</b> [1] 241:6<br/> <b>delay</b> [2] 112:14 119:13<br/> <b>delayed</b> [2] 105:18<br/>                 138:10<br/> <b>delaying</b> [1] 105:13<br/> <b>delays</b> [3] 34:21 119:3,4<br/> <b>delegacy</b> [1] 303:6<br/> <b>delegation</b> [1] 326:5<br/> <b>delete</b> [2] 130:19 248:6<br/> <b>deleting</b> [1] 130:19<br/> <b>delicacy</b> [5] 105:7 110:25<br/>                 111:18,21 324:6<br/> <b>delicate</b> [1] 324:4<br/> <b>deliver</b> [1] 296:2<br/> <b>delivery</b> [1] 290:11<br/> <b>demand</b> [1] 189:6<br/> <b>demographic</b> [4] 282:1<br/>                 282:5 283:1,20<br/> <b>demonstrated</b> [1]<br/>                 268:24</p> |
|---|--|--|---|---|

**-D-**



|  |  |   |  |  |
|--|--|---|--|--|
| <p><b>deny</b> [1] 80:1<br/> <b>department</b> [26] 17:10<br/> 19:8 27:6,16 41:20 59:5<br/> 59:25 60:4 64:9,12,23<br/> 64:24 66:15 69:7,12,20<br/> 70:22 74:20 76:12 99:1<br/> 136:20 161:25 220:15<br/> 227:17 277:22 307:13<br/> <b>depending</b> [5] 82:23<br/> 94:2,3 249:23 277:11<br/> <b>dermapathologists</b> [1]<br/> 30:11<br/> <b>Des</b> [1] 98:10<br/> <b>describe</b> [4] 22:24 70:6<br/> 103:1 220:1<br/> <b>described</b> [5] 48:19 50:8<br/> 242:6 263:6 303:6<br/> <b>describing</b> [1] 169:6<br/> <b>description</b> [4] 42:3<br/> 55:10,14 205:3<br/> <b>design</b> [2] 279:11 281:10<br/> <b>designed</b> [1] 275:22<br/> <b>desirable</b> [1] 32:17<br/> <b>despite</b> [2] 214:12 236:4<br/> <b>detail</b> [5] 131:25 164:22<br/> 170:7 251:13,24<br/> <b>details</b> [4] 118:4 247:4<br/> 251:22 326:10<br/> <b>detected</b> [2] 190:16<br/> 192:16<br/> <b>detection</b> [2] 104:12<br/> 177:2<br/> <b>determine</b> [4] 128:1<br/> 129:25 266:19 270:9<br/> <b>determined</b> [2] 24:23<br/> 152:10<br/> <b>develop</b> [2] 51:8 74:13<br/> <b>developed</b> [9] 51:11 67:8<br/> 85:10 171:13 202:7,12<br/> 247:15 286:19 321:22<br/> <b>developing</b> [6] 12:6 72:3<br/> 110:15 200:20 214:12<br/> 277:3<br/> <b>development</b> [1] 267:22<br/> <b>diagnose</b> [1] 60:24<br/> <b>diagnosed</b> [1] 285:18<br/> <b>diagnoses</b> [2] 76:9<br/> 145:19<br/> <b>diagnosis</b> [21] 24:12,14<br/> 34:17 35:9 61:9,18 64:15<br/> 65:2 112:4 115:1 139:15<br/> 139:23 205:3 219:13,14<br/> 219:16,20,21 237:21<br/> 247:4 296:3<br/> <b>diagnostic</b> [3] 219:25<br/> 240:2,14<br/> <b>diamond</b> [1] 47:20<br/> <b>dictating</b> [1] 205:2<br/> <b>die</b> [1] 176:7<br/> <b>difference</b> [6] 9:8 39:9<br/> 194:21,24 252:22 310:18<br/> <b>differences</b> [1] 219:21<br/> <b>different</b> [61] 40:11,13<br/> 40:15 51:6 52:8 64:17<br/> 64:19 66:9 86:1 89:19</p> | <p>90:5 92:10 93:21 94:2<br/> 94:11 96:4,5,5,15 97:2<br/> 97:22 98:25 99:1 110:10<br/> 130:12 164:23 189:15,16<br/> 193:21 202:24,24 213:23<br/> 221:24 233:15,16,17,18<br/> 239:9 241:19 247:9<br/> 251:20,20 252:17 253:6<br/> 253:8,10 256:2 259:22<br/> 263:14 271:2 272:22<br/> 276:18 299:9,19 300:3<br/> 300:21,21 307:14,23,24<br/> 310:17<br/> <b>differently</b> [1] 130:13<br/> <b>difficult</b> [5] 61:2,16<br/> 79:23 105:19 292:3<br/> <b>difficulties</b> [2] 39:14<br/> 240:24<br/> <b>difficulty</b> [3] 5:8 39:13<br/> 175:9<br/> <b>dilution</b> [7] 94:9,11<br/> 112:22 253:17,18,19<br/> 304:7<br/> <b>dilutions</b> [2] 94:2 96:15<br/> <b>dimension</b> [1] 112:11<br/> <b>direct</b> [1] 51:4<br/> <b>directed</b> [1] 101:18<br/> <b>direction</b> [2] 310:10<br/> 316:4<br/> <b>directly</b> [2] 82:13 122:24<br/> <b>director</b> [10] 6:24,25<br/> 44:1 84:10,11 99:2<br/> 126:19,20 261:19 262:3<br/> <b>directors</b> [1] 43:20<br/> <b>disable</b> [2] 80:24 81:3<br/> <b>disagreed</b> [1] 65:7<br/> <b>disagreement</b> [1] 174:5<br/> <b>discipline</b> [2] 128:5<br/> 215:24<br/> <b>disclaimer</b> [1] 161:22<br/> <b>disclosure</b> [4] 72:5,16<br/> 290:13,15<br/> <b>discontinue</b> [5] 175:14<br/> 176:3 186:21 198:17<br/> 212:20<br/> <b>Discrepancies</b> [1]<br/> 154:23<br/> <b>discrepancy</b> [2] 152:19<br/> 184:12<br/> <b>discretion</b> [1] 266:18<br/> <b>discuss</b> [4] 61:2 87:9<br/> 136:19 141:19<br/> <b>discussed</b> [12] 61:12,14<br/> 66:3,5 113:6 131:25<br/> 141:17 167:3 177:3<br/> 182:22 188:8 226:2<br/> <b>discussing</b> [2] 41:9,11<br/> <b>discussion</b> [13] 88:20,21<br/> 88:24 121:6 127:23 128:3<br/> 181:8 199:11 215:3,11<br/> 241:7 248:25 282:9<br/> <b>discussions</b> [4] 20:24<br/> 87:4 162:24 259:9<br/> <b>disease</b> [3] 112:23 247:15<br/> 247:17</p> | <p><b>dispatch</b> [1] 181:19<br/> <b>dispatched</b> [2] 51:21<br/> 180:9<br/> <b>dissatisfied</b> [2] 39:16<br/> 41:14<br/> <b>distinction</b> [1] 46:8<br/> <b>distracted</b> [1] 115:1<br/> <b>distributed</b> [4] 167:7<br/> 168:12 169:4 247:23<br/> <b>divide</b> [1] 35:1<br/> <b>divided</b> [2] 34:12,23<br/> <b>division</b> [12] 1:15 43:8<br/> 48:21 107:3 123:10<br/> 147:15 176:21 186:19<br/> 213:19 227:7 245:11<br/> 275:8<br/> <b>divisional</b> [4] 125:10<br/> 145:22 204:13 281:24<br/> <b>DMA</b> [1] 102:18<br/> <b>doctor</b> [217] 4:18 5:12<br/> 5:17 7:4,20 8:20 10:13<br/> 10:18 11:15,22 13:5,25<br/> 16:7 17:1,14 20:8 22:20<br/> 24:17 25:2,2,11 28:7<br/> 31:11,20 32:9 37:10,25<br/> 41:7,20 43:6 45:13 48:11<br/> 49:25 50:4,24 53:9 54:15<br/> 56:25 58:21,24 61:21<br/> 62:24 65:10,22 67:21,23<br/> 68:11,22 69:24 71:20<br/> 73:8 74:1 76:25 80:17<br/> 81:8,15,16,21 84:17<br/> 87:11 88:6 89:17 91:22<br/> 92:15 93:15 96:12 100:6<br/> 100:14 101:13 102:2<br/> 103:14 104:3 106:2,12<br/> 117:9,10,18 118:9 123:8<br/> 124:3 125:8,19 128:11<br/> 133:1,15 134:1 137:11<br/> 139:1,25 140:11 141:8<br/> 142:1,5,16 143:25 144:15<br/> 144:19 145:21 146:13<br/> 147:8,13 148:22 151:5<br/> 152:24 154:17 155:12,19<br/> 156:7 158:3,5,23 161:6<br/> 161:14 163:4,14 164:23<br/> 165:11 168:7,15 169:18<br/> 169:23 171:18,25 172:10<br/> 174:23 175:25 176:12,20<br/> 177:24 179:11 183:12<br/> 188:5 189:19,23 190:4<br/> 190:18 192:8,24 193:25<br/> 195:8 196:15 197:20<br/> 198:3 199:3,21 201:2,17<br/> 201:22 203:14 204:5,18<br/> 205:13,14,23 208:9,12<br/> 208:21 210:12,18 211:17<br/> 212:4,24,25 213:17<br/> 214:13 216:3,15 217:2<br/> 218:2 220:5 222:5 225:13<br/> 225:15 226:10,18 227:12<br/> 228:1,20 229:1,20 231:15<br/> 235:16 237:16,20 238:8<br/> 239:8,17 240:9,18,20,21<br/> 242:8 244:16 245:3,14<br/> 248:20 249:7 250:4,9<br/> 252:2 253:12 254:7<br/> 256:11 257:8 258:4<br/> 259:12 260:4 261:19<br/> 262:9,11 264:8 306:13</p> | <p>313:1 315:25 325:4<br/> 326:14,18<br/> <b>doctors</b> [8] 1:9 139:5<br/> 143:13,20 186:9 187:9<br/> 192:2 288:7<br/> <b>document</b> [15] 58:23<br/> 105:14 117:11 142:6<br/> 151:19 156:2 167:10,12<br/> 167:24 216:6,9 229:12<br/> 281:22 291:7 310:6<br/> <b>documentation</b> [1]<br/> 124:23<br/> <b>documented</b> [6] 61:7<br/> 156:14 182:5 226:1<br/> 229:16 309:21<br/> <b>documenting</b> [5] 67:23<br/> 310:3,12,14 311:16<br/> <b>documents</b> [1] 5:10<br/> <b>doesn't</b> [11] 9:24 46:24<br/> 64:16 82:14 99:25 100:2<br/> 112:2 119:18 120:6 131:1<br/> 274:11<br/> <b>domain</b> [2] 138:24<br/> 178:17<br/> <b>Don</b> [4] 121:15,15,16<br/> 122:8<br/> <b>done</b> [59] 10:9 25:6 50:18<br/> 51:17,20 54:3 56:7 68:3<br/> 83:15 97:12 104:18<br/> 106:23 111:15 115:3<br/> 122:21 128:23 133:25<br/> 135:1,12,14,18 136:22<br/> 139:17 141:21 144:21<br/> 146:25 157:7,7 158:11<br/> 158:24 159:2 173:2,12<br/> 177:21 180:22 193:9<br/> 195:5 201:24 206:14<br/> 217:12 249:9 267:3 269:9<br/> 272:12 274:11 279:2<br/> 287:6 291:17,22 295:5<br/> 297:2,4 302:14 303:3<br/> 308:25 311:1,13 313:7<br/> 313:18<br/> <b>door</b> [1] 292:5<br/> <b>double</b> [1] 243:5<br/> <b>doubt</b> [3] 108:4 288:15<br/> 324:17<br/> <b>down</b> [24] 18:2,13 37:1,3<br/> 50:20,23,23 51:2,13,16<br/> 64:1 66:25 96:14 102:4<br/> 153:18 163:20 170:11<br/> 195:11 210:6 214:22<br/> 286:22 291:24 292:15<br/> 321:16<br/> <b>dozen</b> [2] 30:1,2<br/> <b>Dr</b> [818] 2:2 4:4,5,10,19<br/> 5:14,21 7:13,22 8:2,14<br/> 8:25 9:5,11 10:4,10,23<br/> 11:9,19 12:2,21 13:9,15<br/> 13:22 14:2,10,17 15:2,7<br/> 15:16,20,24 16:9,14,20<br/> 17:4,6,17 18:9,10,12,14<br/> 18:17,20,24 19:4,6,7,13<br/> 19:23 20:3,10,15,22 21:9<br/> 21:14,21,22 22:2,3,5,8<br/> 22:10,16,17 23:2,23<br/> 24:24 25:21 26:4,15,21<br/> 27:4,22 28:4,11,21 29:5<br/> 29:11,22 30:7,15,19 31:4</p> | <p>31:8,16,25 32:4,10,14<br/> 32:18,23 33:6,12 34:9<br/> 36:7,14,20 37:6,16,22<br/> 38:8,12,18 39:4,8 41:17<br/> 41:25 42:6,24 43:9,15<br/> 43:19 44:2,8,24 45:4,10<br/> 45:17,23 46:4,12,16<br/> 47:11 48:20,24 49:1,5,9<br/> 49:13,18,22 50:9,15 52:7<br/> 53:2,15,23 54:6,22,23<br/> 55:2,6,12,17,19 56:1,16<br/> 56:21 57:7,18,25 58:4,8<br/> 58:12,16 59:7,20 61:24<br/> 62:1,17,21 63:8,16 64:7<br/> 65:15,19,24 66:7,19 68:4<br/> 68:8,17 69:5,17 70:4,16<br/> 71:21 72:13,18,24 73:14<br/> 73:19,23 74:10,18 76:17<br/> 77:3,10,14,21 78:6,12<br/> 78:19,25 80:9,14 82:5<br/> 84:9,11,20,23,24 85:3<br/> 86:18 87:12 88:3,7 89:21<br/> 89:25 90:9,13,19,24 91:5<br/> 91:14,19 92:4,19 93:1,6<br/> 93:11,23 94:5,10,18<br/> 95:12,18,23 96:16,20,24<br/> 97:4,9,15 98:4,21 99:15<br/> 99:21 100:18 101:21<br/> 102:9 103:11,16,25 104:5<br/> 106:9,20,24 107:5,14<br/> 108:20,25 109:3,6,16<br/> 110:2,9 111:6,14,20<br/> 113:4,13,21 114:5,10<br/> 115:22 116:3,7,13 117:19<br/> 117:21,22 118:10 121:6<br/> 121:18,23 122:4,11,18<br/> 122:22 123:13,13,14,17<br/> 123:21 124:9,18,22<br/> 125:15,19,25 126:17<br/> 127:1,10,13,19 128:9,10<br/> 128:15 129:3,6,10,15,20<br/> 130:6 131:13,20 132:3,9<br/> 132:14,15,20 133:2,21<br/> 134:2 135:15,22,23 136:3<br/> 136:4,4,17,24 137:2,6<br/> 137:13,19,24 138:3,17<br/> 138:23 139:7 140:4,8,13<br/> 140:16 141:6,9,18 142:19<br/> 142:20,24 143:4,9,16,22<br/> 144:6,16,25 145:7,13,17<br/> 146:3,4,6,10,14,17,18<br/> 146:23 147:3,6,8,22,24<br/> 147:25 148:1,2,9,25<br/> 149:5,16 150:15,19 151:1<br/> 151:9 152:1,5,13 153:3<br/> 153:10 154:7,14 155:9<br/> 155:15,20 156:1,11 157:9<br/> 157:13,22 158:7,10,12<br/> 158:14,15,18,19 159:3<br/> 159:10,18,22 160:1,6,12<br/> 161:1,16 162:17,21 163:1<br/> 164:1,1,2,6,9,13,16,17<br/> 164:18 165:16,20 166:7<br/> 166:12,18,23 167:2,5,18<br/> 168:10,17 169:10,15<br/> 170:2,13,22 171:13,15<br/> 171:22 172:6,17 173:3,9<br/> 173:14,25 174:20 175:8<br/> 175:10,16,20 176:4,9<br/> 177:7,12 178:7 179:17<br/> 179:25 182:1,6,18 183:7<br/> 183:20 184:2,18 185:2<br/> 185:18,25 186:15,25</p> |
|--|--|---|--|--|

|   |  |   |   |   |
|---|--|---|---|---|
| <p>187:12,17,21 188:2,21<br/>188:25 189:24 190:9,20<br/>191:13,17,24 192:5,21<br/>193:2 194:10,14,23 195:4<br/>195:12,17,22 196:1,6,12<br/>196:20 197:8,15 198:9<br/>198:11,15,19,21,24 199:1<br/>199:9,20,23 201:9,13,18<br/>202:2,15,22 203:4,8,15<br/>203:18,21,23 204:10<br/>205:5,10,18 206:1,5,15<br/>206:21 207:1,5,10,16,20<br/>207:25 208:5,18 209:9<br/>209:13,17,23 210:2,21<br/>211:3,8,13,19 212:1,7<br/>212:12,21 213:4,10,20<br/>213:24 214:1,5,17,23<br/>215:6,13,16,19,22,25<br/>216:12,17,24 217:6,14<br/>217:19,24 218:12,17,22<br/>219:1,10 220:7,13 222:14<br/>222:20 223:3,17,22 224:1<br/>224:10,16 225:14,16,19<br/>226:7,15,24 227:1,3,4<br/>227:15,20 228:5,12,20<br/>229:8 230:2,8,22 231:12<br/>231:22 232:12 234:3,8<br/>234:12 236:6,13,17 237:3<br/>238:5,11,18,23 239:14<br/>239:20 240:15 242:1,7<br/>242:12,21 243:21 244:20<br/>245:15,20,25 246:6,11<br/>249:3,16 250:1,20 251:4<br/>252:4,8 253:1,5,12,22<br/>254:1,12,16 256:8,17,21<br/>256:25 257:5,17,24 258:7<br/>258:15,22 259:16,21<br/>260:9,13,17,22 261:1,13<br/>261:21 262:1,14,20 263:2<br/>263:8,12 264:11 265:10<br/>266:2,4,8,10,21 267:4<br/>267:24 268:12 269:10,15<br/>269:21 270:1,12,22 271:5<br/>272:2,8,14 273:5,11,15<br/>273:20 274:2,21 275:3,5<br/>275:15,19 276:9,14<br/>277:18,25 278:16 279:7<br/>279:19 280:22 282:2,19<br/>282:23 283:4,9,21 284:8<br/>284:21 285:11 286:6,10<br/>286:16 287:2,11,22 288:3<br/>290:5,21 291:9,18 292:6<br/>292:13,20 293:5,10,14<br/>293:19,25 294:6,12,18<br/>294:25 295:9 296:12,16<br/>296:23 297:3,7,12,19<br/>298:2,8,20 299:2,12<br/>301:11,18 302:7,12,22<br/>303:2,10,22 304:2,20,25<br/>305:11,22 306:4,7,9,15<br/>307:7,19 308:16 309:5<br/>309:10,14,23 310:5,21<br/>311:20 312:19,21 313:11<br/>313:15,20 314:2,6,16,21<br/>315:11,15,22 316:11,24<br/>317:24 318:7,13,17,21<br/>319:16 320:4,10,14,22<br/>321:21 322:18,23 323:16<br/>323:19,23 325:2,10,21<br/>326:3,9,15 327:2</p> <p><b>draft</b> [4] 167:21 168:2,8<br/>168:16</p> | <p><b>drafted</b> [2] 162:12,13<br/><b>drafts</b> [1] 168:11<br/><b>drag</b> [3] 23:18 40:12<br/>187:4<br/><b>dragged</b> [2] 187:2,5<br/><b>draw</b> [1] 277:5<br/><b>drop</b> [3] 162:4 203:22<br/>321:16<br/><b>drop-down</b> [1] 247:20<br/><b>Drs</b> [9] 125:13 139:3<br/>145:24 147:20 163:16<br/>169:21 172:2 175:4 198:7<br/><b>drug</b> [5] 112:13 119:2,13<br/>119:19 120:3<br/><b>drugs</b> [3] 247:1,2 300:16<br/><b>due</b> [3] 69:6 282:17<br/>297:16<br/><b>duration</b> [2] 11:10 95:10<br/><b>during</b> [24] 21:18 22:8<br/>47:10 48:11 56:24 59:11<br/>61:9 65:22 72:8 81:25<br/>87:4 196:15 202:5 214:20<br/>215:8 219:21 222:18<br/>223:16 226:23 227:16,19<br/>233:15 269:13 304:15<br/><b>duties</b> [1] 216:22<br/><b>dynamics</b> [1] 108:8<br/><b>Dzintra</b> [1] 18:10</p> <hr/> <p style="text-align: center;"><b>-E-</b></p> <hr/> <p><b>e</b> [12] 83:13,13,13,20,20<br/>83:20 86:13,13 241:6<br/>251:10,10,10<br/><b>earliest</b> [1] 205:22<br/><b>early</b> [21] 15:24 17:25<br/>18:18 23:4 26:19 34:24<br/>50:17 68:23 86:11 87:2<br/>87:3 98:2 106:3 115:25<br/>117:9 121:7,7 136:7<br/>147:9 205:25 272:1<br/><b>easier</b> [1] 223:10<br/><b>east</b> [2] 103:7 130:10<br/><b>Eastern</b> [2] 1:10 271:23<br/><b>easy</b> [3] 110:21 209:24<br/>274:7<br/><b>edge</b> [5] 243:5,18,18<br/>244:13 317:6<br/><b>education</b> [2] 100:13<br/>315:20<br/><b>educational</b> [1] 5:19<br/><b>effect</b> [6] 9:3 10:2 90:22<br/>119:3 120:5 194:20<br/><b>effective</b> [2] 117:6 227:5<br/><b>effects</b> [2] 109:14,15<br/><b>efficiency</b> [2] 32:24<br/>177:22<br/><b>efficient</b> [1] 249:4<br/><b>effort</b> [2] 292:2 323:8<br/><b>efforts</b> [8] 117:3 122:7,8<br/>122:12 240:6 266:14<br/>316:3 322:17<br/><b>EGFR</b> [1] 97:24<br/><b>Egypt</b> [9] 5:23 7:8,11,14<br/>9:20 10:19 11:2 12:8</p> | <p>277:9<br/><b>eight</b> [6] 28:15,16 239:25<br/>240:12 322:5,6<br/><b>either</b> [4] 105:21 258:14<br/>292:7 293:3<br/><b>Ejckam</b> [5] 239:21<br/>240:21 242:2,8 253:13<br/><b>electronic</b> [1] 5:8<br/><b>element</b> [1] 222:22<br/><b>elements</b> [6] 71:24,25<br/>230:11 231:1 233:17<br/>299:18<br/><b>eleven</b> [1] 210:4<br/><b>eliminate</b> [1] 255:22<br/><b>elsewhere</b> [3] 38:4 73:12<br/>259:15<br/><b>embarking</b> [2] 33:21<br/>101:11<br/><b>embedded</b> [2] 84:1<br/>229:4<br/><b>embrace</b> [1] 72:2<br/><b>emergency</b> [2] 104:17<br/>104:23<br/><b>eminent</b> [1] 11:8<br/><b>emotion</b> [1] 288:14<br/><b>emotional</b> [2] 105:9<br/>111:2<br/><b>emotions</b> [2] 288:11,15<br/><b>emphasize</b> [1] 189:2<br/><b>emphasized</b> [1] 72:16<br/><b>employed</b> [6] 19:20 71:3<br/>199:16,18 201:7 308:2<br/><b>employing</b> [1] 176:22<br/><b>emulsion</b> [1] 82:18<br/><b>enclosed</b> [2] 205:19<br/>211:23<br/><b>enclosing</b> [2] 136:13<br/>141:13<br/><b>encountered</b> [1] 134:4<br/><b>encounters</b> [1] 263:21<br/><b>encourage</b> [4] 72:5<br/>146:22 188:10 189:19<br/><b>encouraged</b> [2] 72:17<br/>164:12<br/><b>encouraging</b> [1] 119:15<br/><b>end</b> [25] 20:23 54:18,20<br/>55:23 56:20 57:5,12<br/>61:25 66:13 82:25 98:17<br/>138:5 175:24 182:11<br/>192:24 223:14 227:23<br/>234:13 257:22 264:15,19<br/>279:11 289:9 309:16<br/>311:11<br/><b>endeavour</b> [4] 274:5<br/>312:8 324:3,19<br/><b>endeavours</b> [2] 100:21<br/>316:4<br/><b>ended</b> [5] 14:1 26:25 35:3<br/>186:23 236:9<br/><b>endometrial</b> [5] 119:11<br/>120:6,12 146:22 164:12<br/><b>endorse</b> [1] 207:23<br/><b>energy</b> [1] 33:20<br/><b>engaged</b> [2] 20:25 24:3</p> | <p><b>enroll</b> [1] 224:7<br/><b>enrolled</b> [2] 13:6 223:2<br/><b>ensure</b> [4] 61:8 251:1<br/>298:18 309:3<br/><b>entered</b> [7] 5:2,3 81:12<br/>81:13 140:17 141:4<br/>282:18<br/><b>entice</b> [2] 265:7,9<br/><b>entire</b> [2] 128:16 193:16<br/><b>entirely</b> [1] 67:2<br/><b>entitle</b> [1] 7:11<br/><b>entitled</b> [5] 142:6 147:14<br/>167:12,25 190:5<br/><b>entity</b> [2] 19:13 60:12<br/><b>entry</b> [1] 245:8<br/><b>envelop</b> [1] 120:1<br/><b>environment</b> [11] 22:22<br/>29:15,16,18 50:2 74:2<br/>126:12 223:6 248:9 263:6<br/>272:23<br/><b>EnVisage</b> [1] 199:18<br/><b>envisaged</b> [1] 192:2<br/><b>equal</b> [2] 233:21,22<br/><b>equate</b> [1] 233:20<br/><b>equipment</b> [1] 307:16<br/><b>equivalent</b> [3] 78:5,16<br/>325:14<br/><b>equivocal</b> [8] 82:22<br/>112:6 117:13 148:16,20<br/>152:11,11,16<br/><b>ER</b> [43] 89:17 90:3 91:25<br/>112:13 113:19 115:8<br/>116:22 119:6 124:2 127:5<br/>131:23 151:11,12,18,21<br/>151:23,25 152:9 172:14<br/>173:1 175:1,7,14 181:24<br/>192:9 194:25 229:24<br/>231:15,19 233:4 237:5<br/>239:25 241:17,25 242:5<br/>242:10 250:7,8,16 252:2<br/>252:7 285:25 286:1<br/><b>ER/PR</b> [96] 74:3 81:18<br/>81:22 83:2 86:25 88:2,4<br/>88:17 89:2,9 93:17<br/>100:10,15,17 101:3<br/>102:14,24 103:17 104:8<br/>104:22 111:4,15 113:10<br/>113:23 114:4 115:2,21<br/>116:17 118:4 121:10<br/>127:9 128:13 129:2,13<br/>131:18 139:10,13,19<br/>140:3 151:10 152:25<br/>156:13 159:17 160:24<br/>167:13 168:1 173:20<br/>176:1 178:15 183:1 188:7<br/>190:6 197:25 198:14,22<br/>202:3 204:16 205:1,20<br/>205:25 212:10 217:5<br/>230:10,18,19 240:21,25<br/>241:12,24 242:16 244:1<br/>253:14 257:10 266:13,25<br/>267:14,20 269:8 270:20<br/>271:25 275:16 276:7,13<br/>277:24 278:9 285:18<br/>287:7 291:16 294:22<br/>298:16 299:11 301:1<br/>302:6 303:7 304:18<br/>306:20</p> | <p><b>era</b> [1] 20:23<br/><b>Ere</b> [1] 73:1<br/><b>erratic</b> [2] 240:1,13<br/><b>error</b> [9] 288:8,8,10,13<br/>288:25 289:1,3,3,12<br/><b>errors</b> [3] 219:25 221:2<br/>221:18<br/><b>essential</b> [1] 222:22<br/><b>establish</b> [1] 177:18<br/><b>established</b> [5] 29:24<br/>68:12 104:19 124:17<br/>157:16<br/><b>estimate</b> [5] 77:22,24<br/>191:3,5,22<br/><b>estrogen</b> [28] 82:2,6<br/>102:7 103:20 141:12<br/>142:6,9 153:16,22,25<br/>154:23 155:2 171:8<br/>176:15 192:15 194:2,7<br/>203:15,16 210:15 211:22<br/>228:23 229:2 233:14,18<br/>237:22 307:20 313:2<br/><b>et</b> [3] 1:9 218:8 287:17<br/><b>etcetera</b> [1] 282:7<br/><b>ethics</b> [1] 284:25<br/><b>evaluation</b> [3] 171:3<br/>193:16 205:20<br/><b>Evening</b> [1] 100:22<br/><b>event</b> [2] 289:1,4<br/><b>events</b> [2] 289:2,2<br/><b>eventually</b> [7] 19:20<br/>65:12 81:10 144:1 145:3<br/>146:19 238:21<br/><b>everybody</b> [23] 39:16<br/>61:18 75:6,6 83:10 84:4<br/>85:18 89:1,12 108:5<br/>116:8 130:13,21 134:25<br/>157:4 178:15 204:1 217:7<br/>305:25 310:8,22 324:13<br/>324:16<br/><b>everywhere</b> [4] 33:15<br/>34:11 60:3 326:2<br/><b>evidence</b> [4] 192:14<br/>231:16 291:5 312:25<br/><b>evidence-based</b> [2]<br/>321:25 322:3<br/><b>evident</b> [1] 316:1<br/><b>evolution</b> [1] 53:7<br/><b>evolve</b> [3] 72:11 74:14<br/>74:15<br/><b>evolved</b> [10] 27:1 68:24<br/>69:4,6,6,12 75:7 81:25<br/>162:12 243:1<br/><b>exact</b> [4] 17:24 19:1<br/>93:12 171:12<br/><b>exactly</b> [16] 12:7 24:25<br/>42:25 52:8 95:13 135:16<br/>143:5,10 157:23 161:2<br/>184:19 214:18 298:11<br/>303:19 313:21 326:10<br/><b>exam</b> [1] 9:16<br/><b>examination</b> [13] 2:3,4<br/>2:5,6,7 4:5 23:15 266:8<br/>275:3 306:13,24 312:19<br/>325:2</p> |
|---|--|---|---|---|

|  |   |  |  |   |
|--|---|--|--|---|
| <p><b>examined</b> [3] 183:3<br/>191:5 307:18</p> <p><b>examiner</b> [1] 44:14</p> <p><b>example</b> [52] 25:14<br/>29:18 36:22 47:16,17<br/>50:5,16 53:9 60:11 63:4<br/>68:14 70:15 98:16 109:17<br/>130:16 134:6,8 135:5<br/>157:12 160:20,21 168:6<br/>168:7 172:15 183:19<br/>190:22,22 191:10,11<br/>194:7,24 195:16 197:6<br/>208:17 219:11,12 233:5<br/>242:17 243:9,25 250:15<br/>251:6 252:23 257:10<br/>258:5 270:8 276:20<br/>285:14,21 300:17 317:17<br/>321:9</p> <p><b>examples</b> [11] 63:14<br/>133:8,9 134:6 168:6<br/>191:8 193:25 194:1,22<br/>195:10 228:19</p> <p><b>exams</b> [1] 82:11</p> <p><b>exceed</b> [2] 278:6 304:10</p> <p><b>excellent</b> [1] 61:4</p> <p><b>except</b> [1] 70:8</p> <p><b>exception</b> [2] 202:3<br/>213:24</p> <p><b>excerpt</b> [1] 212:25</p> <p><b>exchange</b> [2] 10:25<br/>24:12</p> <p><b>excised</b> [2] 34:14 323:9</p> <p><b>excises</b> [1] 82:9</p> <p><b>excluding</b> [1] 44:14</p> <p><b>Excuse</b> [2] 140:15 158:19</p> <p><b>excused</b> [1] 16:1</p> <p><b>executed</b> [1] 308:12</p> <p><b>exercise</b> [2] 157:3 298:17</p> <p><b>EXHIBIT</b> [1] 3:5</p> <p><b>exhibit</b> [57] 4:23 5:11<br/>104:3 116:12 117:11<br/>123:7 125:8 127:4 131:5<br/>131:16 136:1 139:1<br/>140:11,15,16 142:2,3,15<br/>145:21 147:12 150:23<br/>153:15 158:4 163:12,14<br/>163:23 167:10,23 169:18<br/>174:23 175:2 176:12<br/>178:19 190:4 197:20<br/>198:3 199:2 201:16<br/>203:11 204:5,17 205:13<br/>208:8 211:16 212:24<br/>213:17 215:2 216:4<br/>225:12 226:18,22 237:12<br/>240:18 245:1 281:18<br/>290:24 312:24</p> <p><b>exhibits</b> [11] 3:2,3,4 4:22<br/>5:3 81:7,8,13 228:15,17<br/>246:16</p> <p><b>exist</b> [1] 325:25</p> <p><b>existed</b> [8] 20:20,21 21:8<br/>21:13 73:11 124:7 166:22<br/>219:7</p> <p><b>existence</b> [1] 19:19</p> <p><b>existing</b> [1] 199:8</p> <p><b>exists</b> [2] 231:17 286:15</p> | <p><b>expand</b> [1] 311:12</p> <p><b>expect</b> [7] 26:8 65:11<br/>252:19,20 270:13 280:18<br/>285:24</p> <p><b>expectation</b> [1] 270:6</p> <p><b>expectations</b> [1] 42:4</p> <p><b>expected</b> [4] 105:23<br/>109:4 288:8 297:22</p> <p><b>expects</b> [2] 34:16 134:11</p> <p><b>expedited</b> [1] 17:8</p> <p><b>expensive</b> [5] 71:11,16<br/>93:3 288:24 300:2</p> <p><b>experience</b> [11] 12:8<br/>62:2 63:10 68:19 69:24<br/>147:19 225:17 256:13<br/>258:23 273:18 324:16</p> <p><b>experiences</b> [1] 277:8</p> <p><b>experiencing</b> [1] 136:17</p> <p><b>experiment</b> [4] 86:5<br/>88:9 92:11 98:10</p> <p><b>experimental</b> [3] 12:23<br/>97:16 98:2</p> <p><b>experimentation</b> [1]<br/>98:3</p> <p><b>experimented</b> [1] 96:15</p> <p><b>experimenting</b> [1]<br/>86:16</p> <p><b>expert</b> [1] 268:13</p> <p><b>expertise</b> [3] 24:10 43:21<br/>74:21</p> <p><b>experts</b> [2] 279:9 280:8</p> <p><b>explain</b> [5] 105:16 135:3<br/>148:23 275:11 287:19</p> <p><b>explained</b> [2] 135:22<br/>291:7</p> <p><b>explaining</b> [1] 58:18</p> <p><b>exposed</b> [2] 9:23 255:2</p> <p><b>exposure</b> [2] 97:3,7</p> <p><b>express</b> [2] 233:18<br/>322:11</p> <p><b>expressed</b> [2] 144:3<br/>165:5</p> <p><b>expresses</b> [1] 233:14</p> <p><b>expression</b> [1] 82:24</p> <p><b>extending</b> [1] 311:9</p> <p><b>extent</b> [2] 56:13 231:9</p> <p><b>external</b> [19] 95:2 179:18<br/>181:23,25 183:3,16,24<br/>184:4,25 185:24 222:17<br/>223:15 229:18,20 232:4<br/>232:6 233:2,8 236:22</p> <p><b>extra</b> [5] 77:18,19,19,22<br/>139:24</p> <p><b>extrapolate</b> [1] 276:7</p> <p><b>extremely</b> [8] 105:22<br/>117:4 122:9,13 188:17<br/>319:3,3 324:18</p> <p><b>eye</b> [3] 12:22,22 82:11</p> <p><b>eyeball</b> [1] 286:4</p> <p><b>eyeballing</b> [1] 191:18</p> <p><b>eyes</b> [4] 12:25 61:8 254:3<br/>254:4</p> | <p style="text-align: center;"><b>-F-</b></p> <p><b>f</b> [6] 83:20 86:13,13<br/>203:14 241:5,6</p> <p><b>face</b> [2] 35:21 63:12</p> <p><b>Faced</b> [1] 233:24</p> <p><b>facilities</b> [1] 279:6</p> <p><b>fact</b> [41] 8:5 34:24 35:13<br/>50:6 54:8 62:14 64:11<br/>66:4 78:23 87:20 89:3<br/>94:3 98:15 113:15 115:18<br/>116:23 120:4 122:16<br/>123:20 125:4 151:5,15<br/>156:14 157:19 159:14<br/>194:7 208:13 217:7 221:7<br/>222:9 236:4 244:18<br/>245:23 250:10 257:11<br/>263:19 282:17 297:16<br/>302:2 316:21 325:16</p> <p><b>factors</b> [5] 92:9 112:22<br/>316:16,17,20</p> <p><b>failed</b> [1] 218:7</p> <p><b>failing</b> [1] 47:18</p> <p><b>faint</b> [3] 96:8 182:9<br/>184:13</p> <p><b>fair</b> [7] 67:22 68:9 214:12<br/>224:12,14 227:12 307:5</p> <p><b>fairly</b> [1] 271:24</p> <p><b>fall</b> [1] 159:7</p> <p><b>falls</b> [5] 76:2 98:25<br/>172:15 206:13 283:5</p> <p><b>false</b> [1] 241:12</p> <p><b>familiar</b> [9] 93:9,13<br/>132:5,24 143:8 152:24<br/>210:17,22 229:25</p> <p><b>familiarize</b> [1] 133:4</p> <p><b>family</b> [3] 38:24 263:16<br/>282:15</p> <p><b>fantastic</b> [1] 264:16</p> <p><b>far</b> [2] 68:23 69:3</p> <p><b>farewell</b> [1] 305:2</p> <p><b>fashion</b> [2] 105:4 107:10</p> <p><b>fast</b> [1] 34:17</p> <p><b>FDA</b> [8] 300:11,12,14,18<br/>300:20,24,25 301:6</p> <p><b>fear</b> [1] 73:5</p> <p><b>feather</b> [1] 317:13</p> <p><b>February</b> [10] 104:11<br/>168:9 174:25 175:4,15<br/>175:25 176:13 190:7<br/>225:23 238:21</p> <p><b>feedback</b> [8] 123:2,2<br/>133:11 147:7 161:12<br/>167:8 168:13 188:18</p> <p><b>fell</b> [1] 314:14</p> <p><b>fellow</b> [11] 12:3 14:11,12<br/>38:25 39:3,9,10 74:8<br/>115:17 159:15,16</p> <p><b>fellowship</b> [2] 6:10 15:3</p> <p><b>felt</b> [9] 42:12 133:7<br/>240:11 259:4 261:6<br/>282:10,13 310:13 315:3</p> <p><b>female</b> [2] 97:25 233:13</p> <p><b>Femara</b> [2] 120:3,4</p> | <p><b>Ferandez</b> [3] 54:23<br/>213:21 215:17</p> <p><b>Fernandez</b> [4] 18:10,12<br/>55:17 139:3</p> <p><b>fess</b> [1] 81:2</p> <p><b>Feulgen</b> [3] 102:10,15<br/>102:15</p> <p><b>few</b> [9] 6:4 95:4 116:15<br/>225:2 266:11 269:5 275:8<br/>280:1 306:18</p> <p><b>field</b> [2] 71:5 248:23</p> <p><b>fifteen</b> [1] 184:17</p> <p><b>fifth</b> [1] 100:9</p> <p><b>figure</b> [4] 14:16 29:21<br/>70:18 250:17</p> <p><b>figures</b> [3] 62:5 154:13<br/>215:9</p> <p><b>files</b> [3] 226:1 285:6<br/>291:24</p> <p><b>filled</b> [2] 136:8 227:11</p> <p><b>filling</b> [1] 139:18</p> <p><b>final</b> [9] 116:25 121:12<br/>161:4 162:13 177:24<br/>190:10 219:14,20 262:9</p> <p><b>finalized</b> [1] 219:19</p> <p><b>finally</b> [3] 92:23 101:1,1</p> <p><b>finance</b> [1] 92:7</p> <p><b>finances</b> [2] 93:21<br/>110:21</p> <p><b>financial</b> [4] 39:14 70:1<br/>180:13 306:24</p> <p><b>findings</b> [2] 251:17,18</p> <p><b>fine</b> [9] 44:15 65:7 118:4<br/>247:3,4 251:24 261:17<br/>310:23 326:10</p> <p><b>finest</b> [1] 272:20</p> <p><b>finger</b> [1] 289:16</p> <p><b>finish</b> [3] 23:18 51:2<br/>138:9</p> <p><b>finished</b> [3] 10:18 207:4<br/>312:23</p> <p><b>first</b> [60] 4:12 5:17 7:4,7<br/>10:8 17:2 23:1,19 25:4<br/>28:20 40:9,10 50:3,12<br/>58:11 92:15 97:19 106:1<br/>107:12 108:23,24 114:16<br/>114:17 116:21 121:10<br/>123:8 135:1 139:15<br/>147:13 148:21 151:22,25<br/>157:14 164:7 168:2,8<br/>172:23 174:23 184:17<br/>190:13 194:1 197:21<br/>202:7 210:16 213:11<br/>220:16 229:23 230:5,6<br/>232:5 236:3 243:3 251:21<br/>255:12 271:22 287:19<br/>297:2 300:11 315:5<br/>323:25</p> <p><b>five</b> [18] 48:4,7 119:23<br/>119:23,25 125:22 150:22<br/>151:4,23 190:24 191:11<br/>193:8 195:3,20 219:8<br/>288:16 304:4,5</p> <p><b>fix</b> [2] 318:25 319:1</p> <p><b>fixation</b> [20] 25:15,23<br/>26:1 232:25 233:10 235:2</p> | <p>235:3 241:6,10 242:18<br/>243:19 254:9,17,18<br/>256:14 271:9,10,10,10<br/>271:11</p> <p><b>fixed</b> [4] 84:1 191:6<br/>229:4 254:11</p> <p><b>flagging</b> [1] 204:22</p> <p><b>flip</b> [1] 119:10</p> <p><b>floor</b> [1] 255:12</p> <p><b>flow</b> [2] 27:16 37:11</p> <p><b>focus</b> [1] 268:19</p> <p><b>focused</b> [3] 14:19 322:16<br/>322:19</p> <p><b>focusing</b> [1] 151:18</p> <p><b>foisting</b> [1] 129:18</p> <p><b>follow</b> [11] 42:18 105:5<br/>116:17 163:21 168:23<br/>197:24 251:18,19 274:8<br/>280:25 303:18</p> <p><b>follow-up</b> [2] 60:17<br/>136:5</p> <p><b>followed</b> [1] 267:12</p> <p><b>following</b> [8] 11:22<br/>17:18 60:17 200:22<br/>239:24 241:3 282:9<br/>321:23</p> <p><b>footnote</b> [2] 154:3 155:6</p> <p><b>force</b> [1] 79:18</p> <p><b>forces</b> [10] 6:2 10:16 11:7<br/>11:23 12:1 263:14,15,15<br/>263:16,19</p> <p><b>forego</b> [1] 299:10</p> <p><b>foregoing</b> [1] 328:2</p> <p><b>forensic</b> [1] 28:14</p> <p><b>forget</b> [5] 110:17 115:2<br/>115:14 140:5 274:9</p> <p><b>forgetting</b> [1] 134:7</p> <p><b>forgot</b> [2] 113:23 116:2</p> <p><b>form</b> [27] 51:9,11,18,24<br/>52:14 53:5,5,7 82:17<br/>92:24 93:22 114:25<br/>126:16 139:18 182:17<br/>191:6 202:7 206:2,8<br/>208:9,17 210:18,22 211:7<br/>248:16 320:9,13</p> <p><b>formal</b> [14] 55:10 58:11<br/>75:1 76:19 113:5 124:5<br/>124:16 144:12 146:4<br/>174:1 203:20 259:3,4<br/>294:16</p> <p><b>formalin</b> [11] 84:1 229:4<br/>241:8,9 254:24 255:2,8<br/>255:16 276:22,23 277:1</p> <p><b>formalities</b> [1] 146:9</p> <p><b>formalize</b> [1] 63:2</p> <p><b>formalizing</b> [1] 68:1</p> <p><b>formally</b> [3] 35:17 74:20<br/>75:23</p> <p><b>format</b> [7] 61:15 74:4<br/>88:23 92:21 155:2 189:16<br/>189:17</p> <p><b>formats</b> [1] 194:21</p> <p><b>forms</b> [8] 56:14 126:14<br/>126:15,25 136:13 206:7<br/>210:19 247:15</p> |
|--|---|--|--|---|

|   |   |   |  |   |
|---|---|---|--|---|
| <p><b>formula</b> [1] 241:19<br/> <b>formulate</b> [1] 161:23<br/> <b>forth</b> [5] 50:25 51:1<br/> 322:7,7,7<br/> <b>forthwith</b> [1] 240:4<br/> <b>forum</b> [9] 60:8,25 61:3,4<br/> 61:17 67:9,9,12 126:5<br/> <b>forward</b> [3] 141:24<br/> 208:4 262:25<br/> <b>forwarded</b> [1] 283:19<br/> <b>found</b> [9] 33:4 65:18<br/> 69:10 72:21 81:22 84:6<br/> 231:25 240:8 314:19<br/> <b>Foundation</b> [2] 100:12<br/> 101:15<br/> <b>four</b> [19] 61:10 62:10<br/> 70:5 131:5 147:13 160:19<br/> 199:13 202:7 219:8<br/> 227:16,21 240:8 262:12<br/> 262:13 263:5 264:24<br/> 282:1 288:16 291:3<br/> <b>Four-month</b> [1] 58:9<br/> <b>fourth</b> [1] 110:1<br/> <b>France</b> [1] 214:21<br/> <b>Frank</b> [1] 4:14<br/> <b>Frankly</b> [1] 165:24<br/> <b>free</b> [5] 204:1 288:8,9<br/> 321:14,14<br/> <b>freely</b> [1] 289:6<br/> <b>frequency</b> [1] 125:23<br/> <b>frequently</b> [2] 141:23<br/> 144:23<br/> <b>fresh</b> [3] 33:19 82:10<br/> 83:18<br/> <b>fresher</b> [1] 64:20<br/> <b>Friday</b> [1] 255:24<br/> <b>friendly</b> [3] 42:15 71:7<br/> 140:7<br/> <b>friends</b> [1] 305:24<br/> <b>frozen</b> [7] 14:21 23:15<br/> 70:18 83:15,17 219:13<br/> 219:16<br/> <b>FTE</b> [2] 77:24 265:2<br/> <b>fulfil</b> [1] 9:14<br/> <b>full</b> [6] 33:20 233:11<br/> 277:22 291:8 296:17<br/> 297:25<br/> <b>full-fledged</b> [3] 220:1,4<br/> 221:22<br/> <b>full-time</b> [2] 78:5,17<br/> <b>Fullbright</b> [4] 5:25<br/> 10:15,21,24<br/> <b>fully</b> [4] 38:22 105:7<br/> 110:25 189:11<br/> <b>function</b> [3] 46:8 77:6<br/> 326:7<br/> <b>functioning</b> [1] 54:13<br/> <b>funding</b> [1] 316:23<br/> <b>future</b> [2] 110:7 141:19</p> | <p><b>gained</b> [1] 75:24<br/> <b>Gander</b> [2] 76:1 172:16<br/> <b>gastrointestinal</b> [1]<br/> 74:25<br/> <b>gate</b> [1] 114:16<br/> <b>gather</b> [6] 29:2 68:11,19<br/> 81:16 216:15 325:9<br/> <b>general</b> [33] 6:16 16:24<br/> 28:8 29:3 48:12 77:1<br/> 99:12 137:23 139:6 147:5<br/> 147:15 159:15 161:15<br/> 166:1 169:8 173:13<br/> 186:14,20 187:10 189:7<br/> 199:16 200:10 201:7<br/> 204:8,19 217:3 226:25<br/> 243:3 254:8 282:12<br/> 283:12,17 288:25<br/> <b>generally</b> [13] 81:16<br/> 106:14 168:16 169:14<br/> 191:9 217:3 230:6 254:15<br/> 275:18,20 277:7 298:5<br/> 304:24<br/> <b>generate</b> [1] 309:24<br/> <b>generated</b> [1] 210:23<br/> <b>generation</b> [2] 220:22<br/> 221:1<br/> <b>genital</b> [1] 97:25<br/> <b>geographic</b> [1] 326:8<br/> <b>geography</b> [2] 278:20<br/> 279:5<br/> <b>George</b> [10] 6:10 14:3,8<br/> 14:25 15:3 30:6,8 36:2<br/> 83:22 247:11<br/> <b>Georgetown</b> [14] 6:12<br/> 14:4,9,11,22 15:5,8,15<br/> 16:2 29:18,20,23 36:3<br/> 84:2<br/> <b>germane</b> [1] 22:14<br/> <b>Gershon</b> [1] 239:20<br/> <b>given</b> [13] 42:3 66:22<br/> 100:15 171:11,12 190:23<br/> 219:21 247:8 259:5,13<br/> 302:17,20 303:5<br/> <b>giving</b> [9] 58:21 119:13<br/> 150:3,5 183:18 199:19<br/> 274:16 302:15 324:2<br/> <b>glad</b> [5] 179:9 186:6<br/> 188:16 240:23 323:19<br/> <b>glass</b> [1] 47:21<br/> <b>globe</b> [1] 189:14<br/> <b>goal</b> [2] 85:22 279:22<br/> <b>goals</b> [3] 31:22,23 32:5<br/> <b>God</b> [4] 30:22 272:16,17<br/> 272:24<br/> <b>goes</b> [13] 33:18 66:12<br/> 99:12 113:25 177:15<br/> 181:5 182:14 199:1<br/> 257:25 267:15 289:13,14<br/> 290:12<br/> <b>gold</b> [6] 111:23,23 112:1<br/> 112:4,18 202:5<br/> <b>gone</b> [4] 97:8 238:8<br/> 248:20 249:25<br/> <b>good</b> [24] 4:18,20 18:3<br/> 60:7,25 61:2 71:6 80:15<br/> 104:9 127:14 155:3 173:4</p> | <p>183:5 193:18 222:21,21<br/> 262:23 264:14 266:10<br/> 270:4 275:5 285:16<br/> 306:15 312:21<br/> <b>govern</b> [1] 224:21<br/> <b>Grace</b> [29] 20:5,19,25<br/> 21:2,5 22:9 28:24,25<br/> 29:1 87:8 107:20 123:22<br/> 123:24 126:15 131:3<br/> 132:2,5,10,12 133:7,10<br/> 134:14 136:3 142:23<br/> 143:14 282:8,16 283:10<br/> 311:5<br/> <b>grade</b> [1] 242:4<br/> <b>graduated</b> [3] 5:22 7:6<br/> 7:25<br/> <b>Grand</b> [3] 76:2 172:15<br/> 206:12<br/> <b>grant</b> [2] 97:21 98:8<br/> <b>granted</b> [3] 12:15 221:6<br/> 319:2<br/> <b>granting</b> [1] 13:1<br/> <b>grants</b> [2] 225:6 317:16<br/> <b>graphs</b> [1] 277:5<br/> <b>greater</b> [4] 117:13<br/> 148:14,16,19<br/> <b>greatly</b> [1] 205:22<br/> <b>grew</b> [2] 202:8,8<br/> <b>Griffin</b> [1] 199:10<br/> <b>Griffin's</b> [1] 199:21<br/> <b>grosses</b> [1] 25:9<br/> <b>grossing</b> [4] 24:18,20<br/> 25:5,6<br/> <b>group</b> [28] 42:16 44:9,15<br/> 47:8 61:15 75:22 82:19<br/> 87:16 99:4 116:10 117:24<br/> 127:8 130:16 133:3,7<br/> 142:18 162:11 201:4<br/> 202:13 213:24 214:1,10<br/> 215:7 240:19 264:1 267:9<br/> 306:17 325:8<br/> <b>grouped</b> [1] 135:13<br/> <b>groups</b> [2] 263:14 267:8<br/> <b>growing</b> [1] 52:23<br/> <b>guarantee</b> [3] 100:2<br/> 303:13 322:8<br/> <b>guarantees</b> [2] 303:12<br/> 322:9<br/> <b>guess</b> [20] 35:6 42:4<br/> 44:17 47:4 48:1,25 129:4<br/> 145:1 221:25 222:23<br/> 227:23 257:14 258:8<br/> 276:2 277:9,16 284:13<br/> 290:13 295:3 309:9<br/> <b>guidance</b> [1] 42:10<br/> <b>guideline</b> [1] 189:4<br/> <b>guidelines</b> [5] 67:25<br/> 189:5 267:13,19 268:9<br/> <b>Gulliver</b> [23] 45:5,7,16<br/> 48:14 49:1 104:7 105:6<br/> 106:16 107:16,16 110:24<br/> 113:2 123:14 125:15<br/> 146:1 163:17 164:2<br/> 169:22 175:6 198:9,18<br/> 213:2 258:9<br/> <b>Gulliver's</b> [2] 46:2 48:16</p> | <p><b>guy</b> [2] 289:13,14<br/> <b>guys</b> [7] 48:7 64:20 65:6<br/> 66:25 88:18 181:11<br/> 255:13<br/> <b>Gynaecology</b> [1] 74:25<br/> <b>gynecologic</b> [1] 14:16<br/> <b>gynecological</b> [3] 6:1<br/> 11:8,13<br/> <b>Gynecology</b> [1] 17:10</p> <hr/> <p style="text-align: center;"><b>-H-</b></p> <hr/> <p><b>h</b> [5] 83:13 86:13,13<br/> 251:10,10<br/> <b>H&amp;E</b> [4] 53:17 54:19<br/> 55:24 57:1<br/> <b>H-M-O-U-D</b> [1] 4:13<br/> <b>habit</b> [1] 53:3<br/> <b>Haegert</b> [34] 15:25 17:6<br/> 18:14,20,22,25 19:7,13<br/> 21:23 42:6 48:20 49:1<br/> 62:1 80:8 84:9,23 104:5<br/> 123:13 125:15 126:17<br/> 136:4 139:3 141:18<br/> 145:24 163:16 164:2<br/> 169:21 172:3 175:5 198:8<br/> 213:21 215:25 225:14,16<br/> <b>Haegert's</b> [2] 19:4 86:19<br/> <b>half</b> [2] 30:2 184:11<br/> <b>hall</b> [2] 50:20 113:7<br/> <b>hamsters</b> [1] 12:24<br/> <b>hand</b> [13] 51:14 108:12<br/> 110:12,13,20 112:7,8<br/> 119:14 167:11,25 184:9<br/> 193:14 198:5<br/> <b>handle</b> [2] 27:15 285:17<br/> <b>handled</b> [1] 173:5<br/> <b>handling</b> [6] 25:23,24<br/> 25:25 26:5 270:19 271:1<br/> <b>hands-on</b> [1] 30:8<br/> <b>handwriting</b> [2] 175:21<br/> 206:10<br/> <b>handwritten</b> [2] 146:18<br/> 164:17<br/> <b>happening</b> [7] 86:9<br/> 118:11 281:20 284:1,18<br/> 308:19 324:14<br/> <b>happy</b> [3] 92:12 130:24<br/> 221:23<br/> <b>hard</b> [1] 128:9<br/> <b>hat</b> [1] 317:14<br/> <b>He'd</b> [1] 138:1<br/> <b>head</b> [4] 47:13 120:23<br/> 184:20 193:5<br/> <b>heading</b> [2] 58:25 150:12<br/> <b>health</b> [46] 1:11,17 17:15<br/> 18:6 19:10,18 21:4,18<br/> 48:12 59:11 100:23<br/> 101:25 117:25 123:10<br/> 126:2,23 128:20 131:2<br/> 134:17 146:20 155:21<br/> 158:8 164:10 165:21<br/> 166:8,13 172:4 178:14<br/> 180:4,5 205:16 209:4<br/> 210:3 211:18 215:11<br/> 221:4 241:21 271:23,23</p> | <p>280:10 281:5,15 290:11<br/> 305:1 323:3 324:20<br/> <b>hear</b> [5] 143:13,19 144:7<br/> 151:11 319:23<br/> <b>heard</b> [13] 22:2 24:18<br/> 25:17 93:5 231:16,21<br/> 253:12 272:12,16 273:3<br/> 314:10 319:20 328:5<br/> <b>heat</b> [1] 91:3<br/> <b>heating</b> [8] 90:17,17<br/> 91:15,17 95:9,10 97:2<br/> 112:21<br/> <b>held</b> [2] 125:12 128:7<br/> <b>help</b> [5] 15:10 39:21<br/> 244:23 255:21 281:19<br/> <b>helped</b> [2] 255:22 325:17<br/> <b>helpful</b> [1] 69:11<br/> <b>hematology</b> [2] 43:13<br/> 43:24<br/> <b>Hennebury</b> [1] 1:9<br/> <b>Henry</b> [1] 11:9<br/> <b>Her-2-neu</b> [2] 97:24<br/> 98:1<br/> <b>HER2/neu</b> [1] 300:19<br/> <b>hereby</b> [1] 328:2<br/> <b>hers</b> [1] 67:3<br/> <b>hey</b> [1] 300:23<br/> <b>hidden</b> [1] 61:5<br/> <b>high</b> [8] 54:12,12 120:12<br/> 177:1,21 286:19 290:11<br/> 317:9<br/> <b>higher</b> [6] 95:14 119:8<br/> 241:22 261:11,14 291:14<br/> <b>highest</b> [2] 116:19<br/> 288:14<br/> <b>highlights</b> [1] 215:12<br/> <b>highly</b> [1] 10:24<br/> <b>hired</b> [1] 268:1<br/> <b>his/her</b> [1] 172:8<br/> <b>histochemistry</b> [2]<br/> 53:19 260:12<br/> <b>histology</b> [4] 54:19 55:24<br/> 57:5,12<br/> <b>historically</b> [1] 235:20<br/> <b>history</b> [1] 35:15<br/> <b>histotech</b> [1] 136:14<br/> <b>histotechnologists</b> [19]<br/> 44:15 45:8 57:9,16,20<br/> 102:11,13,24 103:23<br/> 107:24 134:24 165:9,12<br/> 165:25 166:5 258:20<br/> 261:5,7,16<br/> <b>Histotechnology</b> [2]<br/> 102:6 260:16<br/> <b>hit</b> [2] 94:22 108:13<br/> <b>hold</b> [3] 18:20 101:1<br/> 131:8<br/> <b>holders</b> [1] 11:3<br/> <b>holiday</b> [1] 214:11<br/> <b>hollow</b> [1] 255:1<br/> <b>home</b> [7] 12:4 38:20,23<br/> 38:25 39:11 279:1,1<br/> <b>honestly</b> [1] 79:4</p> |
| <p style="text-align: center;"><b>-G-</b></p> <p><b>g</b> [1] 83:13<br/> <b>gain</b> [3] 290:6,9,10</p>   |   |   |  |   |

|   |   |   |  |   |  |
|---|---|---|--|---|--|
| <p><b>Honourable</b> [2] 1:3<br/>328:6</p> <p><b>Honours</b> [1] 245:8</p> <p><b>hope</b> [3] 37:7 120:11<br/>220:25</p> <p><b>hopefully</b> [2] 128:6<br/>240:7</p> <p><b>hoping</b> [2] 280:2 324:5</p> <p><b>Hopkins</b> [3] 65:5,14<br/>70:11</p> <p><b>Hopkins'</b> [1] 65:6</p> <p><b>hormone</b> [5] 1:2 168:3<br/>190:12 228:22 328:4</p> <p><b>Horton</b> [1] 255:11</p> <p><b>hospital</b> [62] 6:16,19<br/>7:17 16:19,24 20:4,5,6<br/>20:18,20,25 21:2,5 28:8<br/>29:3 30:25,25 48:13 77:1<br/>87:8 97:17 104:16 117:23<br/>122:1,1 125:13 132:2,5<br/>132:12 133:10 139:6<br/>147:15 159:16 166:1<br/>173:13 178:9 186:20<br/>187:10 189:6,7 199:16<br/>200:9,11 201:7 204:8,19<br/>210:7 212:5 217:3 225:1<br/>227:1 234:20 254:8<br/>272:18 274:1 282:12<br/>283:10,17 286:23 291:20<br/>304:1 311:5</p> <p><b>hospitals</b> [16] 20:1 21:12<br/>21:17,20 71:15 126:6<br/>180:7 239:20 256:2 261:4<br/>267:15 272:7 283:6<br/>286:17 305:8 316:14</p> <p><b>host</b> [3] 11:10 72:4<br/>188:14</p> <p><b>hot</b> [1] 276:21</p> <p><b>hotel</b> [1] 234:14</p> <p><b>hours</b> [3] 34:21 241:9<br/>276:25</p> <p><b>HSC</b> [1] 239:19</p> <p><b>huge</b> [5] 39:9 40:7,7<br/>105:14 264:19</p> <p><b>human</b> [3] 31:19 73:2<br/>297:8</p> <p><b>hundred</b> [1] 61:11</p> <p><b>hurry</b> [1] 187:3</p> <p><b>hurt</b> [1] 289:2</p> | <p><b>IHC</b> [39] 54:5,18 55:25<br/>57:2,4,16 74:4 81:21<br/>89:18,19 90:3,8 91:2<br/>93:17 128:13 129:2,13<br/>152:9,25 158:9 159:17<br/>173:20 176:1,23 177:2<br/>218:8,11,21 230:19<br/>231:20 269:9 294:22<br/>306:20 307:2,5,13 309:3<br/>313:3 315:9</p> <p><b>II</b> [3] 178:19 179:12 186:3</p> <p><b>III</b> [1] 186:18</p> <p><b>ill</b> [1] 264:8</p> <p><b>image</b> [1] 184:19</p> <p><b>imagine</b> [1] 35:4</p> <p><b>imitate</b> [1] 272:23</p> <p><b>immediate</b> [4] 31:22,22<br/>32:5 63:25</p> <p><b>immediately</b> [1] 37:15</p> <p><b>immuno</b> [8] 116:16,18<br/>116:23 121:9 136:8 191:4<br/>192:10,15</p> <p><b>immunohisto</b> [1] 128:18</p> <p><b>immunohistochemical</b><br/>[26] 118:20 146:21 147:2<br/>147:16 148:13,17 153:21<br/>154:19 161:8 164:11<br/>167:13 168:1 176:16<br/>188:7 190:6 198:13<br/>208:24 229:2 239:21,23<br/>240:11,22 271:18 276:8<br/>298:16 304:17</p> <p><b>immunohistochemistry</b><br/>[35] 53:12,13,20,24 54:7<br/>57:10,21 83:11,14,21,24<br/>84:5 85:4,13 86:14 87:16<br/>98:24 99:3 101:3 112:20<br/>117:16 118:25 134:5<br/>136:21 146:16 149:23<br/>152:22 156:13,18 204:16<br/>218:6 251:11 254:18<br/>259:1 311:23</p> <p><b>immunology</b> [1] 53:25</p> <p><b>immunoperoxidase</b><br/>[14] 124:2 127:5,16,18<br/>131:18 133:16,18,23<br/>135:11 169:25 171:1,6<br/>199:8,12</p> <p><b>immunostain</b> [3] 178:25<br/>230:10 240:25</p> <p><b>immunostaining</b> [6]<br/>139:11,13 199:14,20<br/>201:3,12</p> <p><b>immunostains</b> [2] 241:4<br/>241:10</p> <p><b>impacting</b> [1] 271:14</p> <p><b>impetus</b> [1] 73:17</p> <p><b>implement</b> [4] 127:18<br/>128:17 311:23 321:4</p> <p><b>implemented</b> [2] 52:18<br/>321:13</p> <p><b>implications</b> [1] 105:13</p> <p><b>import</b> [1] 278:21</p> <p><b>importance</b> [3] 25:23<br/>231:19 320:19</p> <p><b>important</b> [19] 31:23<br/>71:23 72:7,8 111:11,12</p> | <p>111:12 130:25 224:20,21<br/>231:25 233:3,4 276:3,3<br/>276:19 317:21 320:20<br/>326:22</p> <p><b>importantly</b> [1] 65:1</p> <p><b>Importing</b> [1] 279:24</p> <p><b>impressed</b> [3] 54:2,9<br/>317:8</p> <p><b>impression</b> [5] 42:5 84:3<br/>200:8 212:13 310:22</p> <p><b>improve</b> [5] 34:2 69:10<br/>69:21,22 323:6</p> <p><b>improved</b> [5] 27:8,12<br/>31:15 73:13 323:2</p> <p><b>improvement</b> [2] 27:10<br/>72:23</p> <p><b>improvements</b> [1]<br/>69:25</p> <p><b>improving</b> [2] 35:17<br/>245:12</p> <p><b>in-house</b> [3] 104:25<br/>139:11,13</p> <p><b>in-service</b> [2] 58:9,15</p> <p><b>inaccurate</b> [1] 300:22</p> <p><b>incident</b> [4] 40:3 174:4<br/>263:25 282:24</p> <p><b>incidents</b> [1] 305:23</p> <p><b>include</b> [2] 51:6 282:5</p> <p><b>included</b> [7] 86:1 152:17<br/>168:21 192:11 219:12<br/>242:3 322:9</p> <p><b>includes</b> [1] 86:3</p> <p><b>including</b> [11] 28:12,13<br/>30:9,10 123:13 124:1<br/>201:5 204:21 216:1<br/>251:24 305:4</p> <p><b>inclusive</b> [3] 4:24,25<br/>243:9</p> <p><b>income</b> [1] 38:5</p> <p><b>incomes</b> [1] 41:15</p> <p><b>inconsistencies</b> [1]<br/>271:1</p> <p><b>inconsistent</b> [1] 271:11</p> <p><b>increase</b> [2] 32:25<br/>119:19</p> <p><b>increases</b> [2] 108:14<br/>241:12</p> <p><b>increasing</b> [1] 39:23</p> <p><b>indeed</b> [1] 320:23</p> <p><b>independently</b> [1] 15:12</p> <p><b>indicate</b> [2] 206:24 260:5</p> <p><b>indicated</b> [26] 7:6 8:20<br/>11:16 26:18 31:11 37:19<br/>41:8 62:24 66:2 74:6<br/>89:17 91:22 93:19,20<br/>95:8 178:22 258:4 277:21<br/>291:5 297:15 303:17<br/>304:15 307:1,20 325:13<br/>325:17</p> <p><b>indicates</b> [1] 192:15</p> <p><b>indicating</b> [1] 309:22</p> <p><b>indication</b> [2] 11:24<br/>128:22</p> <p><b>indicator</b> [1] 155:5</p> | <p><b>indicators</b> [2] 275:21,22</p> <p><b>individual</b> [10] 92:17<br/>127:23 129:23 171:7,20<br/>186:10 215:16 266:18<br/>278:14 296:19</p> <p><b>individually</b> [1] 300:5</p> <p><b>individuals</b> [4] 44:14<br/>101:16 123:12,13</p> <p><b>induced</b> [1] 91:3</p> <p><b>induces</b> [1] 119:11</p> <p><b>industry</b> [2] 110:14,19</p> <p><b>influence</b> [3] 106:18<br/>126:4 297:8</p> <p><b>inform</b> [1] 240:23</p> <p><b>informal</b> [2] 67:4 144:12</p> <p><b>informally</b> [1] 35:17</p> <p><b>information</b> [24] 51:7<br/>205:18 241:3 278:14<br/>280:19 282:1,5,7,10,13<br/>282:15,17 283:2,11,20<br/>284:2,10,15,16 286:18<br/>296:15,17 299:7 320:20</p> <p><b>informative</b> [1] 243:7</p> <p><b>informed</b> [1] 203:18</p> <p><b>ingredients</b> [3] 299:19<br/>299:25 302:3</p> <p><b>inherent</b> [1] 288:4</p> <p><b>initial</b> [2] 15:21 211:25</p> <p><b>initials</b> [2] 29:10 206:13</p> <p><b>Initiate</b> [1] 139:10</p> <p><b>initiated</b> [1] 139:21</p> <p><b>initiation</b> [1] 139:12</p> <p><b>initiative</b> [3] 84:10<br/>265:17 267:5</p> <p><b>initiatives</b> [2] 219:12<br/>226:20</p> <p><b>injected</b> [1] 12:24</p> <p><b>input</b> [1] 121:21</p> <p><b>inquire</b> [4] 147:5 161:10<br/>234:4,4</p> <p><b>inquiries</b> [5] 136:24<br/>138:1 161:15 162:20<br/>234:2</p> <p><b>Inquiry</b> [3] 1:1 328:4,7</p> <p><b>inside</b> [1] 255:2</p> <p><b>insight</b> [1] 273:23</p> <p><b>inspect</b> [2] 318:23 319:10</p> <p><b>inspection</b> [1] 319:9</p> <p><b>instead</b> [2] 133:24<br/>163:13</p> <p><b>institute</b> [10] 6:2 10:17<br/>11:23 12:1,22 59:16<br/>68:13 73:1 220:23 241:21</p> <p><b>instituted</b> [1] 266:15</p> <p><b>institution</b> [11] 69:3<br/>99:20 129:12 187:9<br/>210:12 211:24 252:16<br/>272:20 277:14 278:13<br/>303:18</p> <p><b>Institutional</b> [1] 285:1</p> <p><b>institutions</b> [5] 36:19<br/>36:21 37:13 83:4 267:2</p> <p><b>instruct</b> [1] 26:7</p> | <p><b>instructing</b> [1] 207:8</p> <p><b>instruction</b> [2] 206:20<br/>208:3</p> <p><b>instructive</b> [1] 242:6</p> <p><b>instructor</b> [1] 15:11</p> <p><b>Integrated</b> [2] 1:10,17</p> <p><b>intensity</b> [1] 241:23</p> <p><b>intention</b> [2] 145:1 215:5</p> <p><b>inter-operative</b> [1]<br/>14:20</p> <p><b>interact</b> [3] 47:15 56:5<br/>56:12</p> <p><b>interaction</b> [1] 47:8</p> <p><b>interactions</b> [1] 259:8</p> <p><b>interdepartmental</b> [1]<br/>24:6</p> <p><b>interest</b> [11] 24:11 75:3<br/>93:22 245:7,14,16 246:5<br/>248:22 275:9 284:6<br/>287:14</p> <p><b>interested</b> [14] 14:23<br/>18:13 24:2 74:22,23,24<br/>98:4 101:7 102:14,15<br/>129:13 156:15 179:7<br/>186:4</p> <p><b>interesting</b> [1] 292:21</p> <p><b>Interests</b> [1] 245:4</p> <p><b>interfaced</b> [1] 320:2</p> <p><b>interference</b> [1] 64:1</p> <p><b>intern</b> [1] 10:8</p> <p><b>internal</b> [41] 67:6,8<br/>149:11 229:21,22,23,23<br/>230:1,9,21 231:6,17<br/>232:9,13,15,17 233:1,7<br/>233:11,12,19 234:18,23<br/>234:25 235:6,9,13,17,18<br/>235:24 236:4,11,24<br/>241:14 242:22 243:19<br/>244:3 268:9,20 269:1<br/>271:11</p> <p><b>internally</b> [1] 260:2</p> <p><b>internship</b> [4] 7:17,20<br/>8:1 10:9</p> <p><b>interoperative</b> [2]<br/>219:17,22</p> <p><b>interpret</b> [3] 132:2,13<br/>270:8</p> <p><b>interpretation</b> [1]<br/>131:24</p> <p><b>interpretative</b> [1]<br/>319:14</p> <p><b>interview</b> [1] 15:23</p> <p><b>intimidated</b> [1] 174:15</p> <p><b>introduce</b> [2] 84:13<br/>111:25</p> <p><b>introduced</b> [4] 38:21<br/>84:15 177:2 230:5</p> <p><b>introducing</b> [2] 101:4<br/>115:13</p> <p><b>introduction</b> [4] 84:18<br/>167:15 246:25 319:24</p> <p><b>introductory</b> [1] 177:16</p> <p><b>invasive</b> [5] 139:16<br/>141:11 178:23 237:23<br/>238:1</p> |  |
| <p><b>-I-</b></p>   |   |   |  |   |  |
| <p><b>I-Port</b> [1] 281:5</p> <p><b>i.e</b> [1] 233:12</p> <p><b>Idaho</b> [1] 156:17</p> <p><b>idea</b> [14] 53:9 91:10 124:4<br/>124:13 130:3,23 131:11<br/>137:20,21 180:17 197:2<br/>214:14 229:25,25</p> <p><b>ideal</b> [1] 277:21</p> <p><b>ideology</b> [1] 165:10</p> <p><b>ideas</b> [2] 200:6 247:9</p> <p><b>identical</b> [1] 293:24</p> <p><b>identify</b> [2] 114:18<br/>325:19</p> <p><b>identifying</b> [1] 122:16</p>  |   |   |  |   |  |

**investigated** [1] 130:5  
**investigation** [1] 23:11  
**investigations** [1] 162:10  
**invite** [1] 102:12  
**invited** [8] 102:3,21 103:4,6 124:14 129:19 305:9,20  
**inviting** [1] 121:21  
**involve** [3] 103:15 111:19 115:16  
**involved** [37] 19:12,21 24:4 25:18 37:5 46:11 48:9 50:5 56:12,20 58:7 58:17 76:15 83:2 87:19 89:18 90:16 92:15,16,18 93:16 94:8 96:12 98:17 100:15 106:7 107:9 110:21 113:25 127:9 138:5 173:24 223:15 230:19 294:10 308:18 310:9  
**involvement** [1] 43:18  
**involves** [1] 111:10  
**involving** [7] 46:10 90:6 91:2 100:16 113:19 227:13 260:7  
**IRB** [1] 284:25  
**island** [4] 103:8,10 180:25 247:24  
**issue** [30] 52:9 63:13 87:9 105:23 107:6 113:6 128:4 134:12 136:19 140:1 141:18 156:5 165:6 167:3 169:9 170:8,19 188:15 189:2 242:22 254:20,21 254:21 271:11 278:2 283:3,5 300:7 301:5 324:4  
**issues** [17] 25:7 27:13 68:18 69:9 83:9 107:18 113:15,19 143:10 161:22 224:20 241:6 262:5 264:1 271:8 279:2 289:20  
**item** [4] 170:1 175:1 204:16 281:25  
**items** [1] 197:24  
**itself** [11] 66:17 90:4 91:9 127:9 196:4 198:7 220:15 245:24 252:22 297:23 299:23

**-J-**

**J** [1] 11:9  
**Janeway** [4] 20:6 21:13 22:15 104:16  
**January** [7] 147:19 167:14 168:2 169:20 172:14 281:23 291:4  
**Jennifer** [4] 1:15 2:5 275:3,6  
**job** [6] 42:3 55:14 59:13 108:6 120:20 261:17  
**jobs** [1] 108:9  
**Joe** [1] 63:21  
**jog** [1] 281:19

**John** [5] 65:4,6,14 123:15 123:16  
**John's** [113] 6:16 15:23 16:5,8,12 18:8,21 19:11 19:17,19 20:1,9,18 22:23 25:11 29:17 31:12,21 33:4,22 36:6,8,13,15,16 38:3,19 39:12 50:13 53:13 59:12 63:1,4 68:3 69:4 70:6 71:22 72:22 73:4,6,11 74:5,7,16 75:16,21 76:16,20 77:8 77:9 81:23 82:2,4 84:5 92:16,24 93:10,17 94:9 97:23 98:4,7 99:14 100:16 116:1 123:11 124:7 126:23 145:3 172:5 173:7,17,18 174:3 176:21 181:22 196:16 200:4,10 209:21,22 210:19 212:5 212:10,18,20 213:8 216:20 217:2 223:7,9,13 224:9 226:11 227:16,21 228:11 239:13 252:3,11 252:14 254:8 258:21 260:21 261:12 267:25 281:20 284:14 287:7 305:9,15 328:8,11

**join** [2] 21:3,3  
**journal** [5] 154:9,10 155:7 192:19 251:9  
**journals** [1] 243:17  
**judgment** [1] 185:7  
**Judy** [2] 328:2,13  
**juggle** [1] 107:17  
**July** [5] 1:4 6:17 217:10 328:5,12  
**June** [25] 13:21 20:11,13 123:23 124:13 125:7 128:7 131:17 133:15 136:1,2,12,15 138:7,8 138:10 142:17 208:10,15 208:15,21,25 209:24 210:5 216:15

**junior** [3] 6:11 14:23 15:9  
**jurisdiction** [1] 325:8  
**jurisdictions** [1] 278:23  
**Justice** [2] 1:3 328:6

**-K-**

**K** [1] 66:19  
**K-H-A-L-I-F** [1] 4:13  
**Kara** [1] 1:9  
**keen** [1] 126:1  
**keenness** [1] 69:7  
**keep** [9] 62:13 64:24 67:7 96:1 110:14,18 244:21 295:7 310:25  
**keeper** [1] 114:17  
**keeping** [5] 141:2 219:24 226:4,14 287:9  
**kept** [12] 52:22 61:21,22 62:20 67:6 95:21 124:16 125:3 170:21 253:17 309:16 326:18

**Kettering** [3] 75:12,13 75:16  
**Khalifa** [715] 2:2 4:4,5 4:10,12,13,19 5:14,21 7:13,22 8:2,14,25 9:5,11 10:4,10,23 11:19 12:2 12:21 13:9,15,22 14:2 14:10 15:2,7,16,20 16:9 16:14,20 17:4,17 18:9 18:17,24 19:6,23 20:3 20:10,15,22 21:9,14,21 22:5,10,17 23:2,23 24:24 25:21 26:4,15,21 27:4 27:22 28:4,11,21 29:5 29:11,22 30:7,15,19 31:4 31:8,16,25 32:4,10,14 32:18,23 33:6,12 34:9 36:7,14,20 37:6,16,22 38:8,12,18 39:4,8 41:17 41:25 42:24 43:9,15,19 44:2,8,24 45:4,10,17,23 46:4,12,16 47:11 48:24 49:5,9,13,18,22 50:9,15 52:7 53:2,15,23 54:6,22 55:2,6,12,19 56:1,16,21 57:7,18,25 58:4,8,12,16 59:7,20 61:24 62:17,21 63:8 64:7 65:15,19,24 66:7 68:4,8,17 69:5,17 70:4,16 71:21 72:13,18 72:24 73:14,19,23 74:10 74:18 76:17 77:3,10,14 77:21 78:6,12,19,25 80:9 80:14 82:5 84:20,24 85:3 87:12 88:3,7 89:21,25 90:9,13,19,24 91:5,14 91:19 92:4,19 93:1,6,11 93:23 94:5,10,18 95:12 95:18,23 96:2,16,20,24 97:4,9,15 98:21 99:15 99:21 100:18 101:21 102:9 103:11,16,25 106:9 106:20,24 107:5,14 108:20,25 109:3,6,16 110:2,9 111:6,14,20 113:4,13,21 114:5,10 115:22 116:3,7 117:21 118:10 121:18,23 122:4 122:11,18,22 123:17 124:9,18,22 125:14,19 125:25 127:1,10,13 128:10,15 129:3,15,20 130:6 131:13,21 132:3 132:15,20 133:2 134:2 135:15,23 137:2,6,13,19 138:3,17,23 139:7 140:4 140:8 142:20,24 143:4,9 143:16,22 144:6,16,25 145:7,17 146:4,6,10,14 147:3,6,8,20,22,24 148:1 148:9,25 149:5 150:15 150:19 151:1,9 152:1,5 152:13 153:3,10 154:7 154:14 155:9,15,20 156:1 156:11 157:9,13,22 158:14,18 159:3,10,18 159:22 160:1,6,12 161:1 161:16 162:17,21 163:1 163:14 164:18 165:16,20 166:7,12,18,23 167:2,5 167:18 168:10,17 169:10 169:15 170:2,13,22 171:14,15,22 172:3,6,17

173:3,9,14,25 174:20 175:5,8,10,16 176:4,9 177:7,12 178:7 179:17 179:25 182:1,6,18 183:7 183:20 184:2,18 185:2 185:18,25 186:15,25 187:12,17,21 188:2,21 188:25 189:24 190:9,20 191:13,17,24 192:5,21 193:2 194:10,14,23 195:4 195:12,17,22 196:1,6,12 196:20 197:8,15 198:8 198:10,11,21 199:1,23 201:9,13,18 202:2,15,22 203:4,8,18,23 204:10 205:5,10 206:1,15,21 207:1,5,10,16,20,25 208:5,18 209:9,13,17,23 210:2,21 211:3,8,13 212:1,7,12,21 213:4,10 213:21 214:5,17 215:6 215:19 216:12,17,24 217:6,14,19,24 218:12 218:17,22 219:1,10 220:7 220:13 222:14,20 223:3 223:17,22 224:1,10,16 225:19 226:7,15 227:15 227:20 228:5,12,20 229:8 230:2,8,22 231:12,22 232:12 234:3,8,12 236:6 236:13,17 237:3 238:5 238:11,18,23 239:14 240:15 242:12,21 243:21 244:20 245:15,20,25 246:6,11 249:3,16 250:1 250:20 251:4 252:4,8 253:1,5,22 254:1,12,16 256:8,17,21,25 257:5,17 257:24 258:7,15,22 259:16,21 260:9,13,17 260:22 261:1,13,21 262:1 262:14 263:2,8,12 264:11 265:10 266:2,4,8,11,21 267:4,24 268:12 269:10 269:15,21 270:1,12,22 271:5 272:2,8,14 273:5 273:11,15,20 274:2,21 275:3,5,15,19 276:9,14 277:18,25 278:16 279:7 279:19 280:22 282:23 283:4,9,21 284:8,21 285:11 286:6,10,16 287:2 287:11,22 288:3 290:5 290:21 291:9,18 292:6 292:13,20 293:5,10,14 293:19,25 294:6,12,18 294:25 295:9 296:12,16 296:23 297:3,7,12,19 298:2,8,20 299:2,12 301:11,18 302:7,12,22 303:2,10,22 304:2,20,25 305:11,22 306:4,7,9,13 306:15 307:7,19 308:16 309:5,10,14,23 310:5,21 311:20 312:19,21 313:11 313:15,20 314:2,6,16,21 315:11,15,22 316:11,24 317:24 318:7,13,17,21 319:16 320:4,10,14,22 321:21 322:18,23 323:16 323:19,23 325:2,10,21 326:3,9,15 327:2  
**kidding** [1] 70:20

**kids** [1] 253:7  
**kind** [25] 10:19 47:13 57:3 61:5,22 63:11 78:9 83:14 97:13 98:11 103:1 124:5 126:3 130:8 157:12 196:23 200:7 213:13 225:9 228:8 231:5 243:6 257:13 288:11 315:7  
**kindly** [1] 292:15  
**kit** [37] 86:2 92:7,18,21 92:24 94:1 104:8,22 105:2,4 106:1,5,19 109:12,22 111:4 156:19 156:20 293:13 297:17,23 298:7,17,21 299:5,6,8 299:11,13 300:19,21 301:1,9,16 302:2,21 311:25  
**kits** [9] 92:16,21 93:2 106:4 108:19 299:22 300:6,16,19  
**knew** [15] 34:20 43:20 45:25 69:9 89:9 100:22 104:11 120:19 173:7 178:15 217:7,11 242:17 291:19 305:25  
**knowledge** [9] 12:5,11 98:22 217:25 243:2 258:2 300:9 307:16 315:9  
**knowledgeable** [2] 39:19 118:2  
**known** [21] 9:12 14:21 17:7 25:1 82:7,18 89:4 95:3 96:19 112:13 119:2 120:3 179:19 184:5 231:7 231:9,9 233:4 237:4 259:17 296:21  
**knows** [3] 30:22 60:23 255:25  
**kosher** [1] 268:25

**-L-**

**L** [4] 86:13,13,13 251:10  
**lab** [68] 23:5,6 27:8,24 30:21 33:15 41:23 44:16 44:19,23 50:21 51:16 52:9 53:17,25 54:8,10 54:11,13,18 55:23 56:3 56:4,9 63:20 82:14,16 85:4,10 92:11 95:6 96:10 98:20 108:5 110:20 112:1 112:16 114:11,24 115:13 134:9,18 136:21 166:8 166:14 181:9 182:14 183:2 200:10 210:7 225:5 254:19 255:10 270:3 275:12 277:11,13 280:17 284:7 291:22 307:5 308:11,15,19 317:5 319:5 319:7,13  
**labelled** [1] 96:4  
**labels** [2] 47:25 48:2  
**laboratories** [2] 223:8 273:14  
**laboratory** [20] 41:24 43:7,8,13 48:18 49:12 56:25 90:4 91:8 104:14 126:17,21 139:19 179:4

|   |   |   |  |  |
|---|---|---|--|--|
| <p>218:5 223:13 273:8 274:1<br/>317:7 325:20</p> <p><b>Labrador</b> [6] 144:4<br/>255:24 256:1 275:7 328:8<br/>328:11</p> <p><b>Labrador-Grenfell</b> [1]<br/>1:16</p> <p><b>labs</b> [14] 44:18 107:19<br/>174:8 180:2 224:25 225:2<br/>261:16 267:16 277:10<br/>317:5 318:5,10,16,25</p> <p><b>lady</b> [1] 205:20</p> <p><b>laid</b> [2] 56:25 57:6</p> <p><b>Laing</b> [1] 1:9</p> <p><b>Lake</b> [1] 103:5</p> <p><b>landmark</b> [1] 72:25</p> <p><b>language</b> [4] 130:15<br/>238:13 321:8 322:11</p> <p><b>laptop</b> [2] 80:22,24</p> <p><b>large</b> [10] 34:12,14 35:1<br/>153:2,8 156:9 271:24<br/>313:7 316:22,23</p> <p><b>larger</b> [6] 30:14 31:3,7<br/>154:1,6,8</p> <p><b>larges</b> [1] 35:2</p> <p><b>largest</b> [2] 30:21 313:22</p> <p><b>Larkin</b> [1] 213:22</p> <p><b>last</b> [17] 4:13 70:19<br/>103:22 104:10 111:9<br/>125:20 141:10 152:9,19<br/>164:6 190:7 226:21 240:1<br/>245:8 282:14 323:20<br/>324:10</p> <p><b>late</b> [13] 23:6,17 41:10<br/>72:22 73:12 74:2,5 83:3<br/>93:10 98:4 104:10 213:1<br/>223:12</p> <p><b>lawyers</b> [1] 279:9</p> <p><b>layer</b> [5] 64:13 65:2<br/>76:10 230:14 242:23</p> <p><b>lead</b> [1] 248:10</p> <p><b>leadership</b> [7] 69:11<br/>72:3 79:14 84:9 221:13<br/>245:12 280:24</p> <p><b>leading</b> [1] 243:18</p> <p><b>learn</b> [6] 61:4 79:25<br/>221:3,9 288:19 289:20</p> <p><b>learned</b> [5] 12:5,11<br/>130:9 271:22 278:19</p> <p><b>learning</b> [4] 72:5 289:14<br/>294:14 324:16</p> <p><b>least</b> [26] 35:8 40:4 41:12<br/>42:16 60:22 61:6,13 62:3<br/>71:13 81:20 96:13 115:25<br/>133:18 156:21 170:17<br/>205:25 213:8 223:14<br/>229:15 260:5 274:15<br/>296:7 300:24 305:5,23<br/>325:18</p> <p><b>leave</b> [8] 64:23 76:25<br/>183:2 214:3 226:12<br/>246:19 265:11 312:23</p> <p><b>leaves</b> [3] 64:12 194:18<br/>270:2</p> <p><b>leaving</b> [4] 135:6 214:24<br/>226:11 228:4</p> | <p><b>lecture</b> [3] 100:16 101:13<br/>101:17</p> <p><b>lectures</b> [3] 58:25 100:9<br/>102:3</p> <p><b>left</b> [26] 20:8,18 21:7,17<br/>39:22,25 54:10 57:19<br/>64:9,24 68:22 69:16,18<br/>100:24 136:23 213:14<br/>216:15,20 217:18 227:17<br/>228:4,10 266:17 267:25<br/>269:20 287:12</p> <p><b>left-hand</b> [1] 216:7</p> <p><b>legal</b> [2] 105:13 325:9</p> <p><b>legally</b> [1] 224:18</p> <p><b>lesions</b> [1] 12:25</p> <p><b>less</b> [17] 11:20 14:13 36:4<br/>36:9,11 38:24 72:16<br/>126:7 148:13,18 168:24<br/>192:16 203:17 219:18<br/>237:23 238:3 241:18</p> <p><b>lethal</b> [1] 112:24</p> <p><b>letter</b> [22] 62:1 104:4,6<br/>116:13 117:19 136:2<br/>140:12 143:2 174:2 199:9<br/>199:21 205:15,24 206:8<br/>206:19,19 211:19 225:13<br/>225:15 282:2,4 305:2</p> <p><b>letters</b> [1] 126:18</p> <p><b>level</b> [17] 37:1,2 39:7<br/>82:23 108:14 120:17,18<br/>174:10,10 221:14 241:15<br/>259:24 263:22 286:20,22<br/>307:15 310:19</p> <p><b>levels</b> [10] 38:3 48:4,5,5<br/>48:7,8 165:11,25 166:4<br/>233:18</p> <p><b>liaison</b> [1] 262:4</p> <p><b>license</b> [1] 7:18</p> <p><b>licensed</b> [1] 156:21</p> <p><b>life</b> [3] 223:10 264:5,12</p> <p><b>light</b> [1] 244:8</p> <p><b>liked</b> [3] 76:8,9 103:3</p> <p><b>likelihood</b> [2] 112:10<br/>241:16</p> <p><b>likely</b> [5] 151:15 192:17<br/>244:2 254:5 275:24</p> <p><b>likes</b> [2] 221:6 265:17</p> <p><b>limited</b> [3] 134:24 219:6<br/>325:9</p> <p><b>limits</b> [1] 136:22</p> <p><b>line</b> [4] 110:1 116:18<br/>201:25 255:18</p> <p><b>lines</b> [1] 48:13</p> <p><b>link</b> [1] 168:24</p> <p><b>linked</b> [1] 300:7</p> <p><b>list</b> [16] 3:2 13:4,5 47:13<br/>50:22 51:2 52:22,22<br/>133:9 141:14 204:9<br/>247:17 248:5,7 286:3<br/>298:10</p> <p><b>listed</b> [10] 142:5 191:7<br/>204:20 208:14 209:1<br/>210:11,13 211:12 239:25<br/>292:18</p> <p><b>listen</b> [4] 79:8 101:2</p> | <p>264:21,23</p> <p><b>listening</b> [1] 265:15</p> <p><b>listing</b> [2] 29:9 242:3</p> <p><b>lists</b> [2] 199:13 241:5</p> <p><b>literature</b> [17] 52:20<br/>75:20 89:9 92:5 118:3<br/>118:12 133:6 150:4 153:4<br/>192:14 193:4 241:20<br/>248:11 288:11 313:6,9<br/>313:19</p> <p><b>live</b> [2] 130:23 221:7</p> <p><b>liver</b> [1] 48:5</p> <p><b>loafing</b> [1] 25:16</p> <p><b>lobular</b> [3] 242:3 243:10<br/>321:10</p> <p><b>local</b> [6] 58:25 100:9<br/>107:25 109:21 134:21<br/>178:6</p> <p><b>locally</b> [10] 155:17,19,21<br/>157:21 161:15 162:24<br/>173:7,12 211:20 262:23</p> <p><b>location</b> [3] 94:4 255:9<br/>326:8</p> <p><b>log</b> [1] 50:21</p> <p><b>logic</b> [4] 85:15 180:7<br/>210:5 292:16</p> <p><b>logistics</b> [1] 88:24</p> <p><b>longer</b> [2] 171:2 326:18</p> <p><b>look</b> [73] 8:7 61:8 64:13<br/>64:18,20,21 66:8 73:9<br/>81:18 89:6 92:5 95:25<br/>96:6 100:7 102:4 120:7<br/>125:4,7 126:12 129:11<br/>131:5,22 133:8,11,15<br/>141:24 142:1 151:16,22<br/>153:14,18 160:22 167:9<br/>170:5,11 175:7 178:4<br/>181:12,16 182:9 185:3,5<br/>185:19 191:7 199:2 202:6<br/>208:8 209:4 228:1 229:13<br/>230:20 236:23 239:9,11<br/>245:2 246:22,22 250:21<br/>251:9 267:11 270:2<br/>278:11,15 283:10 284:2<br/>285:5 286:5 291:10<br/>295:13,20,21,22 317:14</p> <p><b>looked</b> [13] 62:12 93:20<br/>96:14 142:17 151:21<br/>167:22 183:17 213:6<br/>234:16 238:15 259:14<br/>314:10,12</p> <p><b>looking</b> [30] 7:4 13:4<br/>30:1 54:16 60:6 73:9,10<br/>78:10 127:4 132:8 160:18<br/>171:25 184:7 185:4,14<br/>193:17 200:16 208:11<br/>230:21 232:1,7 233:24<br/>236:21 242:14 262:25<br/>294:13 295:23 296:9<br/>300:14 315:5</p> <p><b>looks</b> [5] 60:13 114:11<br/>114:22 274:10 305:16</p> <p><b>loop</b> [1] 193:4</p> <p><b>lots</b> [1] 184:5</p> <p><b>loved</b> [1] 103:6</p> <p><b>low</b> [4] 41:15 116:24<br/>121:12 165:9</p> | <p><b>lower</b> [6] 40:1 41:4 95:15<br/>119:9 210:7 249:25</p> <p><b>luck</b> [1] 120:1</p> <p><b>Lucus</b> [1] 140:16</p> <p><b>lumped</b> [1] 57:4</p> <p><b>lunch</b> [3] 162:16,25<br/>164:16</p> <p><b>lung</b> [1] 247:16</p> <p><b>lymph</b> [1] 323:9</p> <p><b>lymphoma</b> [1] 74:24</p> <hr/> <p style="text-align: center;"><b>-M-</b></p> <hr/> <p><b>m</b> [2] 86:13 147:20</p> <p><b>M-A</b> [1] 4:12</p> <p><b>M.B</b> [1] 206:22</p> <p><b>machine</b> [6] 93:9,13<br/>102:17 232:20,22 297:4</p> <p><b>machines</b> [1] 93:13</p> <p><b>MacIntosh</b> [4] 139:4<br/>213:21 214:23 227:1</p> <p><b>magic</b> [1] 268:23</p> <p><b>Mahmoud</b> [9] 2:2 4:4<br/>4:11,12 266:8 275:3<br/>306:13 312:19 325:2</p> <p><b>MAHMOUD</b> [1] 4:5</p> <p><b>mail</b> [1] 100:25</p> <p><b>mailed</b> [3] 178:25 179:5<br/>179:13</p> <p><b>main</b> [1] 250:4</p> <p><b>maintain</b> [3] 128:8<br/>188:12 189:21</p> <p><b>maintaining</b> [1] 189:22</p> <p><b>Majesty</b> [1] 1:8</p> <p><b>major</b> [6] 38:9,11,13<br/>39:13,14 73:17</p> <p><b>majority</b> [3] 131:25<br/>177:17 178:1</p> <p><b>makes</b> [3] 139:15 249:1<br/>265:13</p> <p><b>malignancy</b> [1] 139:16</p> <p><b>malignant</b> [10] 83:7<br/>114:14,21 118:14,24<br/>119:12 150:1 161:21<br/>168:22 190:17</p> <p><b>mammary</b> [2] 139:16<br/>141:11</p> <p><b>man</b> [2] 48:15 107:17</p> <p><b>managed</b> [2] 116:15<br/>149:7</p> <p><b>management</b> [4] 71:8<br/>151:16 258:10 273:8</p> <p><b>manager</b> [13] 44:16,17<br/>44:17,19,22,23 45:3 47:9<br/>48:17,18 49:10,12 106:17</p> <p><b>managers</b> [2] 169:19<br/>281:24</p> <p><b>managers'</b> [2] 125:11<br/>145:22</p> <p><b>managing</b> [3] 138:11,15<br/>138:21</p> <p><b>mandate</b> [3] 16:23 81:17<br/>261:24</p> <p><b>mandatory</b> [2] 273:10</p> | <p>273:25</p> <p><b>manner</b> [3] 106:2 266:13<br/>266:16</p> <p><b>manpower</b> [1] 227:10</p> <p><b>manufacturer</b> [16] 86:9<br/>94:13 99:19,22 100:1<br/>297:24 298:6,10 299:14<br/>299:22 301:10,15,24<br/>303:11,25 312:3</p> <p><b>manufacturers</b> [2]<br/>299:7 303:13</p> <p><b>manuscripts</b> [1] 251:7</p> <p><b>March</b> [17] 10:16 100:13<br/>104:4 175:17,19,21 176:3<br/>178:24 197:21,23 198:4<br/>198:5,15 199:5 291:11<br/>309:16,17</p> <p><b>Margaret</b> [1] 328:6</p> <p><b>Marie</b> [1] 126:19</p> <p><b>mark</b> [2] 1:14 246:20</p> <p><b>marked</b> [4] 5:3 81:13<br/>163:13 198:1</p> <p><b>market</b> [1] 85:25</p> <p><b>marketed</b> [1] 92:20</p> <p><b>Mary</b> [3] 58:3 181:18<br/>206:22</p> <p><b>Maryland</b> [4] 6:6 12:14<br/>12:19,19</p> <p><b>mass</b> [1] 114:13</p> <p><b>mastectomy</b> [1] 25:15</p> <p><b>Masters</b> [7] 5:24 8:6,8<br/>8:13,22 9:23 10:3</p> <p><b>match</b> [1] 272:24</p> <p><b>matches</b> [1] 271:18</p> <p><b>material</b> [4] 113:12<br/>188:16 251:12,15</p> <p><b>matter</b> [21] 37:11 49:25<br/>54:19 64:11 68:18,19,24<br/>77:1 81:18 90:7 112:25<br/>139:25 151:8 162:3<br/>170:10 188:18,20 236:21<br/>240:13 284:11 328:3</p> <p><b>may</b> [31] 17:19 42:18<br/>64:19 125:11,17,21<br/>127:17 131:10 135:7<br/>136:17,18 185:20 186:9<br/>220:5 227:5 233:9,17,21<br/>240:19,22 241:4 249:24<br/>270:25 283:25 285:4<br/>289:20 303:18 305:13<br/>308:13 320:24,25</p> <p><b>Mayo</b> [11] 63:22 117:8<br/>123:1,4 128:3 130:2,11<br/>178:10,11,11 291:21</p> <p><b>MCP</b> [2] 264:3,15</p> <p><b>MD</b> [1] 130:11</p> <p><b>mean</b> [44] 27:25 32:21<br/>41:21 45:19 52:11,17<br/>59:13 64:14 65:6 70:9,9<br/>70:17 71:11 75:10,19<br/>91:12 110:18 135:11<br/>149:19 151:18 165:13<br/>183:25 188:22 190:18<br/>197:14 200:15 222:11<br/>224:22 244:12 246:21<br/>265:1,11 274:9,11 279:1</p> |
|---|---|---|--|--|

|   |   |  |   |   |
|---|---|--|---|---|
| <p>281:12 287:20,25 300:11<br/>302:3 303:12 311:10<br/>312:2 317:6</p> <p><b>Meaning</b> [1] 39:7</p> <p><b>meaningful</b> [1] 120:22</p> <p><b>meaningless</b> [1] 197:3</p> <p><b>means</b> [17] 34:13 66:11<br/>82:9,11 86:22 102:25<br/>112:9 122:14 128:19<br/>180:10 183:9 246:12,19<br/>288:9 305:4 321:6 328:10</p> <p><b>meant</b> [3] 41:1 196:18<br/>301:12</p> <p><b>measure</b> [1] 264:5</p> <p><b>measuring</b> [1] 313:5</p> <p><b>Med-path</b> [2] 59:2,21</p> <p><b>media</b> [1] 324:6</p> <p><b>medical</b> [24] 1:14 5:22<br/>6:22 7:15,18 44:13 49:17<br/>84:11 98:23 100:13<br/>105:12 147:4 173:18<br/>186:20 189:15 213:6<br/>224:18 247:1 248:16<br/>267:15 273:14 288:5<br/>311:22 323:2</p> <p><b>medicine</b> [8] 7:7,11,14<br/>8:12 73:1 153:11 220:23<br/>288:5</p> <p><b>Meditate</b> [4] 71:5,6 160:5<br/>160:22</p> <p><b>meet</b> [9] 9:25 71:14 98:5<br/>112:5 163:6 225:2 244:11<br/>248:2 278:5</p> <p><b>meeting</b> [63] 43:1 86:8<br/>102:6 103:5 113:5 123:9<br/>123:24 124:5,6,14,15<br/>125:11,18,20,23 126:2<br/>128:5,7 129:11 131:17<br/>132:9 136:1,6,24 141:10<br/>141:24 145:23 146:2<br/>147:10 150:10 155:14<br/>163:18,19,25 164:15<br/>167:9 169:20 174:24<br/>175:4,24 180:16 197:23<br/>198:4,7,11,20 199:4,5,6<br/>200:18,22 204:13,14,18<br/>213:18 216:5,10 247:25<br/>261:5 281:23,25 282:9<br/>282:22</p> <p><b>meeting's</b> [1] 164:8</p> <p><b>meetings</b> [22] 21:1 52:20<br/>61:23 62:13,15,16 63:5<br/>63:5 67:20 89:8 102:11<br/>126:6 131:7,8,9 136:20<br/>141:20 164:5 177:3 200:3<br/>225:18 244:11</p> <p><b>member</b> [3] 224:23<br/>316:7,7</p> <p><b>members</b> [10] 1:12 60:4<br/>69:7 161:24 168:12<br/>201:19,21 204:23 214:9<br/>215:7</p> <p><b>membrane</b> [1] 89:24</p> <p><b>memo</b> [23] 159:14 168:9<br/>172:10 176:13 182:23<br/>189:3,8 197:25 198:2<br/>238:21 239:17 240:18<br/>242:6,10,25 243:6,7</p> | <p>244:17 253:13,15 271:9<br/>290:25 314:3</p> <p><b>memorandum</b> [5] 139:2<br/>163:15 197:21 204:6<br/>225:23</p> <p><b>Memorial</b> [6] 6:14 15:23<br/>16:22 59:3,5 196:25</p> <p><b>memory</b> [3] 47:18<br/>113:14 281:19</p> <p><b>memos</b> [3] 239:10 243:4<br/>244:6</p> <p><b>menstrual</b> [1] 233:15</p> <p><b>mention</b> [9] 62:2 66:21<br/>66:25 75:7 161:20 243:10<br/>247:5 301:9 324:8</p> <p><b>mentioned</b> [17] 33:14<br/>133:21 134:5,6 146:23<br/>158:10,23 170:9 178:8<br/>205:20 246:18 287:14<br/>315:25 316:6 318:2,10<br/>320:1</p> <p><b>mentor</b> [1] 149:17</p> <p><b>menu</b> [2] 281:10 321:16</p> <p><b>menus</b> [1] 247:20</p> <p><b>merging</b> [1] 107:21</p> <p><b>message</b> [3] 104:21<br/>120:22 251:16</p> <p><b>messages</b> [1] 100:24</p> <p><b>met</b> [2] 61:10 126:6</p> <p><b>method</b> [14] 89:18 90:3<br/>152:10 199:19 251:16<br/>269:9 294:22,24 309:2,3<br/>313:4,4 315:5,10</p> <p><b>methodology</b> [3] 250:25<br/>251:1 253:9</p> <p><b>methods</b> [4] 251:12<br/>309:2 310:15 311:18</p> <p><b>mice</b> [3] 5:8 80:21 81:1</p> <p><b>microphone</b> [1] 274:14</p> <p><b>microscope</b> [6] 60:5,21<br/>61:11,19 304:19 305:6</p> <p><b>microscopic</b> [1] 205:2</p> <p><b>microtones</b> [1] 57:11</p> <p><b>mid</b> [3] 28:19 37:25 83:3</p> <p><b>middle</b> [4] 124:17 125:1<br/>129:1,10</p> <p><b>midway</b> [1] 165:2</p> <p><b>might</b> [22] 128:21 155:3<br/>178:5 183:18 192:3,3<br/>207:23 234:6 242:10<br/>250:14,16 256:13,15<br/>273:24 279:17 290:2<br/>296:10 306:25 308:7<br/>325:15,17,19</p> <p><b>mild</b> [1] 130:17</p> <p><b>mind</b> [8] 34:1 87:20<br/>168:25 242:9,13 261:24<br/>262:19 295:17</p> <p><b>mindset</b> [1] 220:18</p> <p><b>mine</b> [1] 280:13</p> <p><b>minimally</b> [2] 237:22<br/>238:9</p> <p><b>minimum</b> [5] 277:15,23<br/>278:1,4,8</p> <p><b>mining</b> [1] 280:8</p> | <p><b>Ministry</b> [1] 323:3</p> <p><b>minute</b> [2] 200:18 319:22</p> <p><b>minutes</b> [37] 43:2 61:21<br/>67:19 95:15 124:16 125:3<br/>125:5,9,17 131:20 133:16<br/>142:17 145:23 146:2<br/>148:7 163:24 164:8,14<br/>165:1 167:22 169:19<br/>170:6 175:3 198:3,11,19<br/>199:3,5 203:14 204:18<br/>210:16 213:18 304:4,5,5<br/>311:6,10</p> <p><b>misgivings</b> [1] 257:9</p> <p><b>miss</b> [1] 320:24</p> <p><b>missed</b> [2] 60:18 101:9</p> <p><b>misses</b> [3] 221:18 287:17<br/>289:7</p> <p><b>missing</b> [4] 222:23 248:1<br/>321:1,2</p> <p><b>mistake</b> [2] 40:14 288:22</p> <p><b>mistakes</b> [2] 134:22<br/>221:3</p> <p><b>mix</b> [1] 110:17</p> <p><b>mixes</b> [1] 83:7</p> <p><b>mixture</b> [1] 101:19</p> <p><b>modality</b> [1] 247:1</p> <p><b>model</b> [1] 323:4</p> <p><b>moderate</b> [2] 130:17<br/>162:4</p> <p><b>moderately</b> [5] 142:13<br/>161:19 168:19 237:25<br/>238:9</p> <p><b>molecular</b> [1] 30:21</p> <p><b>moment</b> [7] 39:22,24<br/>115:20 128:20 130:7<br/>172:10 308:22</p> <p><b>Monday</b> [2] 104:16<br/>105:24</p> <p><b>money</b> [10] 38:4,20,23<br/>38:25 40:10 70:1,3 71:23<br/>72:7,7</p> <p><b>monitor</b> [5] 52:11,15<br/>275:21 277:3 281:8</p> <p><b>monitored</b> [1] 221:20</p> <p><b>monitoring</b> [6] 112:7<br/>275:11,12 277:16 279:15<br/>287:5</p> <p><b>month</b> [11] 40:13,15<br/>70:19 125:11 131:8 228:3<br/>228:3 291:2,3,15 324:10</p> <p><b>monthly</b> [2] 131:11<br/>277:4</p> <p><b>months</b> [7] 6:4 16:2<br/>125:22 149:13 157:2,2<br/>228:4</p> <p><b>morgue</b> [1] 44:10</p> <p><b>morning</b> [12] 4:18,20<br/>5:11 23:4 33:20 104:16<br/>105:24 136:8 170:9 186:8<br/>291:6 327:5</p> <p><b>Morris</b> [1] 213:21</p> <p><b>Morris-Larking</b> [1]<br/>139:4</p> <p><b>Moss</b> [2] 328:2,13</p> <p><b>most</b> [13] 25:5 71:23 72:8</p> | <p>83:4 98:22,23 122:2<br/>154:9 192:17 248:15<br/>250:5 274:5 321:24</p> <p><b>mostly</b> [6] 12:23 44:11<br/>188:9 263:19 319:12,17</p> <p><b>mother</b> [2] 263:25 264:1</p> <p><b>motion</b> [3] 146:3 164:13<br/>198:18</p> <p><b>Mount</b> [12] 225:1 235:22<br/>235:23 236:11 249:9,14<br/>250:6,17,18 316:14,22<br/>317:5</p> <p><b>move</b> [9] 110:16 157:3<br/>171:19 177:23 262:10,19<br/>265:19 310:10 320:17</p> <p><b>moved</b> [3] 6:17 83:4<br/>268:4</p> <p><b>moving</b> [5] 83:10 110:14<br/>176:7 197:18 307:12</p> <p><b>Ms</b> [87] 208:3,16 275:2,3<br/>275:4,17 276:6,11 277:6<br/>277:20 278:10 279:4,13<br/>280:15 281:17 282:25<br/>283:7,15,23 284:12 285:9<br/>285:13 286:8,12,25 287:4<br/>287:13,24 289:21 290:17<br/>290:23 291:13,25 292:10<br/>292:17 293:2,7,12,16,22<br/>294:2,8,15,20 295:2<br/>296:4,14,18 297:1,5,9<br/>297:14,21 298:4,14,23<br/>299:4 301:8,13 302:1,10<br/>302:18,24 303:4,15,24<br/>304:12,22 305:7,17 306:1<br/>306:6,12,13,14 307:10<br/>308:5,21 309:7,12,19,25<br/>310:11 311:15 312:10,23<br/>325:6</p> <p><b>multi-headed</b> [2] 60:5<br/>304:19</p> <p><b>multidisciplinary</b> [1]<br/>59:22</p> <p><b>multiple</b> [1] 174:8</p> <p><b>MUN</b> [1] 213:5</p> <p><b>Murphy</b> [17] 123:15,15<br/>123:16 125:15 145:25<br/>163:18 164:3,14 165:3,8<br/>165:14,17,19 166:21<br/>169:23 175:6 198:9</p> <p><b>must</b> [3] 185:14 228:10<br/>268:10</p> <hr/> <p style="text-align: center;"><b>-N-</b></p> <hr/> <p><b>n</b> [7] 83:13,13,20,20,20<br/>251:10,10</p> <p><b>naked</b> [1] 82:11</p> <p><b>name</b> [20] 4:9,11,12,13<br/>19:10 66:21 67:1 136:10<br/>142:7 167:11,24 175:9<br/>205:17 208:13 209:1<br/>211:12 216:6 248:1 275:5<br/>306:15</p> <p><b>named</b> [1] 213:5</p> <p><b>names</b> [2] 321:17 322:6</p> <p><b>narrative</b> [4] 320:9,23<br/>320:24 321:3</p> <p><b>narrowed</b> [1] 96:14</p> | <p><b>national</b> [8] 102:5<br/>107:23,24 241:21 260:12<br/>260:16 300:4 326:4</p> <p><b>nationally</b> [1] 325:15</p> <p><b>native</b> [3] 230:11 231:1<br/>231:3</p> <p><b>natural</b> [1] 135:2</p> <p><b>nature</b> [14] 31:19 45:24<br/>48:1 121:3 153:5 161:22<br/>162:7 229:12 243:4,7<br/>244:6 250:21 263:18<br/>292:7</p> <p><b>near</b> [3] 287:16 289:7<br/>306:18</p> <p><b>necessarily</b> [8] 9:24 71:7<br/>100:2 101:16 130:24<br/>229:10 309:21 316:19</p> <p><b>necessary</b> [3] 107:8<br/>132:25 313:8</p> <p><b>necessity</b> [1] 245:18</p> <p><b>neck</b> [1] 255:14</p> <p><b>need</b> [47] 23:11 34:18<br/>51:23 63:2 70:2,9,25<br/>71:1 75:7 76:22 79:16<br/>87:23,24 119:18 127:25<br/>129:25 131:1 133:7 150:3<br/>171:2 180:8 185:12<br/>220:15,16,16,17,19<br/>221:11,11,12,12,13,25<br/>225:9 229:11 244:6 259:3<br/>261:3,6,7 285:5 289:8<br/>290:6,9 304:7 308:3<br/>319:6</p> <p><b>needed</b> [31] 15:9 16:1<br/>27:12,15 32:7,21 42:13<br/>59:25 60:1 63:25 66:24<br/>69:22 72:9 89:6 90:10<br/>90:14 133:4 222:1,2,2<br/>247:6 259:3,4 261:4,15<br/>264:4 278:4 306:25<br/>307:11,17 317:19</p> <p><b>needs</b> [9] 7:15 35:19<br/>64:12 72:2,6 104:18<br/>225:8 255:1 279:12</p> <p><b>negative</b> [77] 82:22<br/>94:21,24 108:3 109:15<br/>112:6 116:23 117:13<br/>128:2 130:1 132:6,25<br/>142:14 148:14,15,21<br/>151:25 152:2,6,18,22<br/>168:21 171:10 190:15<br/>192:18 193:11 194:9<br/>195:6,9 196:10 232:15<br/>232:16,17 233:1,1,3,7,7<br/>233:20 234:18,19,21,21<br/>234:22,23,25 235:6,7,9<br/>235:10,12,12,13,19,21<br/>235:22,23 236:3,9,10,25<br/>237:1 241:12,17,25<br/>249:14 250:2,7,8 252:9<br/>252:12,21 253:20 268:24<br/>286:1 288:15 295:25</p> <p><b>negatives</b> [1] 153:18</p> <p><b>Neither</b> [1] 259:25</p> <p><b>neoplastic</b> [5] 178:23<br/>192:12,17 237:24 238:1</p> <p><b>nervous</b> [1] 120:10</p> <p><b>network</b> [1] 286:18</p> |
|---|---|--|---|---|



|   |  |  |  |   |
|---|--|--|--|---|
| <p><b>neuropathologist</b> [1] 28:13</p> <p><b>neuropathologists</b> [1] 30:10</p> <p><b>neutral</b> [1] 241:8</p> <p><b>never</b> [3] 115:3 143:23 272:9</p> <p><b>new</b> [37] 4:22 38:21,21 52:13,21,21 75:12 85:20 89:1,2 91:9 98:6,12,19 99:7 104:12,18 110:15 115:14,19 127:5,7 146:13 158:5 199:8 200:21 201:21,23 202:18 203:2 215:3 221:18 225:24 238:22 246:25 247:2 315:9</p> <p><b>Newbury</b> [74] 1:15 2:5 275:2,3,4,6,17 276:6,11 277:6,20 278:10 279:4 279:13 280:15 281:17 282:25 283:7,15,23 284:12 285:9,13 286:8 286:12,25 287:4,13,24 289:21 290:17,23 291:13 291:25 292:10,17 293:2 293:7,12,16,22 294:2,8 294:15,20 295:2 296:4 296:14,18 297:1,5,9,14 297:21 298:4,14,23 299:4 301:8,13 302:1,10,18,24 303:4,15,24 304:12,22 305:7,17 306:1,6 325:6</p> <p><b>Newfoundland</b> [43] 6:15 39:25 51:22 85:16 100:11 101:5,14 144:2,4 157:24 172:12,24 176:14 205:15 209:3 210:9 223:9 225:8 234:19 235:7,17 242:7 243:1 244:12 247:9 248:18 249:10 250:6 255:3 262:11 269:4 271:22 275:7 278:19 285:21 316:5 319:25 321:4 324:2,14,20 328:8 328:11</p> <p><b>next</b> [22] 10:19 13:5 23:19,20,22 40:15 50:24 98:15 103:4,4 115:3 171:19 177:24 197:7 221:1 228:17 230:24 240:8 289:13,13 291:11 305:18</p> <p><b>nice</b> [1] 120:7</p> <p><b>night</b> [3] 33:16,17 255:24</p> <p><b>nine</b> [6] 28:16,16 149:13 291:2,3,15</p> <p><b>nine-month</b> [1] 147:19</p> <p><b>NL</b> [3] 1:8,14,15</p> <p><b>nobody</b> [6] 63:19 75:23 221:6 227:17 265:17 324:16</p> <p><b>nodes</b> [1] 323:9</p> <p><b>nomenclature</b> [1] 322:10</p> <p><b>nominally</b> [1] 41:12</p> <p><b>non-blame</b> [2] 221:2 289:5</p> | <p><b>non-punitive</b> [2] 72:4 322:24</p> <p><b>non-tumour</b> [2] 230:24 233:13</p> <p><b>none</b> [1] 300:9</p> <p><b>nonetheless</b> [1] 283:18</p> <p><b>noon</b> [2] 60:20 87:6</p> <p><b>nor</b> [1] 260:1</p> <p><b>normal</b> [9] 98:12 230:1 230:11,24 232:2,8 233:13 233:17 241:14</p> <p><b>Norris</b> [1] 11:9</p> <p><b>North</b> [12] 9:10,12 13:13 47:22 73:3,22 83:4 98:24 102:11 272:7,19 280:1</p> <p><b>Northwest</b> [1] 6:22</p> <p><b>note</b> [11] 146:1 154:17 176:20 204:24 206:19 209:2 213:4 225:22 239:23 242:14 281:25</p> <p><b>noted</b> [7] 135:11 148:19 154:24 179:6 183:14 198:21 326:22</p> <p><b>notes</b> [8] 51:18 61:21 198:9 199:5 241:22,24 241:25 242:4</p> <p><b>nothing</b> [9] 40:19 43:22 45:24,25 70:23 114:1 193:11 255:19 256:2</p> <p><b>notice</b> [9] 29:8 123:9 124:6 163:18 187:22 238:10 254:9 271:7 280:14</p> <p><b>noticed</b> [3] 50:17 79:7 238:8</p> <p><b>notion</b> [1] 318:5</p> <p><b>Notwithstanding</b> [1] 283:16</p> <p><b>November</b> [10] 3:1 8:8 204:6,14,19 205:16 211:19 228:21 237:18 245:12</p> <p><b>now</b> [108] 5:11 8:5 17:21 20:8 21:12 33:11 47:12 51:19,23 53:10,16 54:15 61:13 62:10 65:3 67:13 68:15 76:25 80:13,21 81:15 83:16 86:20,22 87:14 88:11,18 89:17 91:22 94:21 103:14 105:2 106:2 118:19 119:25 120:7 123:8,20 125:8,16 125:21 126:21 134:15 140:2 143:25 145:21 148:22 149:12 152:24 168:18 171:25 176:17 179:11 183:12 185:11 191:19 192:24 193:6 196:24,25 197:5,20 205:13 208:9 209:7,24 216:3,15 218:2 219:7 221:16 229:21 232:24 239:17 240:9,25 245:6 246:10 247:19 248:21 249:7 252:15 264:6 266:24 267:3 268:9 269:24 276:15,20,21,25 278:7,8 279:20,25 281:6</p> | <p>284:1 285:15 286:13,15 287:9 288:17 300:19 308:7,25 319:12 320:17 321:12</p> <p><b>nucelli</b> [1] 178:22</p> <p><b>nuclear</b> [2] 190:16 242:4</p> <p><b>nuclei</b> [5] 89:3,7,18 102:17 184:13</p> <p><b>nucleus</b> [2] 102:19 270:10</p> <p><b>number</b> [58] 11:15 25:1 28:25 35:25 36:1,2,8 45:8 47:20 50:23 51:14 54:2 70:8 93:18,20 103:22 116:24 117:16,17 121:11 123:11,12 125:13 132:4,23 140:25 152:14 154:4 155:6 160:21 163:21 165:9 190:17,23 191:6,12 192:3 194:25 204:7 209:2,3,6,8,21,22 210:8,8,14 249:11 264:3 269:6 277:11 281:25 291:12,22 292:15 308:24 309:8</p> <p><b>numbers</b> [10] 4:23 29:2 77:23 117:15 136:11 142:8 153:17 221:15 292:21 293:1</p> <p><b>numerical</b> [1] 292:19</p> <hr/> <p style="text-align: center;"><b>-O-</b></p> <hr/> <p><b>o</b> [6] 83:13,20,20,20 86:13 86:13</p> <p><b>o'clock</b> [1] 33:18</p> <p><b>O'Keane</b> [2] 157:15 314:24</p> <p><b>objective</b> [1] 61:5</p> <p><b>objectiveness</b> [1] 324:8</p> <p><b>obligations</b> [1] 109:19</p> <p><b>observation</b> [1] 280:9</p> <p><b>Obstetrics</b> [1] 17:11</p> <p><b>obtained</b> [4] 8:11 213:1 229:6 282:14</p> <p><b>obtaining</b> [1] 106:1</p> <p><b>obvious</b> [2] 111:21 263:16</p> <p><b>obviously</b> [12] 34:15 39:18 61:16 63:25 79:22 88:25 106:18 109:18 120:17 208:23 226:14 261:4</p> <p><b>occasional</b> [1] 305:14</p> <p><b>occasionally</b> [1] 24:17</p> <p><b>occasions</b> [4] 103:22 174:9 213:7 260:5</p> <p><b>occur</b> [2] 25:16 244:17</p> <p><b>occurred</b> [5] 81:19 125:24 228:9,10 250:9</p> <p><b>occurs</b> [2] 9:10 121:7</p> <p><b>October</b> [5] 8:9 145:23 147:9 155:14 159:1</p> <p><b>of-town</b> [1] 239:20</p> <p><b>off</b> [9] 29:9 51:3 80:18 153:20 154:18 167:6</p> | <p>225:1 241:20 312:23</p> <p><b>offered</b> [4] 17:11 61:15 61:18 104:9</p> <p><b>office</b> [7] 23:4 33:18 35:5 50:19 115:6 182:7 255:11</p> <p><b>officially</b> [1] 186:21</p> <p><b>often</b> [2] 24:20 241:16</p> <p><b>Oklahoma</b> [8] 6:8,23 13:8,12 30:18,20 83:12 97:19</p> <p><b>old</b> [11] 47:21 52:12 68:12 104:13 109:12 110:8 118:22 120:23 197:11 281:13 302:17</p> <p><b>older</b> [1] 69:3</p> <p><b>oldest</b> [1] 29:23</p> <p><b>omitted</b> [3] 168:20 169:7 243:10</p> <p><b>on-the-go</b> [1] 63:11</p> <p><b>once</b> [1] 131:8</p> <p><b>oncologist</b> [11] 75:12 76:3 115:4 118:17,17 120:21 131:1 189:25 193:14 264:14 310:24</p> <p><b>oncologist's</b> [2] 120:18 193:5</p> <p><b>oncologists</b> [15] 101:19 101:24 149:8 156:25 159:8 160:10,13 161:13 162:2,7 196:18 246:19 247:1,2 315:4</p> <p><b>oncology</b> [4] 6:25 75:22 246:24 261:19</p> <p><b>one</b> [180] 7:14,18 9:21 12:3 13:16 14:15 23:7 23:18 29:23 32:24 33:14 34:23 39:18 40:2,3,13 40:21 47:17 50:16,21,22 50:22 51:2 52:18 57:4 57:11,13,24 60:8,12,19 60:23 61:1,8,13 62:4 63:14 66:9 70:22 74:21 74:21 75:11 83:19 85:5 92:1,7,13,23 94:19 96:8 96:9 99:13 100:20 102:2 102:13 104:19,25 107:6 107:9,12 108:12 110:12 111:22 112:5,7 119:14 122:2 125:7,9,21 132:11 133:18 135:8 136:19 141:19 144:10 150:24 151:5,12 152:19 154:6,8 161:4 162:14 163:13 168:5,6,11 170:10 174:18 180:4,11,15,20,24 181:4 181:5,10 189:17 190:19 190:21,24 191:9,10,11 193:17 194:18,22 195:3 195:13,20,21 196:24 197:24 200:1 209:20 213:11,11,12 214:20,22 215:16 216:23 219:11 226:16 234:11 237:4 238:15 249:17 259:23 260:4 262:9 263:24 267:2 268:19 269:1 273:2 274:6 278:11 280:2 283:12 289:12,12,12 293:3 299:21,22 300:1,8,23</p> | <p>301:3 302:16 307:4,9,13 307:21,24 308:22 310:23 311:5,9,13 313:21,22,25 316:14,16,17,20 318:2,4 321:8 322:6,20 323:14 323:17,19 325:4 326:22 326:22</p> <p><b>one-year</b> [1] 7:16</p> <p><b>ones</b> [14] 13:16 23:9,10 35:7 41:11 61:2 79:23 79:24 92:8 93:21 127:22 129:8 149:24 240:1</p> <p><b>ongoing</b> [4] 68:13,15 115:12 309:15</p> <p><b>Ontario</b> [26] 71:13,14 245:10,11 266:24 267:6 267:19,21 268:9,17 273:2 273:14 279:23 280:2,23 284:1 286:14,15,17 287:1 287:3 323:3 324:9 325:8 325:9 326:20</p> <p><b>open</b> [9] 57:8 221:19 243:24 251:9 255:2,8 290:13,20 300:1</p> <p><b>openly</b> [2] 221:1 289:19</p> <p><b>operating</b> [1] 23:16</p> <p><b>operation</b> [5] 30:4,14 31:7 35:11 36:25</p> <p><b>operational</b> [1] 80:23</p> <p><b>Operative</b> [1] 126:20</p> <p><b>opinion</b> [10] 24:9,9 61:3 63:23 67:5,14 75:5,25 215:14 274:3</p> <p><b>opinions</b> [4] 24:12 215:6 219:23 278:18</p> <p><b>opportunities</b> [1] 263:17</p> <p><b>opportunity</b> [4] 12:12 12:16 66:23 324:2</p> <p><b>opposed</b> [4] 270:10 283:2 286:1 319:13</p> <p><b>optimal</b> [2] 34:1 241:10</p> <p><b>optimization</b> [1] 149:11</p> <p><b>optimize</b> [1] 110:13</p> <p><b>optimized</b> [1] 202:20</p> <p><b>option</b> [1] 85:17</p> <p><b>options</b> [4] 215:25 247:17 321:17 322:5</p> <p><b>order</b> [19] 7:14 23:11 46:18 50:6 62:13 105:5 106:19 113:23 114:4,6 115:2,11,20 134:7 255:10 287:25 292:19,22 295:16</p> <p><b>ordered</b> [4] 109:5 115:9 201:23,24</p> <p><b>ordering</b> [7] 98:16 105:4 107:9 114:9 140:2 159:17 206:3</p> <p><b>orders</b> [1] 114:24</p> <p><b>organ</b> [4] 254:20,22,22 254:25</p> <p><b>organization</b> [10] 13:1 19:10 21:24 27:9 31:14 34:5 42:2 102:14 107:23 319:4</p> <p><b>organize</b> [1] 59:14</p> |
|---|--|--|--|---|

|   |  |  |  |   |
|---|--|--|--|---|
| <p><b>organizing</b> [1] 219:4<br/> <b>organs</b> [1] 255:7<br/> <b>oriented</b> [2] 224:18,19<br/> <b>original</b> [4] 65:13 76:6<br/>     178:3 250:12<br/> <b>originally</b> [1] 249:14<br/> <b>otherwise</b> [4] 59:18<br/>     61:16 85:14 94:1<br/> <b>ourselves</b> [3] 108:11<br/>     256:4 288:6<br/> <b>outcome</b> [1] 274:5<br/> <b>outlined</b> [2] 199:20<br/>     290:25<br/> <b>outside</b> [26] 37:13 65:2<br/>     74:15 76:16,20 77:7<br/>     138:21,24 145:2 170:1,8<br/>     170:20 173:17,18 174:3<br/>     178:16 187:9 189:6 200:3<br/>     200:5 209:21 210:6<br/>     218:21 219:23 259:24<br/>     260:1<br/> <b>overall</b> [10] 41:3 42:13<br/>     105:9 111:1 117:1,18<br/>     121:13 160:23 186:11,12<br/> <b>overseeing</b> [1] 203:2<br/> <b>overtime</b> [1] 45:20<br/> <b>overview</b> [1] 5:19<br/> <b>own</b> [34] 21:22 43:25,25<br/>     75:13,18 78:16 87:21,24<br/>     87:25 88:19 92:8 97:21<br/>     129:13 130:8 132:3,13<br/>     132:19 134:21 145:4<br/>     167:4 171:21 172:8<br/>     173:24 178:21 184:9<br/>     186:13 187:9,10,11 261:6<br/>     284:16 288:13 298:22<br/>     321:8</p> | <p><b>P-2412</b> [1] 163:14<br/> <b>P-2414</b> [1] 167:10<br/> <b>P-2415</b> [1] 167:23<br/> <b>P-2416</b> [1] 169:18<br/> <b>P-2417</b> [1] 204:5<br/> <b>P-2418</b> [1] 204:17<br/> <b>P-2419</b> [1] 212:24<br/> <b>P-2420</b> [1] 213:18<br/> <b>P-2421</b> [1] 225:12<br/> <b>P-2423</b> [3] 5:11 100:7<br/>     245:1<br/> <b>P-2425</b> [3] 3:3 4:24 5:3<br/> <b>p.m</b> [1] 35:5<br/> <b>P53</b> [1] 97:24<br/> <b>PA's</b> [1] 255:5<br/> <b>packaged</b> [1] 145:19<br/> <b>page</b> [55] 3:1 7:4 10:8<br/>     13:20,20 50:22 51:7<br/>     58:22,23,25 100:8,8<br/>     102:2,3,3 117:10 118:6<br/>     123:8 126:12 127:4 131:5<br/>     131:20,23 142:3 147:14<br/>     147:14 150:22,22 153:14<br/>     160:19 164:7 174:24<br/>     175:2 178:19 190:4<br/>     197:21 198:1,2 203:13<br/>     208:11,12 209:4,12 215:2<br/>     226:19,21,22,22 240:18<br/>     245:2,3,7,9 281:22 291:3<br/> <b>pages</b> [3] 147:13 155:12<br/>     192:20<br/> <b>paid</b> [6] 38:5 41:16 77:17<br/>     77:18,20 245:19<br/> <b>palm</b> [1] 184:9<br/> <b>Pamela</b> [3] 1:12 2:6<br/>     306:13<br/> <b>panel</b> [1] 199:8<br/> <b>paper</b> [4] 50:22 154:5,5<br/>     247:22<br/> <b>papers</b> [2] 243:22 251:6<br/> <b>paperwork</b> [1] 182:13<br/> <b>paraffin</b> [5] 84:1 163:22<br/>     167:2 211:23 229:4<br/> <b>paraffin-fixed</b> [1] 83:24<br/> <b>paragraph</b> [27] 110:23<br/>     121:10 124:1 126:13<br/>     131:23 132:7 133:15<br/>     158:5 164:7,9,24 165:2<br/>     167:1 169:24 170:25<br/>     175:7 176:20 191:2 192:8<br/>     198:10 201:17 203:14<br/>     204:22 214:8 219:8,8<br/>     226:22<br/> <b>paragraphs</b> [2] 167:16<br/>     168:5<br/> <b>Parai</b> [32] 22:8,8 123:21<br/>     125:14 131:21 132:9,14<br/>     133:21 135:22 136:3,25<br/>     137:24 140:13 141:6,9<br/>     142:19 145:13,24 146:18<br/>     158:7,13,15 163:17 164:1<br/>     164:9,13,17 169:22 172:3<br/>     175:5 198:8 227:4<br/> <b>parallel</b> [12] 86:10,16<br/>     94:22 104:19 106:12<br/>     117:3 122:9,13 177:1</p> | <p>187:20 304:15,16<br/> <b>parameter</b> [4] 321:13<br/>     323:7,10,11<br/> <b>parameters</b> [12] 185:8<br/>     246:15 247:7 269:2<br/>     276:19 277:3 278:22<br/>     314:14 320:25,25 321:7<br/>     322:9<br/> <b>parenthesis</b> [1] 191:7<br/> <b>Pari</b> [1] 136:17<br/> <b>part</b> [18] 13:6 24:2,11<br/>     25:4 67:4 79:17 92:7<br/>     109:11,23 111:9 142:2<br/>     203:19 229:9 268:8,10<br/>     293:20 294:1 324:3<br/> <b>participated</b> [2] 11:11<br/>     59:24<br/> <b>particular</b> [48] 25:13,14<br/>     31:22 32:21 39:18 40:2<br/>     40:3 46:10 50:7,7 56:14<br/>     57:15,20 74:4,9,22 81:22<br/>     90:6 102:13 108:17<br/>     109:12 110:5 121:7 122:1<br/>     125:9 135:14 136:25<br/>     192:3 199:24 214:16<br/>     229:9 231:18 242:1<br/>     243:20 245:9,23 246:9<br/>     252:12 254:9 262:18<br/>     263:25 269:13 272:11<br/>     280:21 282:24 303:7,20<br/>     326:8<br/> <b>particularly</b> [6] 22:13<br/>     24:1 95:9 222:6 292:2<br/>     315:4<br/> <b>Partnership</b> [1] 324:11<br/> <b>parts</b> [5] 41:23 233:16<br/>     243:18 305:19 326:24<br/> <b>party</b> [1] 289:9<br/> <b>pass</b> [2] 255:12 318:24<br/> <b>passed</b> [1] 318:23<br/> <b>passing</b> [1] 183:16<br/> <b>passion</b> [1] 316:1<br/> <b>past</b> [1] 136:23<br/> <b>pathologist</b> [89] 6:15,19<br/>     6:21 9:4,6 11:8 16:24<br/>     17:16,23 22:24 23:1<br/>     25:18,22 26:6,14,16 32:1<br/>     33:1 35:15 36:9 38:24<br/>     39:18 40:22 45:14 46:13<br/>     46:17,17,23,23 50:18<br/>     51:13 52:2,3 54:16,20<br/>     55:17 56:3 60:9 64:17<br/>     64:17 65:13 66:18 75:14<br/>     76:7,19 78:14 88:15 89:6<br/>     89:7 113:23 114:11,15<br/>     114:16,22,25 115:10<br/>     134:7,11,13 139:15,22<br/>     141:16 142:23 145:14<br/>     174:11 175:22 178:20<br/>     183:8 184:21,22 200:2<br/>     203:25 208:13 211:1<br/>     214:15,22 219:19 246:13<br/>     268:2 269:8 284:6,15,20<br/>     294:3,9 305:14 321:7,23<br/>     322:2<br/> <b>pathologists</b> [120] 21:2<br/>     24:19 28:7,15,25 29:19<br/>     30:1,10 33:7,13 36:15</p> | <p>36:17 37:7 38:3,7 48:3<br/>     50:6 51:22 52:19 54:17<br/>     60:6 62:3 74:8,22 75:4<br/>     75:18 76:8,16 77:17 79:2<br/>     87:5,7,17 88:12 101:19<br/>     101:23 113:24 114:1,4<br/>     115:18 127:21,24 128:6<br/>     129:7,12,23 132:1 133:10<br/>     139:6 140:2 141:23 144:3<br/>     144:8,23 145:2 159:15<br/>     159:16 161:17 165:5<br/>     167:4,8 171:7,20 172:12<br/>     173:22 176:14,19 177:5<br/>     178:6,9 180:10,17 181:20<br/>     182:24 186:19 189:7<br/>     198:15,23 204:8 206:5<br/>     217:4 218:10 222:5<br/>     224:24 226:3,5 227:8,10<br/>     227:14 229:10,11,16<br/>     239:19 240:20 242:7<br/>     244:6,10,12 246:18 247:4<br/>     247:24 255:4 258:14<br/>     266:19 267:10 268:18<br/>     277:12 280:25 281:2<br/>     285:21 304:23 305:1,5,8<br/>     310:8 315:3 316:8 317:11<br/>     317:13 324:12<br/> <b>pathology</b> [105] 6:1,2,7<br/>     6:9,25 8:8,9,22,23 9:24<br/>     10:17 11:23 13:7,14<br/>     14:11,17,19 19:14 24:7<br/>     27:8 39:5 43:8,10,12<br/>     44:18,21,22 45:2 48:17<br/>     53:16 55:23 59:4,5 63:3<br/>     65:23 66:20 74:23 75:2<br/>     75:3,9 82:15 83:1,1,16<br/>     87:19 98:25 101:23<br/>     106:17 123:10 125:10<br/>     126:13,15,24 147:16<br/>     148:3 154:9,10 155:8<br/>     169:20 176:21 178:4<br/>     192:20 197:12 209:6,7<br/>     213:19 223:14 225:5,25<br/>     227:7 228:19 237:7<br/>     245:6,13,24 247:6 248:24<br/>     251:9 254:19 262:5 267:7<br/>     268:13,13 269:2 275:12<br/>     280:5,17 281:24 282:1,4<br/>     282:8,11,16 283:2,17<br/>     304:14 317:2,4 319:14<br/>     320:8 322:15,25 323:11<br/>     324:9,20<br/> <b>patient</b> [41] 34:17,19,19<br/>     73:3,13 75:10 85:16<br/>     112:9 114:13,13,18,19<br/>     115:6,7 119:5,7,13,16<br/>     120:14,19 135:5 160:21<br/>     183:1,5 185:19 193:12<br/>     193:17,19,20 230:20<br/>     244:23 254:23 282:18<br/>     286:21,24 287:15,18<br/>     295:15,15,17 323:7<br/> <b>patient's</b> [9] 65:12 66:4<br/>     66:6,13 92:17 160:23<br/>     205:17 232:7 282:6<br/> <b>patients</b> [27] 79:21 80:1<br/>     81:20 85:19 101:5 112:14<br/>     122:3,16 140:3 149:6,9<br/>     150:5 209:1 255:20 285:6<br/>     289:2,23 290:1,6,7,10<br/>     290:10,14,20 295:12<br/>     302:16 323:11</p> | <p><b>patients'</b> [1] 51:7<br/> <b>pattern</b> [2] 26:25 270:16<br/> <b>pay</b> [3] 40:10 79:10<br/>     306:15<br/> <b>paying</b> [2] 79:10 139:24<br/> <b>Peggy</b> [2] 57:23 210:11<br/> <b>pen</b> [1] 47:20<br/> <b>Peninsula's</b> [1] 211:18<br/> <b>people</b> [56] 36:22,23<br/>     39:15 42:12,15,17 47:22<br/>     56:9 69:9,9 71:5 79:13<br/>     79:13 84:8 99:5 101:7<br/>     101:10 108:10,10 115:14<br/>     116:9 118:12 120:9<br/>     125:13 135:3 149:13,19<br/>     162:2,8 182:22 197:17<br/>     200:3,19 214:19 219:15<br/>     220:17,18 247:9 249:2<br/>     263:23 265:11,14,16,18<br/>     265:19 279:2 280:7 289:5<br/>     302:15 305:19 307:14<br/>     311:6 312:9 323:5 324:1<br/>     326:23<br/> <b>per</b> [4] 36:9 103:15<br/>     141:10 226:3<br/> <b>percent</b> [58] 39:12 78:11<br/>     78:17 116:18 118:13,23<br/>     118:24 120:25 148:18,19<br/>     150:1,12,23 153:9,12,20<br/>     153:23,23 154:2,2,13,19<br/>     154:21,22 161:21 168:24<br/>     190:19,21,25 191:10,10<br/>     191:11,16 192:16 193:8<br/>     193:18,21 194:3,4,13<br/>     195:3,11,13,20,21 203:17<br/>     228:24,25 237:23,25<br/>     241:8,18,18 249:22,22<br/>     250:17,18 252:24<br/> <b>percentage</b> [11] 61:6<br/>     142:12,14 155:3 161:20<br/>     162:6 168:22 171:10<br/>     190:24 191:4 192:12<br/> <b>percentages</b> [1] 193:17<br/> <b>percent]</b> [1] 192:13<br/> <b>perform</b> [4] 23:13<br/>     114:25 211:22 313:10<br/> <b>performed</b> [4] 53:14<br/>     105:2 229:3 293:9<br/> <b>performing</b> [6] 77:6<br/>     78:13 146:21 158:9<br/>     164:11 186:22<br/> <b>performs</b> [1] 54:11<br/> <b>perhaps</b> [14] 5:18 33:3<br/>     50:1 52:6 59:18 66:2<br/>     81:25 131:11 148:23<br/>     164:5 166:3 216:21 292:1<br/>     325:17<br/> <b>period</b> [15] 11:22 44:23<br/>     84:14 95:10 111:12<br/>     147:19 175:23 215:9<br/>     227:25 228:1,2 269:13<br/>     291:2,3,15<br/> <b>periphery</b> [2] 174:12<br/>     184:12<br/> <b>permanent</b> [1] 227:5<br/> <b>person</b> [11] 14:12 39:7<br/>     48:15 56:6 66:22 67:1,3<br/>     70:22 99:6 114:17 296:21</p> |
|---|--|--|--|---|

**-P-**

|  |   |  |   |  |
|--|---|--|---|--|
| <p><b>personal</b> [5] 205:17<br/>263:21 274:3 317:18<br/>326:4</p> <p><b>personality</b> [2] 27:25<br/>218:7</p> <p><b>personally</b> [3] 39:14<br/>278:17,20</p> <p><b>personnel</b> [4] 71:1 85:8<br/>221:10 308:3</p> <p><b>perspective</b> [16] 31:24<br/>38:2 55:1 69:4,15 73:10<br/>73:17 97:12 138:16 166:2<br/>217:11 222:11 236:20<br/>245:19 248:23 325:16</p> <p><b>pertinent</b> [2] 280:20<br/>282:5</p> <p><b>Peter</b> [3] 1:9 2:7 312:19</p> <p><b>Pg</b> [3] 3:3,4,5</p> <p><b>Pgs</b> [6] 2:3,4,5,6,7,8</p> <p><b>phase</b> [11] 85:11 88:8<br/>89:10 171:19 177:16,16<br/>178:19,23 179:12 186:3<br/>186:18</p> <p><b>phases</b> [1] 177:24</p> <p><b>PhD</b> [8] 5:24 8:6,9,23<br/>10:3,19 11:3 97:22</p> <p><b>PhD's</b> [2] 30:3,23</p> <p><b>PhDs</b> [1] 8:13</p> <p><b>philosophy</b> [1] 224:17</p> <p><b>phone</b> [5] 35:12 70:21<br/>115:4 136:7 174:7</p> <p><b>phrase</b> [1] 91:11</p> <p><b>physically</b> [5] 50:20<br/>56:25 57:3 76:4 109:20</p> <p><b>physician</b> [7] 7:7 8:24<br/>9:14 173:12 231:20<br/>282:15 288:12</p> <p><b>physicians</b> [5] 43:24<br/>105:17 204:7,20 290:7</p> <p><b>pick</b> [7] 96:7 185:20<br/>250:16 275:23 276:4<br/>292:2,8</p> <p><b>picture</b> [3] 200:16 214:2<br/>289:19</p> <p><b>piece</b> [6] 50:22 72:8<br/>74:21 82:10,13,15</p> <p><b>pieces</b> [1] 279:10</p> <p><b>Pike</b> [3] 1:14 312:14,15</p> <p><b>piles</b> [1] 35:6</p> <p><b>pillars</b> [1] 322:19</p> <p><b>place</b> [24] 57:13 67:24<br/>67:25 68:13 69:2,21 99:1<br/>108:4,8,24 131:7 201:19<br/>206:3 215:4,12 220:10<br/>220:12,14 224:8 247:10<br/>263:13 267:21 272:22<br/>279:3</p> <p><b>places</b> [6] 64:11 71:12<br/>99:5 162:9 280:1 311:24</p> <p><b>plane</b> [2] 255:24 261:11</p> <p><b>planned</b> [1] 163:19</p> <p><b>play</b> [4] 34:3 231:18<br/>304:9,11</p> <p><b>played</b> [2] 120:24 198:25</p> <p><b>playing</b> [2] 97:17 130:20</p> | <p><b>plays</b> [1] 275:13</p> <p><b>pleading</b> [1] 324:5</p> <p><b>plenty</b> [2] 70:7,7</p> <p><b>plug</b> [1] 89:13</p> <p><b>plus</b> [1] 7:16</p> <p><b>point</b> [59] 5:6 15:12<br/>20:14,16 26:11 47:15<br/>53:9 63:14 68:22 73:8<br/>80:7 106:5 117:9 121:5<br/>124:12 125:1 126:22<br/>128:12,25 131:10 135:13<br/>144:10 153:20 154:18<br/>159:1,6 161:4 169:7<br/>170:11,16,19 172:13<br/>174:10 178:5,13 185:4<br/>185:14 187:1 191:8<br/>201:16,22 214:2 216:20<br/>221:21 222:21,21 230:17<br/>230:18 249:23,25 260:4<br/>262:13 265:2,2 273:2<br/>283:24 285:10 289:16<br/>311:12</p> <p><b>pointed</b> [10] 10:7 19:18<br/>31:13 46:7 109:10,25<br/>158:25 169:5 215:25<br/>285:14</p> <p><b>points</b> [2] 241:20 249:21</p> <p><b>policies</b> [2] 27:14,15</p> <p><b>policy</b> [14] 64:2,16 66:24<br/>75:8 126:21 170:1 188:10<br/>189:3,8,9,10,17 200:20<br/>203:20</p> <p><b>pools</b> [1] 280:7</p> <p><b>poorly</b> [1] 254:11</p> <p><b>pops</b> [1] 305:15</p> <p><b>popular</b> [2] 24:7 92:6</p> <p><b>population</b> [1] 279:6</p> <p><b>portfolio</b> [1] 307:9</p> <p><b>posed</b> [1] 214:1</p> <p><b>position</b> [14] 16:21 18:3<br/>18:14,20,21 19:4 48:16<br/>52:10 78:18 189:5 240:10<br/>244:21 274:15 317:18</p> <p><b>positions</b> [2] 16:18<br/>227:10</p> <p><b>positive</b> [127] 82:23<br/>94:25 95:3 112:6,13<br/>116:22 117:14 118:14,15<br/>118:24 119:1,7 128:2<br/>130:1 132:6,24 142:12<br/>142:13,13 148:14,16<br/>152:6,6,6,7,10,15,21<br/>155:3 161:19,19,20<br/>168:20,22 171:10 179:1<br/>179:4,6,13,15,18,20<br/>180:2,4,8,11,15,19,20<br/>180:24 181:4,10,12,17<br/>181:23,25 183:3,5,9,14<br/>183:24,25 184:3,3,4<br/>185:9,20 190:15,22,24<br/>192:13 194:2,4,6,8,25<br/>195:13,25 198:25 228:23<br/>228:25 229:5,17,18,22<br/>230:12 232:3,14,15,21<br/>232:22 233:2,5,8 235:8<br/>235:11,24 236:23,24<br/>237:5,23,25 238:9,9,16<br/>238:17 241:17,25 242:5</p> | <p>244:2 249:15 250:2,8,17<br/>250:18 252:19 253:20<br/>269:14,19,25 285:25<br/>286:1 295:23,24,25<br/>324:18,18</p> <p><b>positively</b> [1] 288:20</p> <p><b>positives</b> [2] 96:19<br/>153:17</p> <p><b>positivity</b> [6] 168:24<br/>169:6 171:11 190:15,19<br/>193:18</p> <p><b>possibilities</b> [1] 216:3</p> <p><b>possibility</b> [3] 234:11<br/>235:3 241:11</p> <p><b>possible</b> [15] 101:10<br/>104:23 116:19 117:7<br/>128:25 151:20 164:21<br/>178:2 179:2,8,14,24<br/>180:12 186:5 283:13</p> <p><b>possibly</b> [1] 50:4</p> <p><b>potential</b> [3] 109:14<br/>276:4 295:7</p> <p><b>potentially</b> [2] 112:24<br/>234:1</p> <p><b>PR</b> [24] 89:17 90:3 91:25<br/>113:19 115:8 124:2 127:5<br/>131:23 151:13,15,21<br/>172:14 173:1 175:2,7,14<br/>181:24 229:24 231:15,19<br/>239:25 241:16 242:5,11</p> <p><b>Prabhakaran</b> [6] 84:12<br/>175:11,13,23 198:16<br/>226:24</p> <p><b>practical</b> [4] 47:24 181:3<br/>225:10 319:3</p> <p><b>practice</b> [11] 8:12 24:7<br/>75:15,21 155:4 245:3<br/>266:24 267:7 289:11<br/>323:2,15</p> <p><b>practise</b> [2] 7:11,14</p> <p><b>practising</b> [3] 8:23<br/>300:13 301:7</p> <p><b>precision</b> [1] 105:24</p> <p><b>predecessor</b> [1] 215:22</p> <p><b>predictable</b> [1] 249:2</p> <p><b>predictive</b> [1] 155:5</p> <p><b>preference</b> [1] 162:3</p> <p><b>preferential</b> [1] 181:6</p> <p><b>preferred</b> [1] 244:21</p> <p><b>prefers</b> [2] 146:24<br/>158:11</p> <p><b>preliminary</b> [1] 281:12</p> <p><b>prepare</b> [2] 46:21 83:17</p> <p><b>prepared</b> [6] 143:11<br/>167:17 181:10 213:2<br/>216:10 237:18</p> <p><b>preparing</b> [2] 155:25<br/>218:5</p> <p><b>presence</b> [1] 248:3</p> <p><b>present</b> [16] 46:20 60:10<br/>114:23 118:5 125:13,16<br/>131:21 132:8 145:23<br/>163:25 169:21 175:5<br/>198:7 213:20 235:24<br/>246:15</p> | <p><b>presentation</b> [3] 100:11<br/>102:23 103:3</p> <p><b>presented</b> [14] 42:2<br/>146:14 150:9 155:13,16<br/>155:17,19,21 215:7,9<br/>216:10 234:15 282:2<br/>321:16</p> <p><b>presenting</b> [2] 60:9<br/>155:25</p> <p><b>presently</b> [1] 133:24</p> <p><b>president</b> [3] 49:16<br/>107:22 248:4</p> <p><b>pressure</b> [1] 311:11</p> <p><b>prestigious</b> [4] 154:9<br/>317:4,9,14</p> <p><b>presumably</b> [4] 46:2<br/>132:10 137:24 198:6</p> <p><b>presume</b> [1] 273:18</p> <p><b>pretty</b> [3] 24:15 63:24<br/>65:5</p> <p><b>prevent</b> [4] 13:2 112:14<br/>112:15 325:18</p> <p><b>preventing</b> [1] 119:17</p> <p><b>previous</b> [9] 63:10 137:3<br/>146:2 164:7,15 169:1<br/>198:10,20 200:18</p> <p><b>primary</b> [5] 103:17<br/>104:13 109:12 110:8<br/>139:21</p> <p><b>primitive</b> [1] 83:15</p> <p><b>principles</b> [1] 53:25</p> <p><b>print</b> [1] 206:4</p> <p><b>printed</b> [3] 51:21 184:19<br/>247:22</p> <p><b>printing</b> [1] 53:3</p> <p><b>printout</b> [1] 208:24</p> <p><b>priorities</b> [2] 35:2,8</p> <p><b>prioritize</b> [2] 134:13<br/>200:14</p> <p><b>prioritized</b> [1] 134:20</p> <p><b>priority</b> [4] 35:4 47:13<br/>47:13 85:11</p> <p><b>Pritchard</b> [2] 265:24,25</p> <p><b>Pritchard/Jackie</b> [1]<br/>1:8</p> <p><b>Pritchett</b> [3] 1:16 274:23<br/>274:24</p> <p><b>privilege</b> [1] 11:6</p> <p><b>proactive</b> [1] 39:20</p> <p><b>problem</b> [38] 16:4 26:8<br/>46:2 66:17 76:5 110:7<br/>113:10,11 147:3 161:9<br/>165:3,8 166:3,21 185:11<br/>200:5 232:24,25 233:9<br/>233:20,21,22 234:1 235:2<br/>235:4 254:18,19 255:22<br/>256:9,14 257:3 270:18<br/>271:15 276:2,4 288:18<br/>288:22 289:12</p> <p><b>problems</b> [14] 56:3<br/>80:25 107:3 108:2 134:4<br/>136:17 218:4 240:6 254:9<br/>271:3 287:16 290:19<br/>301:22 325:19</p> <p><b>procedure</b> [27] 82:20</p> | <p>83:9 85:7 86:21 88:9<br/>98:12 105:10 107:7 111:3<br/>111:3 115:14 136:15<br/>139:20 149:12 156:14<br/>180:1 199:16 201:6<br/>251:13 296:20 297:16<br/>302:5 306:20 307:12,14<br/>311:8 312:9</p> <p><b>procedures</b> [5] 251:24<br/>256:3 298:19 303:16<br/>310:18</p> <p><b>process</b> [27] 63:11 68:12<br/>68:13,16 83:19 91:2<br/>95:22 97:8,14 98:19<br/>99:11 106:5 117:20<br/>124:24 137:9 144:13<br/>162:12 170:19 202:11<br/>205:1 232:10,23 233:25<br/>250:7,22 308:19 319:2</p> <p><b>processed</b> [3] 206:25<br/>276:24,25</p> <p><b>processes</b> [1] 276:12</p> <p><b>processing</b> [1] 256:3</p> <p><b>produce</b> [1] 85:21</p> <p><b>produced</b> [2] 85:14<br/>294:4</p> <p><b>producing</b> [3] 90:4<br/>134:18 300:22</p> <p><b>professional</b> [3] 5:19<br/>264:22 266:18</p> <p><b>professionally</b> [1] 10:20</p> <p><b>professionals</b> [2] 310:20<br/>324:21</p> <p><b>professor</b> [9] 6:14,18 7:2<br/>16:22 17:9 40:6,6,8<br/>213:5</p> <p><b>proficiency</b> [2] 222:17<br/>223:15</p> <p><b>profile</b> [1] 24:3</p> <p><b>progesterone</b> [19] 82:2<br/>102:7 103:21 141:13<br/>142:6,10 153:17 154:20<br/>154:25 171:9 176:16<br/>194:3,8 211:22 228:24<br/>229:3 237:24 307:21<br/>313:3</p> <p><b>prognosis</b> [2] 303:8,8</p> <p><b>prognostic</b> [3] 112:8,17<br/>155:5</p> <p><b>program</b> [34] 7:1 9:21<br/>10:25 29:25 66:9 69:20<br/>85:10,11 100:13 126:17<br/>126:19,19,20 220:2,4<br/>221:22,24 224:22 261:20<br/>261:24 262:2,3 273:3,8<br/>273:25 276:15 277:2,17<br/>278:2,3,9 281:13 316:15<br/>318:22</p> <p><b>programs</b> [16] 223:1,4<br/>223:4,20,23 224:3,5,17<br/>274:17,18,18 278:22,24<br/>281:13 298:13 319:17</p> <p><b>progressed</b> [1] 68:24</p> <p><b>progression</b> [1] 119:4</p> <p><b>project</b> [3] 128:11 284:23<br/>284:24</p> <p><b>projects</b> [3] 24:4 98:6</p> |
|--|---|--|---|--|

|   |  |   |   |   |
|---|--|---|---|---|
| <p>149:18<br/><b>promote</b> [1] 287:25<br/><b>promoted</b> [4] 17:8 40:5 40:7,17<br/><b>promoting</b> [2] 287:15 287:17<br/><b>promotion</b> [1] 17:8<br/><b>pronounce</b> [1] 102:8<br/><b>proof</b> [1] 262:6<br/><b>proper</b> [6] 25:23,23,24 26:5 307:15,15<br/><b>properly</b> [3] 14:1 274:12 323:12<br/><b>proportions</b> [1] 253:18<br/><b>proposal</b> [11] 167:6,12 167:25 188:6,8,11,13 189:20 190:5,8 284:24<br/><b>proposed</b> [1] 187:1<br/><b>prospective</b> [2] 66:10 66:11<br/><b>prostate</b> [1] 75:3<br/><b>protocol</b> [3] 48:4 162:13 200:21<br/><b>protocols</b> [4] 67:25 147:5 161:11 299:1<br/><b>prove</b> [1] 157:18<br/><b>provide</b> [8] 117:3 122:8 122:12 132:4,23 285:7 310:19 326:1<br/><b>provided</b> [1] 147:9<br/><b>Providence</b> [1] 103:10<br/><b>providers</b> [3] 101:25 281:6,15<br/><b>provides</b> [1] 273:9<br/><b>providing</b> [1] 216:22<br/><b>province</b> [12] 54:11 71:13 77:7 145:2,15 171:21 173:19 182:25 186:19 279:1 305:20 326:11<br/><b>province-wide</b> [2] 108:1 189:5<br/><b>provincial</b> [2] 189:12 326:5<br/><b>PR</b> [1] 192:10<br/><b>public</b> [6] 105:9 111:2 111:13 289:23 290:1 324:5<br/><b>publication</b> [3] 157:14 157:14 248:15<br/><b>publications</b> [3] 97:24 188:15,20<br/><b>published</b> [5] 12:9 157:8 248:10,14 251:7<br/><b>Pugh</b> [6] 147:21,23,25 147:25 148:2 149:17<br/><b>pull</b> [5] 89:13 280:13 281:6,9 312:4<br/><b>pull-down</b> [1] 281:9<br/><b>pulled</b> [1] 197:11<br/><b>pulling</b> [2] 263:15,16<br/><b>pulls</b> [1] 71:8<br/><b>purchase</b> [4] 98:9 156:19 202:18 299:13</p> | <p><b>purchased</b> [2] 48:2 86:4<br/><b>purchasing</b> [1] 85:23<br/><b>purpose</b> [10] 143:7 155:24 192:24 193:3 295:14 308:25 310:1,3,4 315:14<br/><b>purposes</b> [3] 148:20 240:3,14<br/><b>pursue</b> [1] 9:21<br/><b>pursuing</b> [1] 43:6<br/><b>pursuit</b> [1] 177:20<br/><b>push</b> [3] 161:5 162:4 189:17<br/><b>pushed</b> [1] 265:8<br/><b>pushes</b> [1] 119:11<br/><b>pushing</b> [4] 120:1,1 263:15,18<br/><b>Pushpanathan</b> [5] 22:16 123:14 125:14 145:25 163:17<br/><b>put</b> [19] 36:24 38:1 48:25 51:18 56:2 95:14 105:15 128:10 149:15,22 150:2 196:22 207:14 255:9 268:19 276:22 296:5 297:24 299:25<br/><b>puts</b> [1] 120:12<br/><b>putting</b> [3] 47:25 133:9 276:18</p> <hr/> <p style="text-align: center;"><b>-Q-</b></p> <hr/> <p><b>Q.C</b> [527] 1:6,7 2:3,8 4:3 4:6,17,21 5:4,16 7:3,19 7:24 8:4,19 9:2,7 10:1,6 10:12 11:14,21 12:17 13:3,11,17,24 14:6,24 15:4,14,18 16:6,11,16 16:25 17:13 18:5,11,19 19:3,16,25 20:7,12,17 21:6,11,16,25 22:7,12 22:19 23:21 24:16 25:10 26:2,12,17,23 27:20 28:2 28:6,18,23 29:7,13 30:5 30:13,17 31:2,6,10,18 32:2,8,12,16,20 33:2,10 34:7 36:5,12,18 37:4,9 37:18,24 38:10,14 39:2 39:6 41:6,19 42:22 43:4 43:11,17,23 44:4,20 45:1 45:6,12,21 46:1,6,14 47:6 48:10 49:3,7,11,15 49:20,24 50:11 52:5,24 53:8,21 54:4,14,24 55:4 55:8,15,21 56:10,18,23 57:14,22 58:2,6,10,14 58:20 59:9 61:20 62:9 62:19,23 64:5 65:9,17 65:21 66:1 67:17 68:6 68:10,21 69:14,23 70:14 71:19 72:10,15,20 73:7 73:16,21,25 74:12 76:14 76:24 77:5,12,16 78:3,8 78:15,21 80:6,11,16 81:5 81:14 84:16,22 85:1 87:10 88:1,5 89:16,23 90:2,11,15,21 91:1,7,16 91:21 92:14,22 93:4,8 93:14,25 94:7,16 95:7</p> | <p>95:16,20 96:11,18,22 97:1,6,11 98:14 99:10 99:17 100:5 101:12 102:1 103:9,13,19 104:2 106:11 106:22 107:1,11 108:16 108:22 109:2,8,24 110:4 110:22 111:8,17 113:1,9 113:17 114:3,7 115:15 115:24 116:5,11 118:8 121:4,20,25 122:6,15,20 123:6,19 124:11,20,25 126:10 127:3,12 128:24 129:5,17,22 131:4,15 132:17,22 133:14 135:10 135:17,20,25 137:4,10 137:15,22 138:13,19,25 139:9 140:6,10,18,22 141:1,5 142:22 143:1,6 143:12,18,24 144:14,18 145:5,10,20 146:8,12 148:4,11 149:3 150:11 150:17,21 151:3,24 152:3 152:8,23 153:6,13 154:11 154:16 155:11,18,23 156:6 157:6,11,17 158:2 158:16,22 159:5,12,20 159:24 160:3,8,17 161:3 162:15,19 233 163:3,10 164:20 165:18,23 166:10 166:16,20,25 167:20 168:14 169:3,12,17 170:4 170:15,24 171:17,24 172:9,22 173:6,11,16 174:17,22 175:12,18 176:6,11 177:9,14 178:18 179:22 181:21 182:3,15 182:20 183:11,22 184:15 184:24 185:16,23 186:2 186:17 187:7,14,19,25 188:4,23 189:18 190:3 190:11 191:1,15,21 192:1 192:7,23 193:24 194:12 194:16 195:2,7,15,19,24 196:3,8,14 197:4,10,19 201:1,11,15 202:10,17 203:1,6,10 204:4,12 205:7,12 206:11,17,23 207:3,7,12,18,22 208:2 208:7,20 209:11,15,19 209:25 210:10,24 211:5 211:10,15 212:3,9,14,23 213:16 214:7 215:1,21 216:14,19 217:1,8,16,21 218:1,14,19,24 219:3 220:3,11 222:4,16,25 223:11,19,24 224:4,13 225:11,21 226:9,17 227:18,24 228:7,14 229:19 230:4,16 231:8 231:14,24 233:23 234:5 234:10 235:15 236:8,15 236:19 237:10,15 238:7 238:14,20,25 239:7,16 240:17 242:19 243:16 258:12,17 259:11,19 260:3,11,15,19,24 261:9 261:18,23 262:8,16 263:4 263:10 264:7 265:6,20 325:2,3,12,23 326:6</p> <p><b>Q.C</b> [1] 326:12<br/><b>QA</b> [9] 60:25 149:18 219:6,7,11,11 222:9</p> | <p>259:13 278:9<br/><b>QMPLS</b> [6] 224:2 273:3 318:22,22 325:7,14<br/><b>qualifications</b> [1] 290:9<br/><b>qualified</b> [1] 259:6<br/><b>quality</b> [45] 7:1 32:6 54:3 60:8,25 64:14 65:3 66:8 69:19 70:12 71:7,9 76:10 220:14,18 221:22,23 226:19 245:9,11,13,21 246:4 261:20 262:6 265:16,17 273:8 275:9 275:13,21,22 277:22 278:21,24 279:16 280:8 280:16 290:11 316:2,8 317:9 318:16 322:15 323:7<br/><b>quantitative</b> [1] 155:2<br/><b>quarterly</b> [4] 126:8,9 221:17 277:4<br/><b>questioning</b> [2] 248:11 312:24<br/><b>questions</b> [19] 179:10 179:11 186:7 196:17 246:14 247:7 258:19 265:21 266:2,11 274:25 275:8 306:8,18,22 308:24 312:11,16,22<br/><b>quick</b> [1] 304:13<br/><b>quite</b> [5] 27:6 124:19 269:5 318:6,11<br/><b>quo</b> [1] 128:8<br/><b>quote</b> [1] 192:24</p> <hr/> <p style="text-align: center;"><b>-R-</b></p> <hr/> <p><b>r</b> [7] 30:3 83:13,20 86:13 251:10,10 261:15<br/><b>radiation</b> [2] 247:2 264:4<br/><b>radiology</b> [1] 280:5<br/><b>raise</b> [4] 156:5 174:18 188:1,3<br/><b>raised</b> [1] 186:14<br/><b>ran</b> [2] 113:15 206:6<br/><b>random</b> [7] 64:15 259:14 259:17,22 292:4,8 293:6<br/><b>randomly</b> [1] 260:1<br/><b>range</b> [11] 28:1 75:4 191:6 192:4 210:5,6 303:16 304:3,10,11,11<br/><b>ranges</b> [1] 191:9<br/><b>rank</b> [1] 40:20<br/><b>rapid</b> [3] 199:14,20 201:3<br/><b>rates</b> [1] 253:18<br/><b>rather</b> [7] 25:24 47:5 76:6 109:20,21 206:8 215:6<br/><b>rationale</b> [1] 112:12<br/><b>RD</b> [2] 99:5,6<br/><b>Re-examination</b> [1] 2:8<br/><b>reaching</b> [1] 215:5<br/><b>reaction</b> [8] 102:15,16 168:15 169:8,14 272:11 272:15,17</p> | <p><b>reactive</b> [1] 191:4<br/><b>reactivity</b> [2] 192:10,16<br/><b>read</b> [17] 52:20,20 86:19 87:24 88:2,12 101:7 102:18 132:19 158:6 164:9 191:20 198:11 270:7 294:21 295:3 320:24<br/><b>reading</b> [12] 86:21 89:8 128:17 159:25 181:24 184:9 195:8 217:5 249:2 285:15,19 294:4<br/><b>reads</b> [5] 146:14 171:1 175:8 192:13 203:14<br/><b>ready</b> [4] 33:19 145:18 177:23 214:3<br/><b>reagents</b> [1] 298:22<br/><b>real</b> [3] 86:17,18 296:2<br/><b>realistic</b> [1] 181:9<br/><b>reality</b> [1] 89:1<br/><b>realize</b> [1] 287:9<br/><b>realized</b> [1] 63:15<br/><b>really</b> [25] 19:1 42:1 52:17 54:2 68:25 75:23 79:11 119:16,18 120:1 151:11,16,17,18 156:22 177:5 181:3 185:12 187:3 194:20 228:2 278:8 308:18 312:7 315:8<br/><b>reapplied</b> [1] 319:1<br/><b>reason</b> [7] 103:17 120:15 180:1 197:11 222:1 238:3 268:14<br/><b>reasonable</b> [1] 181:9<br/><b>reasons</b> [7] 33:8 75:19 83:6 180:14 225:3 263:16 268:19<br/><b>receive</b> [7] 131:2 160:13 193:6 204:23 213:9 225:6 264:25<br/><b>received</b> [13] 17:9 23:17 83:16 115:5 138:8 145:11 145:12 174:2 176:19 226:23 227:7 264:19 276:22<br/><b>receives</b> [3] 119:7 193:12 280:4<br/><b>receiving</b> [7] 33:25 87:13,14,15 88:19 89:11 133:20<br/><b>Recent</b> [1] 176:23<br/><b>receptor</b> [17] 1:2 128:1 131:24 150:24 151:5,13 168:3 176:16 190:12 210:15 228:22,23 237:21 237:22,24 313:3 328:4<br/><b>receptors</b> [49] 82:2,3,6 102:7 103:21 124:2 127:6 127:17,19,22,24 128:4 129:9,24 131:18 141:13 142:7,9,11 146:15 147:17 148:8 150:14 153:22,25 154:20,24,25 155:2 163:22 167:1 169:25 170:25 171:3,5 192:15 194:2,4,8,9 203:15,17 203:21 211:22 228:24</p> |
|---|--|---|---|---|

|   |  |  |   |  |
|---|--|--|---|--|
| <p>229:3 233:14,19 307:21<br/> <b>RECESS</b> [1] 239:4<br/> <b>recipe</b> [13] 94:15 99:23<br/>                 109:21 251:19,20 279:2<br/>                 299:18 302:3 303:19<br/>                 304:9 307:25 308:1,1<br/> <b>recipes</b> [3] 85:6 94:15<br/>                 279:1<br/> <b>recognition</b> [1] 41:2<br/> <b>recognize</b> [1] 256:12<br/> <b>recognized</b> [3] 7:16<br/>                 37:12 128:9<br/> <b>recollection</b> [3] 29:8<br/>                 228:9 282:21<br/> <b>recommendation</b> [2]<br/>                 203:19 278:12<br/> <b>recommendations</b> [1]<br/>                 323:21<br/> <b>recommended</b> [3]<br/>                 146:20 158:8 164:10<br/> <b>reconcile</b> [1] 219:20<br/> <b>record</b> [14] 51:19 61:22<br/>                 62:6,7,20 64:6,8 67:6,8<br/>                 67:13 80:18 96:1 130:15<br/>                 149:16<br/> <b>record-keeping</b> [1]<br/>                 141:2<br/> <b>recorded</b> [4] 65:11 66:6<br/>                 171:9 182:16<br/> <b>recording</b> [3] 160:5<br/>                 182:23 294:16<br/> <b>records</b> [4] 53:6 95:21<br/>                 149:21 226:13<br/> <b>recounting</b> [1] 225:16<br/> <b>rectified</b> [1] 240:24<br/> <b>recurrence</b> [5] 112:10<br/>                 112:15,15 119:9 264:2<br/> <b>redacted</b> [1] 205:18<br/> <b>redistributed</b> [1] 29:1<br/> <b>redone</b> [1] 183:18<br/> <b>reduced</b> [1] 133:22<br/> <b>refer</b> [12] 8:5 106:13<br/>                 109:9 111:18 144:19<br/>                 184:1 189:19 216:4<br/>                 226:19 232:2 244:18<br/>                 290:24<br/> <b>reference</b> [21] 10:13<br/>                 106:4 129:23 139:10<br/>                 142:16 158:3 161:6<br/>                 164:25 176:15 179:12<br/>                 186:3 194:18 196:5,9<br/>                 199:9 201:2 215:3 226:21<br/>                 313:21 322:14 325:5<br/> <b>referenced</b> [2] 154:5<br/>                 313:25<br/> <b>references</b> [5] 24:18<br/>                 154:4 227:2 231:21<br/>                 298:11<br/> <b>referral</b> [1] 170:1<br/> <b>referred</b> [19] 10:14 50:6<br/>                 62:25 63:4 75:10 104:24<br/>                 131:19 140:1 148:6<br/>                 167:21 176:18 183:13,15<br/>                 186:9 211:20 219:9 224:6<br/>                 260:6 325:7</p> | <p><b>referring</b> [6] 81:8<br/>                 111:10 141:15 225:23<br/>                 229:7,17<br/> <b>refers</b> [2] 170:7 241:20<br/> <b>reflect</b> [3] 106:15 241:23<br/>                 288:20<br/> <b>reflected</b> [1] 108:3<br/> <b>regard</b> [4] 69:24 72:23<br/>                 199:1 226:13<br/> <b>regarded</b> [2] 128:1 130:1<br/> <b>regarding</b> [6] 105:10<br/>                 111:2 192:9 203:20<br/>                 275:16 282:20<br/> <b>regards</b> [3] 141:25 171:5<br/>                 199:14<br/> <b>regime</b> [1] 115:19<br/> <b>region</b> [1] 286:23<br/> <b>Regional</b> [3] 1:10,17<br/>                 205:15<br/> <b>Registrar</b> [15] 4:7,15 5:6<br/>                 5:10 13:20 58:24 123:7<br/>                 125:6 140:14,20 141:3<br/>                 142:5 163:11 213:17<br/>                 308:23<br/> <b>registration</b> [1] 282:18<br/> <b>registry</b> [12] 279:14,17<br/>                 279:22 281:21 282:3<br/>                 283:19 284:4,5,17 286:2<br/>                 287:8 323:2<br/> <b>regrets</b> [1] 145:25<br/> <b>regular</b> [8] 53:17,18<br/>                 57:12 83:23 126:2,7<br/>                 144:9 241:1<br/> <b>regularly</b> [5] 174:7<br/>                 221:20,20 248:3 275:25<br/> <b>reimbursement</b> [1]<br/>                 224:20<br/> <b>relate</b> [2] 103:20 199:25<br/> <b>related</b> [4] 100:23 102:19<br/>                 111:4 240:24<br/> <b>relates</b> [2] 140:1 284:13<br/> <b>relation</b> [10] 25:16 65:10<br/>                 113:10 188:20 196:10<br/>                 230:6 231:15 249:21<br/>                 254:17 319:12<br/> <b>relationship</b> [4] 44:13<br/>                 76:11 106:15 107:16<br/> <b>relatively</b> [2] 41:15<br/>                 177:21<br/> <b>release</b> [4] 64:2,21<br/>                 301:19,21<br/> <b>released</b> [3] 16:4 82:21<br/>                 85:12<br/> <b>releasing</b> [2] 134:10<br/>                 221:17<br/> <b>reliability</b> [4] 177:22<br/>                 240:5 270:20 311:17<br/> <b>reliable</b> [6] 85:21 104:9<br/>                 110:20 274:16 303:12,13<br/> <b>reliably</b> [2] 105:2 257:12<br/> <b>relied</b> [1] 160:9<br/> <b>relieve</b> [1] 108:12<br/> <b>religion</b> [1] 60:20<br/> <b>relying</b> [3] 5:9 159:9<br/>                 297:17</p> | <p><b>remain</b> [1] 6:24<br/> <b>remained</b> [3] 20:13<br/>                 181:22 240:1<br/> <b>remains</b> [1] 139:14<br/> <b>remarks</b> [1] 198:25<br/> <b>remember</b> [36] 17:24<br/>                 24:25 27:5 28:12 40:2<br/>                 71:4 72:25 83:12 88:13<br/>                 91:20 94:21 96:3 97:16<br/>                 100:21 110:12,15 111:23<br/>                 113:24 116:8 118:16<br/>                 126:1 130:7 149:6 151:10<br/>                 156:12 174:1 191:18<br/>                 242:14 255:3 260:8 271:8<br/>                 271:16 302:14 308:17,18<br/>                 308:20<br/> <b>remembering</b> [1] 29:14<br/> <b>reminded</b> [1] 89:6<br/> <b>reminder</b> [4] 139:12<br/>                 140:7,7 204:25<br/> <b>removed</b> [8] 34:20,20<br/>                 82:16 114:13 119:6<br/>                 120:14 254:22,23<br/> <b>remuneration</b> [1] 38:2<br/> <b>renowned</b> [1] 28:13<br/> <b>reorganize</b> [1] 59:15<br/> <b>repeat</b> [5] 47:2 182:10<br/>                 185:3 257:18 296:1<br/> <b>repeated</b> [1] 235:8<br/> <b>repeats</b> [1] 249:22<br/> <b>replace</b> [2] 104:22<br/>                 301:25<br/> <b>replaced</b> [1] 227:3<br/> <b>replacement</b> [2] 106:2<br/>                 217:23<br/> <b>replacements</b> [1] 227:3<br/> <b>report</b> [74] 41:14 42:11<br/>                 42:13 45:15,16,19 48:15<br/>                 48:20 66:12,14,22 67:1<br/>                 67:5 73:1 76:3 87:1,15<br/>                 87:16 88:21 121:3 131:2<br/>                 147:18 160:24,25 161:23<br/>                 168:3,25 169:1 171:7,12<br/>                 171:21 172:20,21 178:2<br/>                 178:12,21 186:13 187:11<br/>                 190:12 192:11 193:6<br/>                 197:12 208:24 213:1,2<br/>                 220:22 226:20 228:20,22<br/>                 229:9 234:15 237:17<br/>                 246:21 247:5 257:16,18<br/>                 257:23,25 267:13 268:21<br/>                 269:5 281:9 283:10<br/>                 284:10 294:1 295:18,20<br/>                 296:6 320:23,24 321:3,8<br/>                 321:12 322:11<br/> <b>reported</b> [39] 41:13,22<br/>                 42:7,12 44:22 48:16,17<br/>                 48:23,25 49:2,16 127:13<br/>                 128:14 130:4 154:22<br/>                 178:5 190:1,23 193:10<br/>                 221:19 235:20,22,22,23<br/>                 249:14,15 250:11,15,16<br/>                 257:21 266:17 267:1,17<br/>                 268:10 270:16,21 276:23<br/>                 276:24 295:14<br/> <b>reporting</b> [77] 45:8,14<br/>                 47:4,5 48:13 88:19<br/>                 117:12 127:22,24 128:12</p> | <p>128:14,16 129:8,13,24<br/>                 133:12 139:20 141:17<br/>                 145:3 147:1 148:13,15<br/>                 148:18 149:14 153:21<br/>                 154:19 155:1 160:4 161:7<br/>                 161:11 167:4,13 168:1<br/>                 171:5 173:21,24 175:2,7<br/>                 176:15 177:17,25 188:6<br/>                 188:12 189:20,23 190:5<br/>                 194:6,21 197:25 198:12<br/>                 198:23 203:20 241:19<br/>                 245:5,13,24 246:1,3,10<br/>                 246:12 247:11 248:13,17<br/>                 248:25 266:13 267:20<br/>                 268:9,11 269:8 281:1<br/>                 287:16 311:4 319:21,25<br/>                 320:7,18 322:15<br/> <b>reports</b> [24] 27:13 71:8<br/>                 71:9 87:14 128:3 178:4<br/>                 196:19 221:16,17 228:19<br/>                 229:14 249:2 267:11<br/>                 280:13 281:7,15 282:2,4<br/>                 282:8,11,16 283:2,6,17<br/> <b>represent</b> [2] 85:9 275:6<br/> <b>representative</b> [2]<br/>                 142:18 145:14<br/> <b>reprocessing</b> [1] 241:7<br/> <b>reproducible</b> [2] 161:24<br/>                 177:18<br/> <b>reputable</b> [1] 13:16<br/> <b>request</b> [9] 50:19 139:18<br/>                 141:23 144:23 145:13<br/>                 200:21,25 205:1 219:4<br/> <b>requested</b> [6] 134:9<br/>                 138:7 145:9 188:22 205:9<br/>                 282:4<br/> <b>requesting</b> [3] 27:14<br/>                 141:16 198:23<br/> <b>requests</b> [7] 136:9,13<br/>                 188:19 189:1 201:20<br/>                 204:17 241:1<br/> <b>require</b> [2] 69:25 311:9<br/> <b>required</b> [8] 8:17 107:8<br/>                 222:10 268:16,17 269:2<br/>                 282:13 284:9<br/> <b>requirement</b> [2] 268:15<br/>                 278:9<br/> <b>requirements</b> [8] 8:15<br/>                 9:14 12:3 277:15,24<br/>                 278:1,4 302:20<br/> <b>requisition</b> [12] 51:9,15<br/>                 56:14 114:24 172:19<br/>                 182:12,17 202:6 206:2,7<br/>                 208:9,17<br/> <b>requisitions</b> [1] 52:25<br/> <b>rereading</b> [1] 294:10<br/> <b>rescheduling</b> [1] 37:20<br/> <b>research</b> [28] 6:5 9:22<br/>                 10:15 11:5,11 12:13,18<br/>                 12:23 13:2 24:2,3 30:2<br/>                 97:20 98:5 100:12 101:14<br/>                 149:18 251:17 280:10,10<br/>                 280:11 284:23 285:10,12<br/>                 295:16 299:1 316:22<br/>                 317:22<br/> <b>researcher</b> [1] 97:18<br/> <b>researchers</b> [2] 30:22<br/>                 30:23</p> | <p><b>residency</b> [6] 6:7 9:9,12<br/>                 13:7,12,14<br/> <b>resident</b> [10] 14:13 23:8<br/>                 25:8,19 97:18,20 148:2<br/>                 197:6,13 294:10<br/> <b>residents</b> [17] 24:4 25:6<br/>                 26:7 27:24 61:4 79:21<br/>                 79:24 101:22,23 149:17<br/>                 196:25 231:4,11 243:25<br/>                 255:5,10 305:2<br/> <b>resignations</b> [2] 226:23<br/>                 227:8<br/> <b>resisted</b> [1] 265:19<br/> <b>resource</b> [3] 42:10<br/>                 244:22 308:3<br/> <b>resources</b> [11] 70:1<br/>                 71:15 134:25 135:19,21<br/>                 180:13 220:16 221:10<br/>                 222:2 277:12 306:24<br/> <b>respect</b> [5] 17:14 44:7<br/>                 262:7 312:25 324:6<br/> <b>respected</b> [1] 139:16<br/> <b>respectfully</b> [1] 42:18<br/> <b>respective</b> [4] 88:12<br/>                 181:20 198:14 214:10<br/> <b>respond</b> [1] 24:13<br/> <b>responding</b> [2] 218:3,4<br/> <b>response</b> [2] 238:6 325:6<br/> <b>responsibilities</b> [2]<br/>                 107:18 216:1<br/> <b>responsibility</b> [4] 107:4<br/>                 109:19 139:14 198:12<br/> <b>responsible</b> [10] 41:22<br/>                 41:24 54:18,21 55:22<br/>                 56:6 105:18 109:20 179:3<br/>                 303:25<br/> <b>rest</b> [1] 82:25<br/> <b>result</b> [15] 32:17 85:12<br/>                 94:23 122:23 134:15,16<br/>                 147:1 159:8 192:18 236:2<br/>                 252:19,21 271:18,19<br/>                 289:4<br/> <b>resulting</b> [1] 271:4<br/> <b>results</b> [64] 82:21 85:21<br/>                 88:10 97:2 104:9 105:17<br/>                 117:16,17 118:18,21<br/>                 128:13 132:6,25 146:14<br/>                 147:10 148:6,7 149:23<br/>                 150:8 151:22 153:1,24<br/>                 161:7 171:8 176:17,24<br/>                 177:2,6,17 178:1,21<br/>                 187:16 193:6 198:13<br/>                 199:19 241:4,12,23<br/>                 251:21 266:13 270:20<br/>                 271:25 274:16 275:13<br/>                 283:3 284:19 285:19<br/>                 286:3 294:17,23 295:7<br/>                 296:8,21 297:11 300:22<br/>                 303:12,14 309:3 310:7<br/>                 312:6 313:2,5 314:12<br/>                 315:7<br/> <b>resume</b> [1] 241:1<br/> <b>retest</b> [2] 235:21 236:10<br/> <b>retested</b> [2] 234:20,22<br/> <b>retesting</b> [6] 81:18,19<br/>                 235:11,12 249:8 271:25<br/> <b>retrieval</b> [5] 90:7,10,14</p> |
|---|--|--|---|--|

Inquiry on Hormone Receptor Testing

|  |   |  |  |  |
|--|---|--|--|--|
| <p>91:4 253:9<br/> <b>retrieve</b> [1] 281:15<br/> <b>retrieving</b> [1] 294:13<br/> <b>retrospectively</b> [1] 120:8<br/> <b>return</b> [4] 141:20 144:20 205:21 211:23<br/> <b>returned</b> [1] 197:7<br/> <b>reveals</b> [1] 80:22<br/> <b>review</b> [16] 64:15 66:11 66:11,23 75:9,9,17 76:1 76:19 132:5 177:4 260:1 285:1 290:25 291:1 304:16<br/> <b>reviewed</b> [7] 65:4,4 66:12,16 67:2,3 304:18<br/> <b>reviewing</b> [4] 75:23 179:3 264:24 269:25<br/> <b>reviews</b> [4] 75:10 259:18 259:23 273:19<br/> <b>REVISED</b> [1] 3:1<br/> <b>revolution</b> [1] 73:2<br/> <b>Rhode</b> [2] 103:8,10<br/> <b>rider</b> [3] 171:12 203:16 203:19<br/> <b>right</b> [30] 1:8 33:11 50:8 53:4 70:9,25 80:12 86:7 99:25 126:8 127:18 139:12 156:4 157:21 167:11,25 198:5 220:17 220:17 232:20 236:2 246:9 264:5 271:21 280:16 286:5 287:3 290:22 303:20 313:25<br/> <b>right-hand</b> [1] 210:13<br/> <b>rigorous</b> [3] 297:25 301:20 302:4<br/> <b>risk</b> [7] 119:19 120:6,12 120:16 243:8 244:8 300:22<br/> <b>Robb</b> [7] 98:4,10 139:4 213:22,25 214:1 215:23<br/> <b>robust</b> [2] 71:6 321:24<br/> <b>rocket</b> [1] 307:8<br/> <b>role</b> [17] 47:5,5 55:11 56:8 97:17 107:25,25 108:1 193:23 198:25 200:14 217:13 269:25 275:11 279:14 280:21 303:9<br/> <b>roles</b> [1] 215:16<br/> <b>Rolf</b> [1] 1:8<br/> <b>rolled</b> [1] 144:2<br/> <b>room</b> [5] 27:10 72:23 95:14 255:10 274:10<br/> <b>rooms</b> [1] 23:16<br/> <b>root</b> [1] 276:1<br/> <b>Rosemary</b> [1] 126:18<br/> <b>rotate</b> [1] 131:9<br/> <b>rotating</b> [2] 10:9 216:1<br/> <b>rough</b> [2] 29:21 191:3<br/> <b>round</b> [1] 60:20<br/> <b>rounds</b> [13] 35:21 59:2,5 59:17,18,21,22 65:23</p> | <p>219:11 231:4 304:14,24 305:25<br/> <b>routine</b> [2] 35:4 214:16<br/> <b>routines</b> [2] 35:3,6<br/> <b>Royal</b> [3] 9:18 17:21,22<br/> <b>rudimentary</b> [1] 247:18<br/> <b>rules</b> [1] 218:2<br/> <b>run</b> [21] 42:20 97:22 105:12 108:19 110:19 115:10 135:4 176:25 179:2,20 180:2,3,11,15 234:6 252:2,11,15 301:20 308:25 309:8<br/> <b>running</b> [8] 54:1,8 85:5 94:21 111:22 112:16 258:24 307:3<br/> <b>Ryan</b> [2] 282:3,20</p> <hr/> <p style="text-align: center;"><b>-S-</b></p> <hr/> <p><b>s</b> [8] 83:13,20,20 164:9 164:13 227:4 251:10,10<br/> <b>S1778-98</b> [1] 209:3<br/> <b>S4598-98</b> [1] 209:16<br/> <b>sabbatical</b> [1] 214:21<br/> <b>safely</b> [1] 104:20<br/> <b>safer</b> [2] 75:20 289:11<br/> <b>safety</b> [13] 72:1,3,19,21 73:4,13,13 220:24 287:15 287:18,25 289:24 290:3<br/> <b>salaries</b> [1] 39:23<br/> <b>salary</b> [8] 38:20 39:10 39:17,25 40:1,17,19 41:3<br/> <b>sales</b> [1] 39:12<br/> <b>Salt</b> [1] 103:5<br/> <b>sample</b> [5] 145:14 156:7 254:10 292:4 311:16<br/> <b>samples</b> [3] 81:20 86:5 259:14<br/> <b>sampling</b> [1] 153:8<br/> <b>Sandra</b> [1] 1:7<br/> <b>Saskatchewan</b> [1] 156:17<br/> <b>sat</b> [3] 51:10 64:1 66:24<br/> <b>satisfactory</b> [2] 150:8 312:5<br/> <b>satisfied</b> [4] 86:20 183:4 232:5 257:12<br/> <b>save</b> [1] 299:24<br/> <b>saving</b> [2] 264:5,13<br/> <b>saw</b> [19] 18:2 63:2 67:14 84:7 120:20 150:9 164:15 204:2 231:2 251:6,6 253:13,15 263:23 269:14 270:15 276:17 311:5,9<br/> <b>says</b> [15] 67:10 99:22 100:1 125:17 126:14 127:13 131:24 158:23 165:3 168:3 172:1 206:12 214:9 234:24 305:3<br/> <b>scale</b> [8] 30:4 39:17,25 40:1 41:4 153:2 154:6 271:25<br/> <b>scan</b> [1] 248:9<br/> <b>scenario</b> [1] 235:16</p> | <p><b>schedule</b> [6] 25:3 36:22 134:21 214:9,11,12<br/> <b>scheduled</b> [3] 24:19 36:23 174:25<br/> <b>scheduling</b> [6] 25:7 36:21 141:8 197:22,23 218:3<br/> <b>scheme</b> [1] 186:11<br/> <b>scholar</b> [2] 10:15,21<br/> <b>scholarship</b> [3] 5:25 10:22 11:7<br/> <b>school</b> [4] 5:23 23:25 81:2 213:6<br/> <b>science</b> [3] 134:17 246:24 307:8<br/> <b>Sciences</b> [20] 17:15 18:7 21:4,19 48:12 59:12 118:1 126:3 128:21 131:3 155:22 165:21 166:8,14 178:14 180:4,6 210:3 221:4 305:1<br/> <b>scientific</b> [5] 291:7 298:1 299:10 313:10,14<br/> <b>screen</b> [2] 7:6 8:7<br/> <b>scroll</b> [2] 5:10 292:15<br/> <b>se</b> [1] 103:15<br/> <b>seated</b> [1] 239:6<br/> <b>second</b> [25] 13:19 59:1 61:3 63:22 64:13,21 75:5 88:8 107:13 110:23 117:10 118:6 150:22 164:8 175:1 176:20 191:2 213:12 215:2 230:23,23 241:15 243:4 253:15 294:9<br/> <b>secondary</b> [1] 299:17<br/> <b>seconded</b> [4] 146:3 164:14 198:18 199:6<br/> <b>secretaries</b> [1] 204:24<br/> <b>section</b> [10] 14:21 23:15 70:13 83:17,18 191:5 219:13,16 251:11 304:6<br/> <b>sections</b> [4] 70:18 83:15 86:25 167:2<br/> <b>see</b> [78] 8:7 26:8 27:6,7 53:6 59:1 67:18 68:18 72:19 79:24 92:5 100:9 116:20 117:10 120:18 125:4 130:15 131:6 133:11 138:1 146:24 150:7 152:14 153:11 156:15 157:20 158:11 162:2,11,12 168:18 172:10 177:6,10 180:5 183:9 184:10 196:5 202:8 208:14,23 230:13 231:5 244:7 246:18 251:12,22 254:3,5 256:12 258:16 261:3,3,7 263:23 269:5 269:18 270:3,16 271:15 275:25 277:24 280:20 283:11 284:17 286:4 288:6 290:2,18 292:16 295:23 296:6,7 312:4 314:13 317:8 323:6,6<br/> <b>SEED</b> [1] 98:8<br/> <b>seeing</b> [7] 56:6 87:20</p> | <p>118:18,19 256:16 271:3 284:7<br/> <b>seek</b> [4] 24:8,9 147:7 161:12<br/> <b>seeking</b> [1] 317:12<br/> <b>seem</b> [4] 116:20 147:2 165:14 316:2<br/> <b>seemingly</b> [1] 222:12<br/> <b>sees</b> [1] 288:7<br/> <b>selected</b> [6] 11:4 116:10 176:24 185:20 267:8,8<br/> <b>self</b> [1] 288:14<br/> <b>self-evident</b> [1] 220:5<br/> <b>sells</b> [1] 299:22<br/> <b>semi</b> [1] 291:6<br/> <b>semi-scientific</b> [1] 151:19<br/> <b>semi-synoptic</b> [3] 321:5 321:6,11<br/> <b>send</b> [27] 35:14 51:23 63:22,23 75:16 76:20 82:13 88:16,25 133:9 142:18 178:11,12 180:21 181:14,20 182:11 183:5 183:10 206:5,12,18,18 242:10 243:6 261:4 272:21<br/> <b>sending</b> [11] 88:11 123:1 133:19 134:14 172:18 178:10 180:23 182:22 219:4 259:14,23<br/> <b>sends</b> [2] 82:25 88:15<br/> <b>senior</b> [4] 39:19 40:22 79:14 99:3<br/> <b>sense</b> [24] 7:9 22:21 29:16 31:23 41:22 46:9 50:2 58:21 67:21 74:1 76:7 111:13 126:11 146:5 160:4 185:22 197:2 201:25 217:22 249:13 250:14 262:24 288:25 325:9<br/> <b>sensitive</b> [8] 105:10 110:17 111:3 112:21,21 242:17 253:8 275:23<br/> <b>sensitivity</b> [8] 153:22 154:1,21 221:5 240:6 253:7 271:9 324:7<br/> <b>sent</b> [10] 63:16 143:14 144:10 145:15 206:7 207:8 259:7,25 284:4 291:20<br/> <b>sentence</b> [2] 164:8 165:4<br/> <b>separate</b> [2] 142:3 166:9<br/> <b>separately</b> [1] 151:21<br/> <b>September</b> [9] 10:15 15:22 59:3,4 140:12 141:9 143:3 147:20 291:4<br/> <b>series</b> [6] 149:22 154:1 157:15 308:24 309:9 313:22<br/> <b>serious</b> [1] 112:24<br/> <b>seriously</b> [1] 141:15<br/> <b>serve</b> [2] 126:16 295:16<br/> <b>served</b> [2] 60:22 215:8</p> | <p><b>serves</b> [1] 112:23<br/> <b>service</b> [11] 14:15 30:24 54:12 78:2 79:20 80:1,4 88:14 105:11 302:16 326:2<br/> <b>services</b> [4] 76:9 79:2 273:9 274:1<br/> <b>serving</b> [2] 295:14,15<br/> <b>session</b> [1] 226:3<br/> <b>sessions</b> [2] 62:4 226:1<br/> <b>set</b> [11] 34:1 60:3 61:8 99:19 153:20 154:18 163:20 246:14 247:7,25 266:25<br/> <b>setting</b> [4] 19:22 113:5 193:21 235:14<br/> <b>settled</b> [1] 74:6<br/> <b>seven</b> [2] 28:12 116:9<br/> <b>several</b> [10] 24:3 30:3 75:19 83:9 92:9,12 100:25 177:3 185:8 322:1<br/> <b>severe</b> [1] 130:18<br/> <b>shame</b> [1] 288:14<br/> <b>share</b> [2] 188:16 286:17<br/> <b>sheet</b> [4] 51:15 94:13 99:23 298:9<br/> <b>sheets</b> [1] 298:24<br/> <b>shift</b> [1] 33:16<br/> <b>shifts</b> [1] 34:3<br/> <b>ship</b> [1] 301:23<br/> <b>shock</b> [1] 40:20<br/> <b>shocked</b> [1] 38:19<br/> <b>shop</b> [1] 299:20<br/> <b>sense</b> [24] 7:9 22:21 29:16 31:23 41:22 46:9 50:2 58:21 67:21 74:1 76:7 111:13 126:11 146:5 160:4 185:22 197:2 201:25 217:22 249:13 250:14 262:24 288:25 325:9<br/> <b>sensitive</b> [8] 105:10 110:17 111:3 112:21,21 242:17 253:8 275:23<br/> <b>sensitivity</b> [8] 153:22 154:1,21 221:5 240:6 253:7 271:9 324:7<br/> <b>sent</b> [10] 63:16 143:14 144:10 145:15 206:7 207:8 259:7,25 284:4 291:20<br/> <b>sentence</b> [2] 164:8 165:4<br/> <b>separate</b> [2] 142:3 166:9<br/> <b>separately</b> [1] 151:21<br/> <b>September</b> [9] 10:15 15:22 59:3,4 140:12 141:9 143:3 147:20 291:4<br/> <b>series</b> [6] 149:22 154:1 157:15 308:24 309:9 313:22<br/> <b>serious</b> [1] 112:24<br/> <b>seriously</b> [1] 141:15<br/> <b>serve</b> [2] 126:16 295:16<br/> <b>served</b> [2] 60:22 215:8</p> |
|--|---|--|--|--|

|  |   |   |  |   |
|--|---|---|--|---|
| <p><b>significant</b> [7] 40:4,4<br/>42:8 156:8,10 213:3<br/>252:19</p> <p><b>significantly</b> [4] 40:1<br/>41:4 91:12 268:5</p> <p><b>signified</b> [1] 182:4</p> <p><b>signing</b> [3] 11:12 15:12<br/>295:18</p> <p><b>Silverberg</b> [1] 14:17</p> <p><b>similar</b> [4] 153:24 272:5<br/>272:15 302:16</p> <p><b>similarly</b> [1] 85:21</p> <p><b>Simmons</b> [25] 1:10 2:4<br/>266:7,8,9,23 267:18<br/>268:7 269:3,12,17,23<br/>270:5,14,24 271:20 272:4<br/>272:10 273:1,7,13,17,22<br/>274:20,23</p> <p><b>simple</b> [3] 34:11 228:18<br/>289:3</p> <p><b>simplistic</b> [1] 51:11</p> <p><b>simply</b> [1] 246:12</p> <p><b>simultaneous</b> [2] 116:16<br/>121:9</p> <p><b>simultaneously</b> [1]<br/>187:15</p> <p><b>Sinai</b> [12] 225:1 235:22<br/>235:23 236:11 249:9,14<br/>250:6,18,18 316:14,22<br/>317:5</p> <p><b>single</b> [1] 191:11</p> <p><b>sit</b> [5] 9:15 23:8 98:10<br/>289:6,10</p> <p><b>site</b> [103] 18:1,6,13 20:13<br/>21:18,19,22 22:4,9,15<br/>26:19 27:2 28:3,5,9<br/>31:13,20 32:3,5 34:25<br/>41:10,13,21 44:5 47:7<br/>47:10,12 48:11,12,13,19<br/>54:23,25 55:10,13,18<br/>56:11,19,24 59:11 68:2<br/>68:25 104:16 105:21,22<br/>106:16 117:22 121:16<br/>123:22 124:14,15 125:10<br/>126:5 132:10 136:6<br/>137:23 138:4,14 145:22<br/>150:9 155:16 163:18<br/>165:1 169:19 172:3,19<br/>180:16 181:23 197:22,23<br/>199:4,17 201:5,7 202:12<br/>202:13 203:7,9 204:20<br/>212:4,11,16,18 215:3,16<br/>215:17 216:2,8 218:9<br/>222:7,18 223:12 226:25<br/>227:3,5 240:9 254:7<br/>259:12 261:17 281:24<br/>282:9,12 283:18</p> <p><b>sites</b> [3] 131:10 215:10<br/>267:8</p> <p><b>sitting</b> [3] 50:18 62:3<br/>305:6</p> <p><b>situation</b> [12] 50:12<br/>79:12 104:17,23 105:16<br/>135:5 137:7 225:10<br/>233:24 277:21 299:6<br/>324:7</p> <p><b>situations</b> [1] 307:24</p> <p><b>six</b> [7] 116:9 153:14 227:8</p> | <p>240:8 321:17,17 322:5</p> <p><b>size</b> [3] 156:7 277:11<br/>311:16</p> <p><b>skills</b> [1] 12:10</p> <p><b>skin</b> [1] 74:22</p> <p><b>sliced</b> [1] 254:25</p> <p><b>slide</b> [26] 24:23 46:22<br/>47:21 48:1 60:7 67:11<br/>67:12,14,15 88:16 180:25<br/>184:7,11,22 205:19,21<br/>210:14 230:20 232:7<br/>236:22,23 256:12,14<br/>269:19 270:2 295:22</p> <p><b>slides</b> [75] 23:4,5,8,17<br/>24:22 33:14,19,21,22,24<br/>33:25 46:10 64:18 75:17<br/>86:20,22 87:1,5,23,24<br/>88:11,19,25 89:12 90:5<br/>90:17,18 91:11,17 96:1<br/>96:3,5 132:3 133:20<br/>135:7 137:21 138:7,8,10<br/>139:20 141:16,21 142:18<br/>143:14 144:21 159:13,21<br/>165:7 178:25 179:5 180:9<br/>181:2,15,19,24 182:8,13<br/>183:1 187:10 207:4,13<br/>207:15 259:24 269:14<br/>270:17 271:3 285:16,19<br/>291:10 294:4,10,13,21<br/>295:3 305:16</p> <p><b>slips</b> [1] 289:7</p> <p><b>Sloan</b> [3] 75:12,13,15</p> <p><b>slowly</b> [1] 157:4</p> <p><b>small</b> [5] 34:16 35:1<br/>118:5 192:11 195:1</p> <p><b>smaller</b> [1] 210:7</p> <p><b>smalls</b> [2] 34:13,13</p> <p><b>Smith</b> [1] 63:21</p> <p><b>smooth</b> [3] 179:8 186:5<br/>198:24</p> <p><b>smoothly</b> [1] 105:12</p> <p><b>social</b> [2] 35:18 263:18</p> <p><b>society</b> [7] 1:15 102:5<br/>245:11 260:12,16 275:7<br/>288:6</p> <p><b>solely</b> [2] 111:15 193:14</p> <p><b>solution</b> [2] 240:7 299:15</p> <p><b>solutions</b> [3] 92:8 110:11<br/>299:15</p> <p><b>solve</b> [1] 240:5</p> <p><b>someone</b> [17] 48:2 64:2<br/>66:21 82:11 99:24 100:23<br/>188:22 217:12 243:8,11<br/>244:5 255:7 258:9 280:13<br/>284:22 289:16 311:12</p> <p><b>sometime</b> [5] 17:5,18<br/>17:23 18:18 87:2</p> <p><b>sometimes</b> [9] 23:12<br/>25:7,19 40:12 46:23<br/>185:9 221:8 256:24 304:6</p> <p><b>somewhere</b> [3] 62:7<br/>103:7 259:7</p> <p><b>soon</b> [3] 59:25 104:22<br/>289:15</p> <p><b>SOP's</b> [2] 256:4 258:5</p> <p><b>sophisticated</b> [1] 247:21</p> | <p><b>sophistication</b> [1]<br/>277:10</p> <p><b>SOPs</b> [2] 258:11,13</p> <p><b>sorry</b> [17] 15:5,6 16:10<br/>18:25 40:25 123:18,18<br/>147:25 148:22 216:5<br/>217:20 219:8 252:5<br/>264:12 299:5 308:17<br/>318:8</p> <p><b>sort</b> [24] 9:9 27:17 67:16<br/>68:11 91:2 94:15 98:18<br/>113:10 124:8 149:16<br/>156:7 174:5 205:24 211:6<br/>289:22 301:14 306:25<br/>310:17 312:25 313:9<br/>316:18 319:14 320:1<br/>326:7</p> <p><b>sorts</b> [4] 125:23 276:12<br/>307:17 317:1</p> <p><b>sound</b> [1] 328:10</p> <p><b>sounds</b> [2] 292:25,25</p> <p><b>south</b> [1] 30:22</p> <p><b>speak</b> [4] 113:2 185:22<br/>264:6 289:15</p> <p><b>speakers</b> [1] 102:12</p> <p><b>speaking</b> [6] 179:15<br/>259:13 275:18,20 285:25<br/>298:5</p> <p><b>spec</b> [1] 99:23</p> <p><b>special</b> [9] 27:14 50:19<br/>53:18 55:24 57:1 102:16<br/>135:4 303:5 323:14</p> <p><b>specialized</b> [1] 14:14</p> <p><b>specialties</b> [1] 320:19</p> <p><b>specification</b> [3] 86:8<br/>94:12 298:9</p> <p><b>specificity</b> [4] 153:23<br/>154:2,21 240:6</p> <p><b>specifics</b> [4] 93:12<br/>214:18 272:24 286:21</p> <p><b>specimen</b> [12] 25:15 26:5<br/>34:16 83:1,17,19 126:14<br/>126:15 139:17 192:19<br/>255:25 277:1</p> <p><b>specimens</b> [4] 25:13<br/>34:12 35:14 176:24</p> <p><b>speed</b> [1] 134:10</p> <p><b>spell</b> [2] 4:8 168:5</p> <p><b>spelled</b> [2] 4:12 123:25</p> <p><b>spent</b> [3] 6:3 11:22<br/>196:16</p> <p><b>spheres</b> [1] 106:18</p> <p><b>spoke</b> [2] 260:6 324:12</p> <p><b>spoken</b> [1] 264:9</p> <p><b>spot</b> [1] 51:13</p> <p><b>spread</b> [1] 285:20</p> <p><b>spreadsheet</b> [3] 234:16<br/>234:17 235:5</p> <p><b>squeeze</b> [1] 27:18</p> <p><b>St</b> [154] 6:16 15:23 16:5,8<br/>16:12 18:7,21 19:11,17<br/>19:19 20:1,4,8,18,20<br/>21:3 22:1,4,23 25:11<br/>29:17 31:12,21 33:4,21<br/>36:6,8,13,15,15 38:3,19</p> | <p>39:12 50:13 53:12 59:12<br/>63:1,3 68:3 69:4 70:5<br/>71:22 72:21 73:4,6,11<br/>74:5,7,16 75:16,21 76:16<br/>76:20 77:8,8 81:23 82:1<br/>82:4 84:5 87:7,17 92:16<br/>92:24 93:10,17 94:9<br/>97:23 98:4,7 99:14<br/>100:16 107:21 116:1<br/>117:22 121:16 122:21,24<br/>123:11 124:7 125:12<br/>126:23 127:21 128:22<br/>129:7 130:16 131:3 132:1<br/>132:18 133:3 134:14<br/>143:20 145:3 164:25<br/>165:22,24,24 166:9,22<br/>172:4 173:7,17,18 174:3<br/>176:21 178:9 180:18<br/>181:5,6,22 196:16 200:3<br/>200:9,10 203:25 209:21<br/>209:22 210:18 212:4,10<br/>212:18,20 213:8 216:20<br/>217:2 223:6,8,13 224:8<br/>226:11 227:16,21 228:10<br/>239:13,19 252:3,11,14<br/>254:8 258:20 260:21<br/>261:12 267:25 281:20<br/>282:12 283:12,18 284:14<br/>287:6 291:20 305:9,15<br/>311:2 328:7,11</p> <p><b>staff</b> [55] 6:11,15,19,21<br/>8:15,16 9:3,6 14:14,23<br/>15:9 16:24 17:2,15 22:23<br/>22:25 24:19 25:8,18,22<br/>26:6,13,16 27:24 32:1<br/>33:18 38:23 39:7,10 43:1<br/>45:13 46:13,17 54:15<br/>55:16 56:2 60:1,12,21<br/>78:14 126:2 147:7 156:25<br/>161:12 168:13 172:8<br/>201:21 206:20 214:13,15<br/>214:20 216:2 218:7 226:3<br/>255:6</p> <p><b>staffing</b> [3] 165:11,25<br/>166:4</p> <p><b>stage</b> [6] 106:6 117:20<br/>168:21,23 177:20 198:22</p> <p><b>staged</b> [1] 323:12</p> <p><b>staging</b> [2] 279:24,25</p> <p><b>stain</b> [31] 46:18,19,24<br/>50:19,24 51:15,18,20,23<br/>51:25 52:21 56:4 60:14<br/>102:16,25 104:1 123:4<br/>133:5 134:7,9 172:20<br/>180:5 190:14 230:23<br/>232:3,9,13 236:5,12<br/>270:4 271:15</p> <p><b>stained</b> [5] 141:11,15<br/>185:1 203:17 235:25</p> <p><b>stainer</b> [3] 57:11 93:5<br/>250:25</p> <p><b>staining</b> [39] 53:14 55:24<br/>55:24,25 57:1,1,2 86:25<br/>89:5,18 93:17 102:7<br/>103:20 110:17 124:3<br/>127:16 128:18 131:19<br/>133:17,18,23 135:12<br/>147:17 178:22 179:6<br/>183:13,15,25 184:3,11<br/>184:21 188:7 190:16<br/>198:14 240:3 241:22,24</p> | <p>260:7 270:9</p> <p><b>stains</b> [26] 23:11 27:14<br/>46:10 50:7 51:12 52:2<br/>53:10 18 55:25 89:3,20<br/>90:8 91:3 102:17 134:19<br/>136:11 171:9 199:8,12<br/>230:25 231:18 239:22,23<br/>240:11,22 241:2</p> <p><b>stand</b> [1] 31:14</p> <p><b>standard</b> [14] 13:13<br/>111:23,24 112:1,4,18<br/>180:1 202:5 204:3 225:3<br/>266:25 267:1 279:9 284:9</p> <p><b>standardization</b> [5]<br/>27:13 88:22 146:25 161:7<br/>245:5</p> <p><b>standardize</b> [2] 247:10<br/>250:22</p> <p><b>standardized</b> [16]<br/>126:16 127:25 129:25<br/>229:15 246:1,3,10,12<br/>247:7 248:13,17,24<br/>280:25 283:5 322:10,10</p> <p><b>standardizing</b> [1]<br/>126:24</p> <p><b>standards</b> [1] 71:14</p> <p><b>start</b> [19] 33:19,21 35:7<br/>47:25 86:17 87:20,23<br/>88:18 134:21 149:14<br/>156:19 167:4 178:24<br/>180:23 181:1 276:16,17<br/>277:2 311:11</p> <p><b>started</b> [27] 22:23 27:11<br/>35:16 43:1 47:17,19<br/>75:25 84:8,12 85:23 86:4<br/>88:10,17 89:11 92:10,10<br/>98:7 130:19,20 161:18<br/>170:18 243:22 247:13<br/>253:15 262:2 280:24<br/>311:25</p> <p><b>starting</b> [4] 200:19 275:9<br/>289:17 293:20</p> <p><b>starts</b> [1] 23:25</p> <p><b>state</b> [4] 4:8 222:9 284:5<br/>317:7</p> <p><b>statement</b> [4] 68:9<br/>190:14 241:22 323:24</p> <p><b>statements</b> [1] 323:21</p> <p><b>States</b> [16] 9:16 11:1 12:6<br/>12:13 51:5 79:3 156:22<br/>162:9 223:5 224:18 277:8<br/>300:14 301:7 317:17,22<br/>322:4</p> <p><b>stationed</b> [2] 16:19<br/>200:9</p> <p><b>statistical</b> [4] 148:20,21<br/>152:17 311:17</p> <p><b>statistically</b> [3] 156:8,9<br/>285:25</p> <p><b>status</b> [14] 17:2,5,12<br/>40:24 126:13,25 128:8<br/>168:4 172:13 190:13<br/>228:22 237:21 317:4,10</p> <p><b>stay</b> [5] 81:1 181:4 265:8<br/>265:9 277:1</p> <p><b>stayed</b> [3] 6:20 96:10<br/>262:12</p> |
|--|---|---|--|---|

|   |   |   |  |   |
|---|---|---|--|---|
| <p><b>step</b> [4] 10:20 18:2<br/>199:19 321:2</p> <p><b>Stephen</b> [1] 14:17</p> <p><b>stepping</b> [1] 18:13</p> <p><b>steps</b> [3] 25:9 293:17<br/>298:6</p> <p><b>steroid</b> [7] 146:15 147:17<br/>148:7 163:22 167:1<br/>186:22 237:21</p> <p><b>sticking</b> [1] 255:14</p> <p><b>still</b> [46] 20:19,19,20,20<br/>21:7,8 33:25 68:15,16<br/>68:19 71:2 78:13 84:6<br/>86:23 94:20 106:5 116:1<br/>116:24 121:8,11 129:1<br/>146:24 158:10 159:1,9<br/>160:10,16 177:15 179:3<br/>187:16 195:25 196:23<br/>200:23 205:6 227:6<br/>234:21,22 235:12 248:22<br/>268:25 279:23 281:12<br/>301:22 302:8,13 303:19</p> <p><b>stimulated</b> [1] 119:24</p> <p><b>stomach</b> [2] 247:16<br/>255:1</p> <p><b>stood</b> [1] 156:3</p> <p><b>stop</b> [4] 48:7 86:12<br/>160:15 240:4</p> <p><b>stopped</b> [2] 89:14 253:14</p> <p><b>stops</b> [1] 289:17</p> <p><b>story</b> [2] 233:11 234:14</p> <p><b>straining</b> [1] 108:10</p> <p><b>strategic</b> [1] 255:9</p> <p><b>strategy</b> [1] 215:14</p> <p><b>streamlining</b> [1] 35:10</p> <p><b>stress</b> [8] 35:12,12,22,23<br/>37:1,2 108:12,14</p> <p><b>stressed</b> [7] 32:25 33:1<br/>33:7,13 35:16 36:16<br/>108:10</p> <p><b>stressful</b> [2] 108:9 319:2</p> <p><b>strictly</b> [1] 267:12</p> <p><b>strive</b> [1] 277:16</p> <p><b>strong</b> [4] 162:5 169:5<br/>274:3 278:18</p> <p><b>strongly</b> [7] 142:11<br/>161:18 168:19 228:23,25<br/>238:16,16</p> <p><b>structure</b> [14] 9:25 19:21<br/>20:19 25:12 36:25 41:20<br/>42:2 43:3,25 44:6 69:19<br/>124:24 125:2 247:10</p> <p><b>structured</b> [3] 9:13,21<br/>298:13</p> <p><b>structures</b> [2] 67:24,24</p> <p><b>struggled</b> [1] 180:16</p> <p><b>struggling</b> [3] 71:15<br/>205:6,8</p> <p><b>student</b> [2] 10:25 97:22</p> <p><b>studied</b> [3] 12:25 288:5<br/>321:25</p> <p><b>studies</b> [15] 117:4 122:9<br/>152:25 153:2,5,7,25<br/>154:8 298:12 300:4 312:4<br/>313:7 314:11,15,20</p> | <p><b>study</b> [24] 5:25 9:9 11:4<br/>12:18 122:13 154:6 155:8<br/>157:7 201:20 285:2 291:8<br/>292:12 294:5 295:6,8,11<br/>295:16 298:1 299:10<br/>302:25 304:16 313:10,14<br/>314:25</p> <p><b>studying</b> [1] 8:21</p> <p><b>stuff</b> [9] 43:21 47:2 96:10<br/>243:13,14,22,23 255:16<br/>277:1</p> <p><b>sub-specialize</b> [1] 74:20</p> <p><b>sub-specialties</b> [1]<br/>323:17</p> <p><b>Subject</b> [2] 239:21<br/>240:21</p> <p><b>submission</b> [1] 204:25</p> <p><b>submit</b> [1] 284:24</p> <p><b>submitted</b> [3] 199:10<br/>201:20 229:5</p> <p><b>submitting</b> [2] 139:18<br/>141:10</p> <p><b>suboptimal</b> [1] 84:8</p> <p><b>subsequent</b> [1] 137:3</p> <p><b>subspecialized</b> [2]<br/>267:7 268:4</p> <p><b>successful</b> [3] 11:16<br/>103:1,2</p> <p><b>successfully</b> [2] 17:20<br/>227:11</p> <p><b>successor</b> [1] 271:23</p> <p><b>such</b> [29] 9:9,20 25:13<br/>34:21 40:8 46:18,19,19<br/>46:19,19,20 48:13 60:24<br/>69:25 74:15 105:4 128:7<br/>130:21 153:7 189:12<br/>273:25 274:5 275:23<br/>280:12 282:6 284:5 301:2<br/>325:24 326:2</p> <p><b>sufficient</b> [2] 166:2<br/>174:12</p> <p><b>sufficiently</b> [1] 156:9</p> <p><b>suggest</b> [5] 106:4 231:17<br/>233:21 235:25 236:1</p> <p><b>suggested</b> [9] 99:18<br/>116:18 132:18 165:8<br/>167:3 194:5 201:18<br/>266:16 270:18</p> <p><b>suggesting</b> [2] 192:25<br/>212:16</p> <p><b>suggestion</b> [4] 42:17<br/>117:5 167:5 247:14</p> <p><b>suggestions</b> [2] 259:8<br/>266:14</p> <p><b>suggests</b> [1] 227:12</p> <p><b>summarization</b> [1]<br/>307:6</p> <p><b>summarize</b> [3] 62:1<br/>215:10 312:25</p> <p><b>summarized</b> [1] 215:13</p> <p><b>summarizing</b> [1] 225:16</p> <p><b>summary</b> [4] 116:15<br/>215:7 216:22 247:13</p> <p><b>summer</b> [5] 214:8,11,15<br/>214:19,19</p> | <p><b>Sunnybrook</b> [23] 6:19<br/>52:11 68:14 69:2 70:10<br/>70:15,17,17 98:17,18<br/>99:2,6 213:13 221:16<br/>252:16 261:20 267:6<br/>268:1 273:19 276:20<br/>317:17 318:23 323:4</p> <p><b>Sunnybrook's</b> [1]<br/>277:17</p> <p><b>superior</b> [1] 120:4</p> <p><b>superiority</b> [1] 300:7</p> <p><b>supervisory</b> [1] 47:4</p> <p><b>supplied</b> [2] 282:8,11</p> <p><b>supported</b> [1] 84:9</p> <p><b>supporting</b> [1] 218:7</p> <p><b>supportive</b> [2] 150:4<br/>248:8</p> <p><b>suppose</b> [3] 32:22 77:8<br/>164:21</p> <p><b>supposed</b> [4] 14:12<br/>141:7 149:17 237:5</p> <p><b>surely</b> [1] 118:9</p> <p><b>surgeon</b> [2] 82:9,25</p> <p><b>surgeons</b> [5] 101:24<br/>159:8 165:5 262:5 280:6</p> <p><b>surgery</b> [1] 262:7</p> <p><b>surgical</b> [16] 6:9,25<br/>14:11,19 39:5 59:4 65:23<br/>154:10 160:21 209:6,7<br/>209:21 225:24 260:10<br/>304:13 323:10</p> <p><b>surprise</b> [1] 253:2</p> <p><b>surprised</b> [4] 68:20<br/>144:9 197:13 229:13</p> <p><b>survival</b> [1] 119:8</p> <p><b>survived</b> [2] 264:17,18</p> <p><b>survives</b> [1] 264:17</p> <p><b>survivors</b> [1] 120:11</p> <p><b>Susan</b> [2] 282:3,19</p> <p><b>susceptibility</b> [1] 243:20</p> <p><b>Sushil</b> [2] 22:8 140:13</p> <p><b>suspect</b> [3] 29:9 93:2<br/>141:6</p> <p><b>switch</b> [2] 104:20 200:12</p> <p><b>switched</b> [1] 140:21</p> <p><b>sword</b> [1] 243:5</p> <p><b>synoptic</b> [5] 319:21,24<br/>320:13,18 321:12</p> <p><b>system</b> [30] 38:22 47:4<br/>52:1,12,12,16 62:8 71:1<br/>71:2,3,4,6 79:1,5 80:21<br/>104:12 118:22 136:18<br/>137:11,18,25 138:12,16<br/>199:18 201:19 274:6<br/>279:24 281:5 290:16<br/>302:17</p> <p><b>systemic</b> [1] 72:2</p> <p><b>systems</b> [4] 71:10 280:3<br/>280:5 322:1</p> | <p><b>tables</b> [1] 153:16</p> <p><b>tackling</b> [1] 27:11</p> <p><b>tailored</b> [1] 279:5</p> <p><b>takes</b> [5] 52:8 70:19,20<br/>133:18 295:19</p> <p><b>taking</b> [7] 135:3 143:15<br/>143:21 144:4,13 280:23<br/>290:2</p> <p><b>talks</b> [5] 241:11,13,15,19<br/>244:1</p> <p><b>Tamoxifen</b> [16] 112:13<br/>119:2,7,10,17,22 120:4<br/>120:9,10,10 150:3,5<br/>151:12 193:12,13,19</p> <p><b>task</b> [2] 117:6 326:21</p> <p><b>taste</b> [1] 99:25</p> <p><b>tax</b> [2] 38:20 39:12</p> <p><b>Taylor</b> [17] 1:12 2:6<br/>306:12,13,14,16 307:10<br/>308:5,21 309:7,12,19,25<br/>310:11 311:15 312:10,23</p> <p><b>teach</b> [1] 12:10</p> <p><b>teaching</b> [7] 8:16 12:9<br/>16:23 23:25 59:17 231:10<br/>277:14</p> <p><b>team</b> [3] 70:12,13 224:23</p> <p><b>tease</b> [1] 289:8</p> <p><b>tech</b> [1] 99:3</p> <p><b>technical</b> [5] 5:7 69:8<br/>218:4 319:13,18</p> <p><b>technically</b> [6] 83:2<br/>112:19,20 179:2,14,24</p> <p><b>technician</b> [1] 210:11</p> <p><b>technique</b> [20] 83:5,6<br/>85:20 87:22 89:14 104:18<br/>110:13 134:19 157:16,19<br/>169:25 171:1,4,6 177:15<br/>199:15,20 200:12 201:3<br/>232:19</p> <p><b>techniques</b> [4] 176:25<br/>177:19 186:23 201:12</p> <p><b>technologies</b> [1] 110:15</p> <p><b>technologist</b> [5] 46:21<br/>46:21,25 97:21 182:8</p> <p><b>technologists</b> [24] 33:17<br/>34:4 37:20 44:6,7,9<br/>45:14 47:8,9,16,19 48:6<br/>48:22 51:1 57:15 95:24<br/>101:20 115:17 218:15<br/>258:20,23 260:21 269:24<br/>270:7</p> <p><b>technology</b> [5] 12:5<br/>83:12 101:11 169:1<br/>176:22</p> <p><b>techs</b> [1] 99:4</p> <p><b>Telegram</b> [1] 100:22</p> <p><b>telling</b> [4] 63:19 235:13<br/>261:25 262:20</p> <p><b>tells</b> [2] 151:14 244:5</p> <p><b>temperature</b> [4] 94:14<br/>95:5,14 251:14</p> <p><b>ten</b> [9] 11:20 95:15 163:6<br/>180:3 184:17 228:4<br/>272:21 304:4,5</p> <p><b>tenor</b> [1] 164:5</p> | <p><b>tenure</b> [2] 17:11 61:9</p> <p><b>terms</b> [32] 9:13 25:12<br/>46:10 48:22 50:13 57:1<br/>73:13 90:3,4 106:17<br/>137:11 169:6 173:20<br/>175:25 186:11 195:8<br/>201:2,12,24 202:20<br/>215:15 250:4 279:15<br/>281:21 285:23 287:5,7<br/>289:22 299:9 307:12<br/>310:13 311:16</p> <p><b>Terry</b> [4] 45:5 48:14,16<br/>104:7</p> <p><b>tertiary</b> [2] 77:2 98:23</p> <p><b>test</b> [37] 82:20 84:13,14<br/>86:17,18 99:19 105:1,8<br/>105:13 110:25 111:18,21<br/>111:22 112:16 114:25<br/>134:10 141:17,24 144:24<br/>156:12 177:20 193:7<br/>234:7 242:18 252:2<br/>253:10 258:25 266:25<br/>275:12 276:16 297:16<br/>298:18 302:4 303:7 312:2<br/>313:2 315:7</p> <p><b>tested</b> [7] 82:3,7 123:3<br/>272:22 296:7 312:2,3</p> <p><b>testified</b> [1] 22:3</p> <p><b>testify</b> [1] 141:7</p> <p><b>testimony</b> [1] 306:19</p> <p><b>testing</b> [37] 1:2,13 81:21<br/>86:7 95:6,8 106:12 107:8<br/>118:4 120:24 129:2 153:1<br/>153:21 154:20 173:20<br/>176:1 222:17 223:16<br/>230:19 231:20 253:14<br/>266:15 276:8,13 277:24<br/>287:7 291:16 294:22<br/>298:16 299:11 301:20<br/>302:6 303:7 304:18<br/>306:17 313:3 328:4</p> <p><b>tests</b> [14] 114:6,9 146:22<br/>158:9 159:17 164:12<br/>173:1 218:7 258:24<br/>291:16 292:4 293:8,21<br/>314:13</p> <p><b>text</b> [7] 167:14 195:10<br/>196:4 243:24,25 321:14<br/>321:15</p> <p><b>textbook</b> [4] 243:12,13<br/>243:13,15</p> <p><b>textbooks</b> [1] 243:17</p> <p><b>Thain</b> [3] 146:23 158:10<br/>158:19</p> <p><b>thank</b> [43] 4:16 5:5,22<br/>80:17 81:3,6,15 139:24<br/>140:23 142:4 144:15<br/>158:3 163:4,4,6,11<br/>175:19 203:12 239:1,8<br/>239:17 265:22,24 266:1<br/>266:3,5,10 274:21,23<br/>306:7,10 312:11,14,16<br/>323:25 324:1,21,24<br/>326:13,13,16,25 327:3</p> <p><b>Thanking</b> [1] 205:20</p> <p><b>theme</b> [2] 134:22 200:1</p> <p><b>themselves</b> [7] 118:21<br/>133:5 175:3 180:19</p> |
|---|---|---|--|---|

-T-



|  |   |   |   |   |
|--|---|---|---|---|
| <p>195:10 270:17 283:3<br/> <b>theoretical</b> [6] 102:23<br/>         103:24 104:1 261:2,11<br/>         261:14<br/> <b>therapeutic</b> [2] 112:17<br/>         303:9<br/> <b>therapy</b> [1] 112:11<br/> <b>there'll</b> [1] 254:10<br/> <b>therefore</b> [4] 55:22<br/>         230:13 240:2,25<br/> <b>They've</b> [1] 303:16<br/> <b>thicker</b> [1] 304:7<br/> <b>thinking</b> [2] 118:17,23<br/> <b>third</b> [8] 102:5 112:11<br/>         192:9 204:16 213:4 227:9<br/>         245:4 323:7<br/> <b>thought</b> [18] 27:12 32:24<br/>         79:4,5 104:20 109:22<br/>         166:21 200:14,15 211:16<br/>         232:10 233:25 243:3,4<br/>         259:13 262:23 263:24<br/>         318:12<br/> <b>thoughts</b> [5] 117:2<br/>         121:14,15 242:13 250:13<br/> <b>thousand</b> [1] 210:4<br/> <b>three</b> [31] 48:4,5,8 62:3<br/>         69:1 81:7 82:22 85:10<br/>         112:5 126:6 131:23<br/>         151:22 155:1,12 157:2<br/>         163:21 167:1,15,16 168:4<br/>         168:5 190:4,13 192:8<br/>         198:2 201:17 228:17<br/>         260:5 265:2 283:6 322:19<br/> <b>three-tenths</b> [1] 78:4<br/> <b>through</b> [41] 3:3,4 4:24<br/>         4:24 5:3,10 11:4 53:7<br/>         67:20 81:13 82:20 84:14<br/>         89:10 97:8 99:9,12,13<br/>         102:4 114:24 120:8 150:7<br/>         153:19 157:3 163:21<br/>         165:2 170:5,7,11 202:23<br/>         219:4 241:5 255:12<br/>         278:19 292:4 294:4,22<br/>         297:24 298:18 313:3<br/>         319:5 321:8<br/> <b>throughout</b> [11] 72:22<br/>         128:16 131:9 145:15<br/>         171:20 182:25 242:7<br/>         249:10 250:6 316:3 326:1<br/> <b>throw</b> [1] 230:25<br/> <b>Thursday</b> [3] 104:11<br/>         136:12 204:14<br/> <b>tick</b> [2] 51:24 52:3<br/> <b>tight</b> [2] 42:16 123:5<br/> <b>tighten</b> [2] 32:6 262:6<br/> <b>tightened</b> [1] 32:22<br/> <b>Tim</b> [1] 255:11<br/> <b>timeline</b> [1] 311:10<br/> <b>timely</b> [3] 105:4 106:2<br/>         107:10<br/> <b>times</b> [15] 61:11 69:25<br/>         74:8 97:2,3,7 115:25<br/>         116:2 135:4 164:6 165:7<br/>         166:4 184:8,17 271:2<br/> <b>timing</b> [1] 131:7<br/> <b>tired</b> [1] 33:23</p> | <p><b>tissue</b> [29] 25:14 81:20<br/>         82:17,19 84:1 86:24<br/>         92:17 183:6 229:5,24<br/>         230:1,11,24 231:3 232:1<br/>         232:2,2,7,8,24,25 233:13<br/>         235:18 241:7,14 254:10<br/>         254:17 270:19 271:2<br/> <b>tissues</b> [1] 271:4<br/> <b>title</b> [3] 15:11 40:9 44:5<br/> <b>titles</b> [1] 290:8<br/> <b>titration</b> [1] 86:6<br/> <b>titrations</b> [1] 202:25<br/> <b>today</b> [10] 71:3 72:2<br/>         98:19 197:3 219:9 222:24<br/>         236:21 264:18 289:11<br/>         314:10<br/> <b>toes</b> [1] 141:2<br/> <b>together</b> [7] 11:11 43:21<br/>         57:4 60:2 149:15,22<br/>         279:10<br/> <b>tomorrow</b> [3] 98:15<br/>         115:7 319:24<br/> <b>tone</b> [1] 164:5<br/> <b>too</b> [10] 21:20 76:15 90:14<br/>         95:1 96:8,9 116:24<br/>         121:12 138:9 166:22<br/> <b>took</b> [9] 13:6 23:13 31:20<br/>         68:2 138:9 157:1 215:4<br/>         215:12 264:14<br/> <b>tool</b> [2] 219:5 284:19<br/> <b>tools</b> [1] 95:4<br/> <b>Tooth</b> [2] 80:23,24<br/> <b>top</b> [9] 13:20 78:20<br/>         167:11,25 198:5 210:13<br/>         216:7 291:3 312:8<br/> <b>topic</b> [5] 100:7 143:25<br/>         215:4 221:24 276:21<br/> <b>Toronto</b> [10] 6:18,23 7:2<br/>         147:4 161:15 162:10<br/>         196:25 197:7 224:25<br/>         316:5<br/> <b>total</b> [9] 35:24 36:1,2,8<br/>         227:9 291:11,22 292:24<br/>         309:8<br/> <b>totality</b> [1] 66:24<br/> <b>totally</b> [1] 104:10<br/> <b>touch</b> [1] 316:6<br/> <b>toward</b> [1] 72:11<br/> <b>towards</b> [5] 20:23 61:25<br/>         227:23 286:15 320:18<br/> <b>town</b> [5] 77:13 105:4,21<br/>         135:6 282:6<br/> <b>Tracey</b> [1] 126:19<br/> <b>track</b> [11] 62:13,15 64:24<br/>         156:4 157:21 170:21<br/>         219:24 226:4,14 287:9<br/>         291:24<br/> <b>tract</b> [2] 74:25 97:25<br/> <b>tradition</b> [2] 246:17<br/>         255:17<br/> <b>train</b> [1] 24:4<br/> <b>trained</b> [3] 14:18 51:5<br/>         220:18<br/> <b>training</b> [15] 6:7 9:12<br/>         10:8 13:4 14:13,14,18</p> | <p>58:7,9 75:1 256:13<br/>         258:21 259:3,4 307:15<br/> <b>transcribed</b> [1] 328:9<br/> <b>transcript</b> [1] 328:3<br/> <b>transfer</b> [4] 12:4 198:12<br/>         315:8,21<br/> <b>transition</b> [6] 138:11<br/>         175:23 179:8 186:5<br/>         197:17 198:24<br/> <b>translate</b> [3] 118:21<br/>         120:23 193:5<br/> <b>translational</b> [1] 280:10<br/> <b>transmitted</b> [1] 320:21<br/> <b>transport</b> [1] 138:15<br/> <b>transportation</b> [6]<br/>         136:18 137:11,18,25<br/>         138:6,12<br/> <b>transporting</b> [1] 137:20<br/> <b>tray</b> [1] 96:5<br/> <b>treat</b> [1] 324:7<br/> <b>treated</b> [1] 264:13<br/> <b>treating</b> [2] 85:19 149:9<br/> <b>treatment</b> [7] 86:3<br/>         100:12 101:14 181:7<br/>         246:25 264:16,16<br/> <b>tremendously</b> [1] 202:9<br/> <b>trend</b> [4] 270:16 271:7<br/>         275:25 280:9<br/> <b>trends</b> [8] 271:3,7 275:12<br/>         279:15 280:14 284:3<br/>         285:23 287:6<br/> <b>trial</b> [1] 104:18<br/> <b>trickle</b> [1] 243:22<br/> <b>tricky</b> [1] 119:2<br/> <b>tried</b> [7] 27:18 93:21<br/>         104:8 110:10 146:11<br/>         181:8 272:23<br/> <b>triggered</b> [1] 205:2<br/> <b>trouble</b> [2] 275:24 312:1<br/> <b>troubleshoot</b> [1] 276:1<br/> <b>troubleshooting</b> [3]<br/>         27:23 58:18 218:6<br/> <b>true</b> [2] 321:12 328:3<br/> <b>trust</b> [9] 75:24 76:11<br/>         181:12,13 290:6,8,10,10<br/>         290:16<br/> <b>truthful</b> [1] 258:1<br/> <b>try</b> [14] 38:1 39:21 92:11<br/>         92:12 94:20 99:24 120:23<br/>         189:16 202:24 224:22<br/>         276:1,1 278:5 295:7<br/> <b>trying</b> [21] 35:18 71:12<br/>         71:13 100:19 104:12<br/>         106:7 108:6,12 110:12<br/>         129:4 200:23,24 205:8<br/>         271:17 283:13 288:17<br/>         292:3 302:5 311:19<br/>         320:19 321:3<br/> <b>tubular</b> [4] 233:5,6<br/>         285:24 321:10<br/> <b>Tuesday</b> [7] 59:6 60:19<br/>         65:23 87:6 219:5,11<br/>         225:17<br/> <b>Tuesdays</b> [2] 231:4</p> | <p>304:14<br/> <b>tumour</b> [30] 75:14 82:9<br/>         82:10,12 83:9 151:14<br/>         193:9 230:24 231:2 232:8<br/>         232:14,14,16 233:3<br/>         234:19 235:6,10,11,20<br/>         236:24 237:1,5 246:13<br/>         246:16 247:8,12 254:22<br/>         321:9,10,18<br/> <b>tumours</b> [8] 97:25 233:4<br/>         241:16,17 242:1,4 244:2<br/>         307:23<br/> <b>turn</b> [6] 13:19 23:13<br/>         224:19 227:13,22 228:8<br/> <b>Turn-around</b> [1] 224:19<br/> <b>turnaround</b> [4] 133:17<br/>         133:21 164:25 165:7<br/> <b>turned</b> [1] 119:6<br/> <b>turns</b> [2] 158:7 168:8<br/> <b>tweaking</b> [4] 293:17,20<br/>         293:23 294:1<br/> <b>twelve</b> [1] 210:4<br/> <b>twenty</b> [1] 184:17<br/> <b>twice</b> [2] 133:24 135:12<br/> <b>two</b> [48] 35:6 44:9,14<br/>         57:20 80:3 87:13 102:6<br/>         104:24 109:10 131:20<br/>         136:9,14 152:9 154:24<br/>         163:6 164:24 168:5,7<br/>         169:24 170:25 175:2<br/>         177:24 178:19 181:4<br/>         190:23 191:2,11 194:22<br/>         194:24 198:1 199:18<br/>         228:3 239:25 242:13<br/>         258:23 265:2,2 275:14<br/>         281:22 305:5 309:1<br/>         310:14,18 311:18 313:2<br/>         320:7 322:22,24<br/> <b>two-fold</b> [1] 107:6<br/> <b>two-folded</b> [1] 271:6<br/> <b>two-tenths</b> [1] 78:4<br/> <b>two-year</b> [1] 281:13<br/> <b>type</b> [10] 13:12 179:15<br/>         237:4 249:17 292:12<br/>         298:17 302:25 307:11<br/>         321:9,10<br/> <b>typed</b> [3] 146:17 164:16<br/>         198:6<br/> <b>types</b> [12] 56:14 89:19<br/>         210:19 229:6 242:1<br/>         284:18 285:17,23 287:5<br/>         288:1 298:5 320:7<br/> <b>typical</b> [3] 22:25 23:3<br/>         27:1</p> | <p><b>unbelievable</b> [1] 79:20<br/> <b>uncertain</b> [1] 105:11<br/> <b>uncomfortable</b> [2]<br/>         174:13,15<br/> <b>uncommon</b> [1] 134:12<br/> <b>under</b> [37] 10:8 14:17<br/>         58:25 84:3 98:25 100:3<br/>         100:9 115:19 127:4 131:6<br/>         146:13 150:12 152:9,11<br/>         152:11 153:19 154:17<br/>         158:5 169:25 175:1<br/>         198:20 199:7 200:7<br/>         204:15,21 214:8 235:16<br/>         237:20 245:2,8 271:10<br/>         272:22 283:5 293:9<br/>         302:17 304:19 316:15<br/> <b>underestimate</b> [1]<br/>         71:24<br/> <b>understaffed</b> [2] 166:15<br/>         166:17<br/> <b>understand</b> [31] 5:12<br/>         13:18,25 19:9 20:8 25:22<br/>         38:22 39:22 44:16 45:18<br/>         50:4 59:16 90:16 94:1<br/>         102:25 134:16 175:20<br/>         197:16 208:25 220:8<br/>         231:15 250:5,9 253:16<br/>         269:18 273:9 277:7<br/>         295:10 314:9 316:16<br/>         320:8<br/> <b>understandable</b> [1]<br/>         115:13<br/> <b>understood</b> [7] 42:5,6<br/>         44:23 54:17 55:16 217:3<br/>         297:18<br/> <b>undertaken</b> [1] 272:6<br/> <b>undertaking</b> [1] 271:24<br/> <b>underway</b> [1] 240:7<br/> <b>undue</b> [1] 311:7<br/> <b>unfair</b> [2] 68:7 166:3<br/> <b>unhelpful</b> [2] 240:2,14<br/> <b>uniform</b> [5] 167:13<br/>         168:1 188:6 190:5 283:14<br/> <b>uniformity</b> [4] 188:12<br/>         189:13,21,22<br/> <b>unintelligible</b> [1] 30:9<br/> <b>union</b> [1] 34:4<br/> <b>unique</b> [3] 73:4,6 230:9<br/> <b>United</b> [9] 9:16 11:1 12:6<br/>         51:5 223:5 277:8 317:16<br/>         317:22 322:4<br/> <b>universities</b> [1] 29:23<br/> <b>university</b> [33] 5:24 6:5<br/>         6:7,10,12,14,18 7:2,16<br/>         7:17 8:17 12:14,19 13:8<br/>         14:3,4,9,22 15:8,24<br/>         16:22 17:3,5 19:8 30:18<br/>         30:20 59:3,6 97:20 98:8<br/>         162:9 213:15 277:14<br/> <b>unless</b> [9] 66:22 86:12<br/>         119:16 179:5 181:15<br/>         183:3,13 221:20 301:21<br/> <b>unnecessarily</b> [1] 52:6<br/> <b>unreliable</b> [2] 240:1,13<br/> <b>unsuccessful</b> [1] 100:25<br/> <b>unusual</b> [2] 75:15 214:20</p> |
|--|---|---|---|---|

-U-

|   |   |   |  |   |
|---|---|---|--|---|
| <p><b>up</b> [71] 10:18 12:12 13:6<br/>14:1 19:22 20:13,16<br/>26:25 32:6,22 34:2 35:3<br/>35:5,20 39:22,24 53:25<br/>54:8,10 55:13 57:19<br/>58:22 61:17 63:20 68:22<br/>78:22 80:5 81:2 85:4<br/>86:8 105:5 110:19 118:2<br/>120:3 128:12,19 130:7<br/>133:5 142:19 143:14<br/>147:11 150:18 163:14,21<br/>167:6 172:13 178:5<br/>185:20 196:16 197:11,25<br/>198:1,4 200:8,10 210:13<br/>216:20 217:17 226:5<br/>236:9 257:22 262:22<br/>269:4,19 275:23 276:4<br/>281:18 292:8 296:8 300:2<br/>307:3</p> <p><b>updated</b> [2] 53:5 198:21</p> <p><b>upper</b> [1] 53:4</p> <p><b>uptight</b> [1] 124:19</p> <p><b>upwards</b> [2] 62:14 66:2</p> <p><b>usage</b> [5] 74:5 92:18<br/>110:6 169:5 195:9</p> <p><b>useable</b> [2] 284:19,22</p> <p><b>used</b> [24] 12:9 63:9,9<br/>93:10 95:3 98:9 102:20<br/>106:6 118:18 169:2<br/>189:25 206:4,8 208:21<br/>244:10 250:24 293:13<br/>307:4 308:11 310:16<br/>312:5 313:9 323:3,5</p> <p><b>useful</b> [14] 51:20 101:5<br/>200:4 242:25 268:22<br/>274:5 275:20 281:7<br/>317:25 319:3 324:15,15<br/>325:16 326:1</p> <p><b>uses</b> [2] 53:24 300:20</p> <p><b>using</b> [32] 12:10 82:10<br/>91:3 95:1 109:11 110:7<br/>130:8,14,15,17 149:25<br/>150:1 156:20 168:20<br/>189:15 212:20 230:12<br/>241:8,14 247:1 248:12<br/>248:13 252:12,16 287:8<br/>298:22 301:16,17 302:20<br/>303:7,8 311:25</p> <p><b>usual</b> [1] 135:9</p> <p><b>usually</b> [1] 242:5</p> <p><b>uterine</b> [4] 119:11,15,20<br/>120:16</p> <p><b>uterus</b> [4] 119:12,24<br/>120:14 255:1</p> <p><b>utilization</b> [2] 52:9<br/>241:13</p> <p><b>utilized</b> [3] 210:20<br/>215:15 307:5</p> <p><b>utilizing</b> [3] 212:10<br/>229:25 252:14</p> <hr/> <p style="text-align: center;"><b>-V-</b></p> <hr/> <p><b>VA</b> [1] 30:25</p> <p><b>vacant</b> [1] 227:6</p> <p><b>vacation</b> [1] 45:19</p> <p><b>valid</b> [5] 117:6 156:20<br/>297:18 298:19 312:2</p> | <p><b>validate</b> [3] 302:5 310:16<br/>310:17</p> <p><b>validated</b> [1] 301:21</p> <p><b>validating</b> [3] 156:12<br/>297:16 298:7</p> <p><b>validation</b> [2] 242:23<br/>297:23</p> <p><b>valuable</b> [3] 117:4<br/>122:10,14</p> <p><b>value</b> [5] 112:8 155:5<br/>244:7 284:3 300:12</p> <p><b>valued</b> [2] 75:25 265:14</p> <p><b>values</b> [1] 167:7</p> <p><b>Vancouver</b> [1] 324:10</p> <p><b>variable</b> [1] 321:15</p> <p><b>variables</b> [2] 281:10<br/>321:7</p> <p><b>variety</b> [6] 9:23 33:8<br/>83:5 85:24 268:18 307:23</p> <p><b>various</b> [7] 91:24 131:9<br/>167:7 201:21 215:10<br/>216:2 277:8</p> <p><b>vary</b> [1] 25:19</p> <p><b>varying</b> [1] 277:10</p> <p><b>vendor</b> [1] 92:13</p> <p><b>vendors</b> [1] 299:19</p> <p><b>Vermont</b> [1] 156:16</p> <p><b>Vern</b> [4] 49:2,4,8 104:6</p> <p><b>verses</b> [1] 309:2</p> <p><b>version</b> [2] 5:8 190:8</p> <p><b>via</b> [1] 171:6</p> <p><b>Vice</b> [1] 49:16</p> <p><b>view</b> [10] 86:19 157:8<br/>172:8 203:24 285:10<br/>287:17 293:4 314:20<br/>325:24 326:4</p> <p><b>viewed</b> [2] 235:18,19</p> <p><b>viewer</b> [1] 191:23</p> <p><b>views</b> [6] 173:20 200:4,7<br/>244:5 272:12 279:17</p> <p><b>virtue</b> [1] 75:1</p> <p><b>virus</b> [1] 12:24</p> <p><b>visited</b> [1] 174:8</p> <p><b>visually</b> [1] 257:4</p> <p><b>vitae</b> [4] 5:13 7:5 316:3<br/>322:14</p> <p><b>vital</b> [1] 105:5</p> <p><b>voice</b> [1] 100:25</p> <p><b>voicing</b> [1] 215:6</p> <p><b>volume</b> [3] 54:12,13<br/>192:20</p> <p><b>vow</b> [1] 181:14</p> <hr/> <p style="text-align: center;"><b>-W-</b></p> <hr/> <p><b>w</b> [2] 83:13 86:13</p> <p><b>Wadden</b> [3] 139:4<br/>213:22 227:3</p> <p><b>waited</b> [1] 40:13</p> <p><b>waiting</b> [2] 105:1 149:20</p> <p><b>walk</b> [1] 50:20</p> <p><b>wants</b> [2] 134:25 248:6</p> | <p><b>warehouse</b> [4] 280:4,7<br/>281:14 286:19</p> <p><b>Washington</b> [16] 6:3,10<br/>6:11 10:17 14:3,8,25<br/>15:3,9 30:6,8 36:3 83:23<br/>130:9,10 247:11</p> <p><b>watching</b> [1] 324:13</p> <p><b>Wayne</b> [1] 140:16</p> <p><b>ways</b> [2] 69:16 259:22</p> <p><b>weak</b> [3] 162:5 169:6<br/>183:15</p> <p><b>weakly</b> [3] 142:13 161:19<br/>168:19</p> <p><b>web-based</b> [1] 281:5</p> <p><b>website</b> [3] 322:25 323:1<br/>323:5</p> <p><b>Wednesday</b> [1] 59:2</p> <p><b>week</b> [6] 60:17 104:10<br/>133:19,24 135:12 197:7</p> <p><b>weekly</b> [2] 25:3 225:24</p> <p><b>weeks</b> [2] 36:24 240:8</p> <p><b>weighing</b> [1] 132:14</p> <p><b>weight</b> [1] 301:5</p> <p><b>welcome</b> [2] 177:8 306:2</p> <p><b>Welsh</b> [2] 57:23 208:16</p> <p><b>Western</b> [1] 1:16</p> <p><b>whatnot</b> [1] 135:7</p> <p><b>whatsoever</b> [2] 108:7<br/>324:17</p> <p><b>Whelan</b> [4] 49:6,8 104:6<br/>104:6</p> <p><b>whole</b> [17] 21:23 34:15<br/>52:8 54:11 70:12,12 73:3<br/>87:8 95:15,22 97:8<br/>114:19 130:3 140:1<br/>224:21 250:7 315:14</p> <p><b>wholeheartedly</b> [1]<br/>69:9</p> <p><b>wide</b> [6] 9:23 28:1 73:22<br/>127:19 128:18 279:1</p> <p><b>wider</b> [1] 75:4</p> <p><b>willingly</b> [1] 105:15</p> <p><b>window</b> [1] 187:24</p> <p><b>wires</b> [1] 274:13</p> <p><b>wisdom</b> [2] 119:21<br/>149:25</p> <p><b>within</b> [23] 43:7 77:8<br/>90:3 91:8 105:22 126:22<br/>136:22 173:19 189:14<br/>204:2 215:10,24 217:2,2<br/>226:11 228:3 240:8<br/>254:24 304:3,11 307:5<br/>314:14 326:8</p> <p><b>without</b> [10] 35:14 42:8<br/>76:18 106:1 107:7 109:13<br/>141:17 255:14 298:16,24</p> <p><b>witness</b> [2] 266:2 319:23</p> <p><b>wonder</b> [4] 62:5 233:9<br/>265:14 273:23</p> <p><b>wondered</b> [1] 203:15</p> <p><b>wondering</b> [4] 275:10<br/>287:18 299:8 305:18</p> <p><b>word</b> [8] 42:20 45:18<br/>72:12 100:19 101:9 121:2</p> | <p>195:9 310:15</p> <p><b>wording</b> [2] 171:13<br/>196:19</p> <p><b>words</b> [9] 63:12 112:2<br/>119:5 130:17,20 168:18<br/>169:5 251:19 295:12</p> <p><b>worked</b> [25] 15:10 24:25<br/>31:12 33:16 34:11 36:17<br/>41:12 43:24 44:11,12<br/>57:9 59:13 60:3 122:2<br/>174:9 179:21 181:16<br/>185:10 220:20 221:3<br/>230:15 231:6 232:5,6<br/>274:6</p> <p><b>workload</b> [5] 15:10<br/>51:17 166:13 214:9<br/>215:10</p> <p><b>works</b> [3] 100:3 112:2<br/>157:19</p> <p><b>workshop</b> [1] 102:22</p> <p><b>workshops</b> [2] 102:6<br/>260:7</p> <p><b>world</b> [3] 10:3 27:9 323:6</p> <p><b>worth</b> [1] 61:13</p> <p><b>write</b> [17] 47:20 50:23<br/>50:23 51:13 76:3 104:7<br/>116:14 126:18 136:5<br/>141:9 167:5 175:8 178:20<br/>191:2 229:1 258:10<br/>282:19</p> <p><b>writes</b> [5] 50:25 100:23<br/>205:18 239:22 240:23</p> <p><b>writing</b> [2] 176:2 182:23</p> <p><b>written</b> [4] 125:3 141:8<br/>175:21 192:8</p> <p><b>wrong</b> [10] 46:24 70:19<br/>70:24 137:9 208:11 221:7<br/>221:8 232:19,21 290:12</p> <p><b>wrote</b> [4] 12:8 13:18<br/>61:25 64:1</p> <hr/> <p style="text-align: center;"><b>-X-</b></p> <hr/> <p><b>x</b> [2] 25:1 130:24</p> <hr/> <p style="text-align: center;"><b>-Y-</b></p> <hr/> <p><b>y</b> [3] 83:20 86:13 251:10</p> <p><b>year</b> [31] 6:12,21 11:1<br/>12:11 14:3,4,18,21,25<br/>15:22 17:18,20 73:18<br/>87:8 103:4 157:1 176:23<br/>181:11 209:5 210:4 213:5<br/>214:16 226:23 227:13<br/>268:3 289:9 291:11 311:1<br/>311:2,13,14</p> <p><b>years</b> [25] 6:8 29:4 61:10<br/>62:10 69:2 70:5,7 115:25<br/>119:23,23,25 176:19<br/>202:8 206:4 227:16,21<br/>235:20 250:11 252:18<br/>262:12,13 263:6 264:24<br/>272:21 319:8</p> <p><b>yesterday</b> [3] 134:16<br/>136:7 234:14</p> <p><b>yet</b> [5] 36:15 52:10 69:16<br/>140:16 153:11</p> <p><b>York</b> [1] 75:12</p> | <p><b>yourself</b> [28] 104:5<br/>106:15 109:13 116:14<br/>123:21 132:12 136:3<br/>139:2 140:12 145:24<br/>163:16 164:1 169:22<br/>172:11 176:14 198:1<br/>204:6,21 205:17 210:12<br/>211:21 225:14 226:25<br/>228:21 237:18,20 244:19<br/>296:7</p> <hr/> <p style="text-align: center;"><b>-Z-</b></p> <hr/> <p><b>z</b> [1] 83:20</p> <p><b>zero</b> [6] 191:12,16 194:13<br/>195:11 250:16 252:23</p> <hr/> <p style="text-align: center;"><b>-[-</b></p> <hr/> <p><b>[1</b> [1] 192:12</p> <p><b>[and</b> [1] 192:10</p> <p><b>[cut</b> [1] 167:6</p> <p><b>[in</b> [1] 153:25</p> |
|---|---|---|--|---|