

COMMISSION OF INQUIRY  
ON HORMONE RECEPTOR TESTING

BEFORE THE HONOURABLE JUSTICE CAMERON - COMMISSIONER

September 8, 2008

Appearances:

Bernard Coffey, Q.C. . . . . Commission Co-counsel  
Sandra Chaytor, Q.C. . . . . Commission Co-counsel

Rolf Pritchard/Jackie Brazil . . . . Her Majesty in Right of NL

Peter Browne/Jane Hennebury . . . . . Doctors Kara Laing et al

Daniel Simmons . . . . . Eastern Regional Integrated  
. . . . . Health Authority

Laura Brocklehurst/. . . . . Members of the Breast Cancer  
Ches Crosbie, Q.C. . . . . Testing Class Action

Mark Pike . . . . . NL Medical Association  
Jennifer Newbury . . . . . Canadian Cancer Society (NL Division)  
Blair Pritchett. . . . . Central, Western and Labrador-Grenfell  
Regional Integrated Health Authorities

THIS PAGE ONLY REVISED NOVEMBER 18, 2008

LIST OF EXHIBITS

Exhibit entered and marked C-0229 . . . . . Pg. 303  
Exhibits entered and marked C-0231 through to C-0242 . . Pg. 303  
Exhibit entered and marked P-2543 . . . . . Pg. 303  
Exhibits entered and marked P-2550 through to P-2559, except for  
P-2566 and P-2587 . . . . . Pg. 304  
Exhibit entered and marked P-2610 . . . . . Pg. 304

TABLE OF CONTENTS

DR. JEHAN SIDDIQUI (CONT'D)

Examination by Sandra Chaytor, Q.C. . . . . Pgs. 4 - 207  
Examination by Mr. Dan Simmons . . . . . Pgs. 207 - 217  
Examination by Ms. Jennifer Newbury . . . . . Pgs. 217 - 261  
Examination by Chesley Crosbie, Q.C. . . . . Pgs. 261 - 281  
Examination by Mr. Peter Browne . . . . . Pgs. 281 - 299  
Re-direct examination by Sandra Chaytor, Q.C. . . . Pgs. 299 - 302

DR. KARA ELIZABETH TAGGERT-LAING (SWORN)

Examination by Sandra Chaytor, Q.C. . . . . Pgs. 302 - 375

Certificate

Page 4

1 DR. JEHAN SIDDIQUI, EXAMINATION BY SANDRA CHAYTOR, Q.C.  
2 (CONT'D)  
3 THE COMMISSIONER:  
4 Q. Ms. Chaytor.  
5 CHAYTOR, Q.C.:  
6 Q. Good morning, Commissioner. Good morning, Dr.  
7 Siddiqui.  
8 DR. SIDDIQUI:  
9 A. Good morning.  
10 CHAYTOR, Q.C.:  
11 Q. Doctor, are you aware of any correlation  
12 between ER positivity and PR positivity?  
13 DR. SIDDIQUI:  
14 A. Most of the ERS and PR, they should be  
15 positive at the same time.  
16 CHAYTOR, Q.C.:  
17 Q. And in terms of what percentage, in terms of  
18 what "most" might mean in that context, are  
19 you able to say?  
20 DR. SIDDIQUI:  
21 A. Another way to put that is that most of the  
22 PRS should also be ER positive. There is a  
23 small number, however, I would say roughly  
24 about five percent or so, that you could have  
25 ER positivity without being PR--sorry, you

Page 5

1 could have PR positivity without being ER  
 2 positive.  
 3 CHAYTOR, Q.C.:  
 4 Q. Okay, and at what point in your training and  
 5 work life would you have been aware of that?  
 6 DR. SIDDIQUI:  
 7 A. It's difficult to say. This is kind of a  
 8 background information. I don't know when I  
 9 get that. Sometimes during training or  
 10 afterwards, it's difficult to point exact time  
 11 when I got that.  
 12 CHAYTOR, Q.C.:  
 13 Q. Okay. So either sometime during your training  
 14 or in your early years of practice?  
 15 DR. SIDDIQUI:  
 16 A. That's true.  
 17 CHAYTOR, Q.C.:  
 18 Q. Okay, and when you're trying to decide if a  
 19 patient is a candidate for adjuvant hormonal  
 20 therapy, what criteria is used?  
 21 DR. SIDDIQUI:  
 22 A. ER/PR is the most important thing. That is  
 23 the first thing that has the highest predictor  
 24 value for using hormonal therapy, and other  
 25 things that you can think about is other

Page 6

1 factors such as age of the patient, would she  
 2 be a candidate for some other treatment or  
 3 not. Some patients who are elderly, even  
 4 though their ER/PR may be less, but if they  
 5 could not be a candidate for chemotherapy, you  
 6 could treat them with hormone therapy by  
 7 itself. So those would be the other factors,  
 8 but ER positivity PR positivity would be the  
 9 most important thing.  
 10 CHAYTOR, Q.C.:  
 11 Q. Okay, and if the patient is one of those few  
 12 that would fall into the ER negative but PR  
 13 positive category, would that patient normally  
 14 be offered treatment?  
 15 DR. SIDDIQUI:  
 16 A. We do. For all clinical and practical  
 17 purposes, we offer them hormone therapy.  
 18 CHAYTOR, Q.C.:  
 19 Q. Whether they're ER positive or PR positive,  
 20 they're offered -  
 21 DR. SIDDIQUI:  
 22 A. That is correct.  
 23 CHAYTOR, Q.C.:  
 24 Q. Yes, okay, and was that a--has that been  
 25 anything that's stipulated in terms of a

Page 7

1 guideline or a policy in dealing with breast  
 2 cancer patients?  
 3 DR. SIDDIQUI:  
 4 A. What I remember is as a teaching when I was a  
 5 fellow, we used to take either/or.  
 6 CHAYTOR, Q.C.:  
 7 Q. And the degree of positivity, if someone were,  
 8 for example, 80 percent ER positive versus  
 9 another person 20 percent ER positive, is the  
 10 person who has a higher degree of positivity  
 11 more likely to respond to treatment?  
 12 DR. SIDDIQUI:  
 13 A. That is true.  
 14 CHAYTOR, Q.C.:  
 15 Q. Last day, we spoke briefly about -  
 16 DR. SIDDIQUI:  
 17 A. Can I say one more thing?  
 18 CHAYTOR, Q.C.:  
 19 Q. I'm sorry, yes.  
 20 DR. SIDDIQUI:  
 21 A. Most of the data for that, I think, would be  
 22 in the metastatic setting though. In the  
 23 adjuvant, there may be some, but in the  
 24 adjuvant has that been fully answered in  
 25 literature, I'm not sure, but in metastatic

Page 8

1 setting, there definitely is data regarding  
 2 that.  
 3 CHAYTOR, Q.C.:  
 4 Q. Okay, and last day, I mentioned briefly, we  
 5 mentioned the issues that Dr. Ejeckam brought  
 6 forward and had mentioned in the surgical  
 7 pathology review committee that you sat on.  
 8 Other than that, were you ever aware, at any  
 9 time prior to 2005, of any issues regarding  
 10 the lab or, for example, the reliability of  
 11 tests being generated from the lab?  
 12 DR. SIDDIQUI:  
 13 A. No, I think other than the two cases that I  
 14 brought up last time, one that T3/T4 and the  
 15 other one was a lung, there is none that come  
 16 on top of my head. There have been a few  
 17 patients who have been sent for a referral  
 18 outside of St. John's, but most of the time,  
 19 they would decide about that. If they want to  
 20 send that patient outside, they would do that.  
 21 CHAYTOR, Q.C.:  
 22 Q. Okay, and if we could have again, please, P-  
 23 0113, and it's page five of the document  
 24 today, please, Registrar? Doctor, this is the  
 25 series of memos again that Dr. Ejeckam wrote

Page 9	Page 11
<p>1 back in 2003, and I've already brought you 2 through the first two. The last one is dated 3 June 19th, 2003 and it's not written to the 4 pathologists generally this time. It's 5 written to Mr. Terry Gulliver, and there's a 6 number of concerns that are pointed out in 7 this memo, and I'm not sure, Doctor, have you 8 ever seen this memo or had a chance to read 9 through this memo previously?</p> <p>10 DR. SIDDIQUI: 11 A. I've seen that first time, I think, during my 12 interview. 13 CHAYTOR, Q.C.: 14 Q. Yes, okay. 15 DR. SIDDIQUI: 16 A. And then you showed it to me, I think, last 17 time as well, if I'm not mistaken. 18 CHAYTOR, Q.C.: 19 Q. Okay. So this is not something that was 20 brought to your attention back in 2003? 21 DR. SIDDIQUI: 22 A. Not that I remember, no. 23 CHAYTOR, Q.C.: 24 Q. Okay, and Dr. Ejeckam wrote here in terms of 25 his concerns, "finally, it is pertinent to</p>	<p>1 been aware of those concerns? 2 DR. SIDDIQUI: 3 A. What I would think is that first they have to 4 evaluate it on their own. If they think that 5 it is up to a point that it is affecting the 6 patient care, then we should be informed. 7 CHAYTOR, Q.C.: 8 Q. Okay. If I could have then, please, P-1575? 9 And this is the minutes of the meeting of 10 surgical pathology review committee, September 11 23rd, 2003, and we see that Dr. Ejeckam and 12 yourself and Dr. Parai, Dr. Tennant are in 13 attendance, as well as the recording 14 secretary, and under business arising, 15 "estrogen and progesterone status. Dr. 16 Ejeckam stated that the technical problem of 17 staining for ER and PR stains has been 18 solved." Do you remember, do you have any 19 independent recollection of this meeting and 20 the discussion that happened around the issue 21 on that date? 22 DR. SIDDIQUI: 23 A. Basically what is in the minutes. 24 CHAYTOR, Q.C.: 25 Q. "And Dr. Siddiqui asked what were the</p>
<p>1 mention that results of immunostains are 2 extremely important to histopathological 3 diagnosis, especially where a classification 4 of lymphomas and determination of benign or 5 malignancy of certain lesions, for example in 6 the prostate biopsies, depend on crisp, 7 reliable and reproducible staining results. 8 Diagnosis based on inappropriate immunostain 9 will surely jeopardize patient care and may 10 even expose the Health Care Corporation of St. 11 John's to litigation and therefore it will be 12 ill-advised to operate an unreliable and 13 erratic immunohistochemistry procedures in our 14 laboratory." 15 The fact that Dr. Ejeckam had written 16 this memo and had those concerns and took it 17 to the point of putting in writing to Mr. 18 Terry Gulliver those concerns, that didn't 19 come up at any time in your surgical pathology 20 review committee? 21 DR. SIDDIQUI: 22 A. No, I don't remember that. 23 CHAYTOR, Q.C.: 24 Q. Okay, and as an oncologist practising in the 25 same hospital, would you have liked to have</p>	<p>1 standards for performing HER2/neu. Some 2 discussion took place with regards to this. 3 It was decided that ER and PR will be done at 4 the time of diagnosis and HER2/neu will be 5 done by request. Dr. Siddiqui asked about 6 what turnaround time for HER2/neu. Dr. 7 Ejeckam explained that HER2/neu will have to 8 be done in batch because of costs associated 9 with the test. It is usually performed once a 10 week." What were your concerns at that time 11 in terms of, it says here, the standards for 12 performing HER2/neu? 13 DR. SIDDIQUI: 14 A. HER2/neu in the adjuvant setting, well 15 Herceptin which is a drug which is used, if 16 HER2/neu is over expressing in the adjuvant 17 setting, I think by that time was not the 18 standard of care. So there were not doing 19 HER2/neu on every single breast specimen that 20 was coming in. HER2/neu was mostly done when 21 a patient became symptomatic. So what I would 22 think is that that is probably what I was 23 referring to, that they won't do the HER2/neu 24 initially when the first specimen comes in. 25 They will do HER2/neu only upon request, which</p>

Page 13	Page 15
<p>1 will probably mean that a patient has become 2 symptomatic now and may be a candidate for 3 Herceptin, because initially Herceptin was 4 used only in the metastatic setting. It has 5 come into the adjuvant setting more recently, 6 and ER/PR is something that you would need to 7 know pretty much the first time that you see 8 the patient and as I had said last time as 9 well, that I do remember a few instances when 10 the patient would come in. We are seeing them 11 for the first time and the ER and PR were not 12 done. So I remember putting - 13 CHAYTOR, Q.C.: 14 Q. And in that case--sorry, I didn't mean to cut 15 off you off there. 16 DR. SIDDIQUI: 17 A. I remember putting in consults, I think, 18 around that time, start of my work here, a few 19 times for getting ER/PR done. 20 CHAYTOR, Q.C.: 21 Q. Okay, because it wasn't automatically done? 22 DR. SIDDIQUI: 23 A. It wasn't. 24 CHAYTOR, Q.C.: 25 Q. And you would then have to request it?</p>	<p>1 CHAYTOR, Q.C.: 2 Q. Yes. 3 DR. SIDDIQUI: 4 A. But by that time, I would think that that 5 would be the first time. 6 CHAYTOR, Q.C.: 7 Q. Okay. So back in 2003, you would have been 8 learning for the first time, at this meeting 9 in September, that the tests had resumed? 10 DR. SIDDIQUI: 11 A. I would think so. 12 CHAYTOR, Q.C.: 13 Q. Okay. Did you ask any questions of Dr. 14 Ejeckam at the time as to, "well, while it's 15 been solved, what was the problem? And is it 16 of any concern, in terms of any tests that 17 have already been performed?" 18 DR. SIDDIQUI: 19 A. Again, according to the minutes, I did not, 20 and I did not know much about how technically 21 it is done. So from my point of view, it 22 would be that can we use that. 23 CHAYTOR, Q.C.: 24 Q. And if we could have then, please, P-1909? 25 And again, this is a meeting of the surgical</p>
<p>1 DR. SIDDIQUI: 2 A. That's what my understanding would be. 3 CHAYTOR, Q.C.: 4 Q. Okay, and as time went on, I take it, that 5 improved and that the ER/PR test was 6 automatically done? 7 DR. SIDDIQUI: 8 A. That is correct, I think, most of them. 9 CHAYTOR, Q.C.: 10 Q. Doctor, the issue then about the technical 11 problem with staining for the ER and PR stains 12 having been solved, this is now, these minutes 13 are September 23rd, 2003. Was this the first 14 time you learned that the test had resumed? 15 DR. SIDDIQUI: 16 A. I think so, but again, since my interview, I 17 have seen the other memos from Dr. Ejeckam and 18 I think after the April one, there was another 19 one, probably in May or June. 20 CHAYTOR, Q.C.: 21 Q. May 2nd, yes. 22 DR. SIDDIQUI: 23 A. Which had said that "I am glad to inform you 24 that we are resumed," so I have seen that 25 since, in the last six months.</p>	<p>1 pathological review committee. It's March 2 9th, 2004. So I take it this committee 3 continued into 2004? 4 DR. SIDDIQUI: 5 A. That's correct. 6 CHAYTOR, Q.C.: 7 Q. And under new business, Section 4.3 on page 8 three of the exhibit, "Dr. Siddiqui 9 performed"--sorry, the topic is pathology 10 reports addendum. "Dr. J. Siddiqui informed 11 the committee of a situation regarding a case 12 where the pathology report tumour summary 13 stated a range of T3. Addendum stated T4. 14 Then the pathology changed again to T3. He 15 questioned if the pathologist should inform 16 the doctor, because these changes could affect 17 the treatment of the patient. He gave another 18 example where a patient was diagnosed with 19 non-small carcinoma to small cell carcinoma, 20 which changes the patient's treatment to 21 either surgery or just chemotherapy. It was 22 also noted that there could be legal 23 implications. It was recommended that the 24 addendum reports should be sent to the 25 oncologist by the physician. The pathologist</p>

Page 17

1 should send a copy of the addendum directly to  
 2 the requesting physician for a particular  
 3 case, in addition to entering the addendum in  
 4 the computer Meditech."  
 5 And Doctor, the idea that the pathologist  
 6 should inform the doctor because these changes  
 7 could affect the treatment of the patient, and  
 8 you're recommending that the addendum reports  
 9 obviously be sent directly to the oncologist,  
 10 what was that all about? What was happening  
 11 and what was your concern?  
 12 DR. SIDDIQUI:  
 13 A. On the pathology report, in the area where the  
 14 name of the attending comes, usually it's the  
 15 name of the surgeon over there, and the report  
 16 would go, many of the times, to the surgeon,  
 17 and sometimes they are not actively involved  
 18 in the treatment of that patient at that  
 19 particular time. They may send the report  
 20 back to us, but it would just take an extra  
 21 loop to come back to us, and if a patient is  
 22 already on treatment, then we miss something.  
 23 So that would have been the idea behind that,  
 24 that the pathology should take the onus to  
 25 find out who is the--if they're changing a

Page 18

1 report, to find out who is the oncologist  
 2 treating the patient and let them inform as  
 3 well.  
 4 CHAYTOR, Q.C.:  
 5 Q. Okay, and at the time, is there any concern  
 6 that at the time that the pathology report is  
 7 generated, the patient may not already have  
 8 been assigned an oncologist?  
 9 DR. SIDDIQUI:  
 10 A. I guess that could happen sometimes. If  
 11 they're not assigned, then probably the  
 12 surgeon would be the right person to talk to  
 13 or to be informed.  
 14 CHAYTOR, Q.C.:  
 15 Q. And then the onus would be on the surgeon to  
 16 make sure the oncologist is informed about any  
 17 addendum to the pathology?  
 18 DR. SIDDIQUI:  
 19 A. I would think so, if there is anything  
 20 different than the time when they're first  
 21 sending the consult, it would be better if  
 22 they would let us know.  
 23 CHAYTOR, Q.C.:  
 24 Q. So you were--you had a patient or perhaps it's  
 25 two patients, you've giving two examples here,

Page 19

1 and the pathology changed and you only learned  
 2 about it because of your own efforts in going  
 3 in and checking Meditech? Is that correct?  
 4 DR. SIDDIQUI:  
 5 A. The second one, I had requested the  
 6 pathologist to give me an immediate report and  
 7 they had given me immediate report, but then  
 8 they had called Dr. Rorke, who was on the  
 9 floor, so they called them self and they  
 10 called Dr. Rorke, made him aware about the  
 11 change and that was taken care of. The first  
 12 one, I'm just trying to remember how I knew  
 13 about that. What comes to my mind, and again,  
 14 the best way to confirm that would be to look  
 15 at the chart, but what comes to my mind is  
 16 that radiation oncology probably also saw the  
 17 patient and when I saw the patient, it was  
 18 probably T3 or T4, one of the two, and when  
 19 they saw, then it was different. So that's  
 20 what comes to mind.  
 21 CHAYTOR, Q.C.:  
 22 Q. Okay, and do you know whether or not what was  
 23 recommended here, in terms of the addendum  
 24 report being sent directly to the oncologist,  
 25 and it says by the physician, do I take it

Page 20

1 that means by the pathologist?  
 2 DR. SIDDIQUI:  
 3 A. It should be, yeah.  
 4 CHAYTOR, Q.C.:  
 5 Q. By the pathologist, okay. Do you know whether  
 6 or not there was any policy put in place in  
 7 keeping with the recommendation?  
 8 DR. SIDDIQUI:  
 9 A. I don't know of a policy, but I think there  
 10 were still reports who had surgeon's name on  
 11 them.  
 12 CHAYTOR, Q.C.:  
 13 Q. I'm sorry?  
 14 DR. SIDDIQUI:  
 15 A. I think there were still reports though who  
 16 had surgeon's name on them.  
 17 CHAYTOR, Q.C.:  
 18 Q. The pathology reports had the surgeon's name?  
 19 DR. SIDDIQUI:  
 20 A. That's correct, yeah.  
 21 CHAYTOR, Q.C.:  
 22 Q. Yes, so up to that point in time, the  
 23 surgeon's name wasn't even appearing on the  
 24 pathology report?  
 25 DR. SIDDIQUI:

Page 21	Page 23
<p>1 A. They were, but what I have suggested was that 2 at least put somewhere the name of the medical 3 oncologist or the radiation oncologist, either 4 write it down or put in the area of the 5 attending physician. But I remember that 6 there were still reports in whom the surgeon 7 name was still appearing as attending 8 physician. 9 CHAYTOR, Q.C.: 10 Q. Okay. So - 11 DR. SIDDIQUI: 12 A. So I don't know how were they dealing with 13 that. 14 CHAYTOR, Q.C.: 15 Q. So there didn't seem to be any change in 16 practice? 17 DR. SIDDIQUI: 18 A. Since this happened, very rarely, and like I 19 have just these two cases in the first--this 20 is 2003, I joined in 2001, which came to my 21 mind. So what I could remember is that 22 probably either one or twice the report still 23 came in with the surgeon's name, and my name 24 probably on the side on one and probably not 25 on the other.</p>	<p>1 itself? Did that raise any concern for you, 2 the fact that the pathology was changing with 3 respect to those patients? Did it cause you 4 to question the reliability of the tests and 5 the results of the tests? 6 DR. SIDDIQUI: 7 A. Not really. Here and there, you do find cases 8 at times which fall in the grey area. If we 9 look at them at two different times, you may 10 think in two different ways, and this has 11 happened twice in the last eight years that I 12 could remember now, close to eight years, not 13 eight years complete. So not really. 14 CHAYTOR, Q.C.: 15 Q. And when those occasions arose, did you have 16 communication with the reporting pathologist 17 to ask why, in fact, there had been a change? 18 DR. SIDDIQUI: 19 A. The first time I think we did, me and the 20 radiation oncologist, but the second time, 21 they had called the floor and they explained 22 the whole thing to Dr. Rorke. I never spoke 23 with them afterwards. 24 CHAYTOR, Q.C.: 25 Q. And this, of course, in 2003, you would have</p>
<p>1 CHAYTOR, Q.C.: 2 Q. Okay. So while it didn't--there was no formal 3 policy, I guess, that came in place to address 4 the issue at the time while this was a 5 recommendation from your committee? 6 DR. SIDDIQUI: 7 A. Um-hm. 8 CHAYTOR, Q.C.: 9 Q. And there continued to be, from time to time, 10 a similar issue would arise? 11 DR. SIDDIQUI: 12 A. I can remember one. 13 CHAYTOR, Q.C.: 14 Q. And was there any discussion about bringing in 15 a policy at the time, and was there anyone 16 opposed to the idea? 17 DR. SIDDIQUI: 18 A. I can just rely on these minutes. I don't 19 remember that. 20 CHAYTOR, Q.C.: 21 Q. Okay. Other than the issue regarding how to 22 get the information to you, and of course that 23 would be important in terms of making sure 24 you're made aware of any changes, what about 25 the fact that there were changes in and of</p>	<p>1 been having tumour board rounds. Did you ever 2 have occasion to bring those instances up 3 while the multidisciplinary team had 4 assembled? 5 DR. SIDDIQUI: 6 A. Second one, I'm pretty sure, no. First one, 7 I'm not sure. Maybe, maybe not. Because the 8 second one was mostly a patient on the floor 9 who was treated on the floor, and I don't 10 remember that, for the second one, that we 11 ever did that. 12 CHAYTOR, Q.C.: 13 Q. Okay, and you certainly raised it in this 14 context, in front of pathologists? 15 DR. SIDDIQUI: 16 A. Um-hm. 17 CHAYTOR, Q.C.: 18 Q. Today then, Doctor, if there's an addendum to 19 a pathology report, how is it brought to your 20 attention? 21 DR. SIDDIQUI: 22 A. Usually that if there is one, there is a paper 23 trail, a paper would come with an addendum on 24 that, and that should go in the mail box. 25 CHAYTOR, Q.C.:</p>

Page 25

1 Q. So a hard copy is placed in your mail box?

2 DR. SIDDIQUI:

3 A. That is correct.

4 CHAYTOR, Q.C.:

5 Q. And have you, yourself, then developed any

6 practice to check to see whether or not there

7 has been any change?

8 DR. SIDDIQUI:

9 A. When I start seeing a patient new, then

10 probably first or second time, couple of

11 times, I'll look at the Meditech, but

12 afterwards, usually you don't because the

13 patients, they stay with us for long times.

14 You would have 15 to 20 minutes to see a

15 patient, plus the charts get quite thick.

16 Patients have--some patients have more than

17 one volumes of chart. So if you know what

18 you're looking, you could probably find that

19 in the chart, but I would mostly rely on a

20 hard copy that would come to my mail box.

21 CHAYTOR, Q.C.:

22 Q. Okay, and of course, the retesting of ER/PR in

23 2005 and through 2006, and a few cases beyond

24 that, those reports would come as--any change

25 in the ER/PR status or the result of the

Page 26

1 retest from Mount Sinai, would come in the way

2 of an addendum, for the most part? There were

3 some consults, but for the most part, it would

4 be an addendum to the original pathology

5 report?

6 DR. SIDDIQUI:

7 A. That is correct.

8 CHAYTOR, Q.C.:

9 Q. Okay, and so I guess, you would be expecting

10 that there would be something coming on those

11 patients. Did you have any practice for

12 checking to see if the--for example, when a

13 patient would arrive in your office, did you

14 have a practice to check and see whether or

15 not their retest results were back?

16 DR. SIDDIQUI:

17 A. Initially, I think because they have started

18 doing it, so we were not sure which patients

19 are sent, which are not, probably we may not

20 have done that. In the later part, in Corner

21 Brook, I remember asking the nurses for every

22 single patient who are coming to make sure

23 about that.

24 CHAYTOR, Q.C.:

25 Q. Okay. So you asked the nurses in Corner Brook

Page 27

1 to check on that for you?

2 DR. SIDDIQUI:

3 A. Yeah.

4 CHAYTOR, Q.C.:

5 Q. But you didn't do similar in St. John's for

6 patient results?

7 DR. SIDDIQUI:

8 A. Not initially, because they had started doing

9 it, and we didn't know which patients are

10 done, which are not, and most of them would

11 come as a hard copy to me. So I basically

12 relied on the system that they would come in,

13 if they are done.

14 CHAYTOR, Q.C.:

15 Q. Okay. So Doctor, when did you first hear that

16 there was such a thing as the ER/PR issue or

17 concern about the ER/PR test?

18 DR. SIDDIQUI:

19 A. I think that would be sometimes in 2005,

20 probably middle to late 2005.

21 CHAYTOR, Q.C.:

22 Q. Okay. Now we know it--you say middle to late

23 2005. We know that, now know that Peggy

24 Deane, who's been referred to the index case,

25 her retest in-house took place sometime in

Page 28

1 April of 2005. Were you aware of that at the

2 time?

3 DR. SIDDIQUI:

4 A. I think I was aware of that one, but as -

5 CHAYTOR, Q.C.:

6 Q. In April?

7 DR. SIDDIQUI:

8 A. Right, about--I don't know about which month,

9 but I think was aware of that, and this was

10 again, some sort of informal discussion among

11 the colleagues. Whether it was in April, I'm

12 not sure. It must be a bit later than that,

13 but they are doing it on a huge number of

14 patients, I think, about that middle to late

15 part of October--middle to late part of 2005.

16 CHAYTOR, Q.C.:

17 Q. Okay. So it's into--when you say middle to

18 late part of 2005, before you became aware of

19 the massive retesting, you're talking October,

20 that time period?

21 DR. SIDDIQUI:

22 A. I'm not sure.

23 CHAYTOR, Q.C.:

24 Q. Had it already become an issue of public

25 discussion before you realized about the

Page 29	Page 31
<p>1 retesting?</p> <p>2 DR. SIDDIQUI:</p> <p>3 A. I was not doing the retesting myself, so I</p> <p>4 don't know when they started doing it.</p> <p>5 CHAYTOR, Q.C.:</p> <p>6 Q. Yes.</p> <p>7 DR. SIDDIQUI:</p> <p>8 A. But our offices, as I said, are very close by</p> <p>9 and we share clinic space as well, so probably</p> <p>10 some informal discussions among ourselves that</p> <p>11 I might have heard about that.</p> <p>12 CHAYTOR, Q.C.:</p> <p>13 Q. Yes, and that's--I'm just wondering about how</p> <p>14 oncologists such as yourself, medical</p> <p>15 oncologists, would have been communicated with</p> <p>16 around the issue. So let me back up a bit.</p> <p>17 Peggy Deane's case, who do you recall speaking</p> <p>18 to you about that?</p> <p>19 DR. SIDDIQUI:</p> <p>20 A. What comes to my mind is actually I was on</p> <p>21 call on one weekend and I saw Dr. Deane</p> <p>22 himself. He was my daughter's doctor as well,</p> <p>23 so I knew him. That is what comes to my mind.</p> <p>24 Who specifically told me, I can't really say.</p> <p>25 CHAYTOR, Q.C.:</p>	<p>1 CHAYTOR, Q.C.:</p> <p>2 Q. And was there any meeting called, any meeting</p> <p>3 where you were all sat down in the one room</p> <p>4 and informed as to what exactly was happening?</p> <p>5 DR. SIDDIQUI:</p> <p>6 A. I don't remember one, but it doesn't mean that</p> <p>7 there wasn't any. I was doing quite a few</p> <p>8 GIS, so I taught myself a bit peripheral to</p> <p>9 this issue at that time, I think.</p> <p>10 CHAYTOR, Q.C.:</p> <p>11 Q. Okay. But, I mean, this would have involved</p> <p>12 patients from the past, not current.</p> <p>13 DR. SIDDIQUI:</p> <p>14 A. I understand.</p> <p>15 CHAYTOR, Q.C.:</p> <p>16 Q. Not current patients.</p> <p>17 DR. SIDDIQUI:</p> <p>18 A. Yeah.</p> <p>19 CHAYTOR, Q.C.:</p> <p>20 Q. Okay. So you're not aware of any meetings</p> <p>21 that were called for oncologists to get</p> <p>22 together and have an information session on</p> <p>23 the issue?</p> <p>24 DR. SIDDIQUI:</p> <p>25 A. I don't remember one.</p>
<p>Page 30</p> <p>1 Q. Okay. So you think it may have come from the</p> <p>2 patient's husband that you were initially -</p> <p>3 DR. SIDDIQUI:</p> <p>4 A. It's possible, because I remember talking to</p> <p>5 him on one of the weekends when I was on call.</p> <p>6 CHAYTOR, Q.C.:</p> <p>7 Q. Okay. So I take it, Doctor--well, Dr.</p> <p>8 McCarthy's office is right next to yours. Do</p> <p>9 you recall you and Dr. McCarthy speaking in</p> <p>10 that time frame about this whole issue?</p> <p>11 DR. SIDDIQUI:</p> <p>12 A. Not in particular. I mean, again, as I said,</p> <p>13 that we had several informal discussions</p> <p>14 during the day time and we share clinics as</p> <p>15 well. Whether it happened in our offices or</p> <p>16 it happened in the clinics, exactly what time,</p> <p>17 I can't put my finger on that.</p> <p>18 CHAYTOR, Q.C.:</p> <p>19 Q. Okay, and in terms of hearing then about the</p> <p>20 fact that there was going to be a massive</p> <p>21 retesting, was there any memo circulated</p> <p>22 amongst--to the oncologists, anything in</p> <p>23 writing?</p> <p>24 DR. SIDDIQUI:</p> <p>25 A. Well, not that I remember.</p>	<p>Page 32</p> <p>1 CHAYTOR, Q.C.:</p> <p>2 Q. Okay. And if we could have, please, P-0500?</p> <p>3 This is a letter that's written to Dr.</p> <p>4 McCarthy, June 29th, 2005. And we've redacted</p> <p>5 the numbers and patients' names. And it's</p> <p>6 written by Doctors Carter and Cook. And you</p> <p>7 can see there's a number of people. I'm</p> <p>8 sorry, actually, this one is just Dr. Carter.</p> <p>9 And I think this is Dr. Cook signing here, as</p> <p>10 well. And there's a number, as you can see</p> <p>11 here, of patients who are being retested and</p> <p>12 this is in house on the Ventana system. So in</p> <p>13 June, late June, 2005 were you aware that this</p> <p>14 was happening?</p> <p>15 DR. SIDDIQUI:</p> <p>16 A. Again, as I said earlier, I knew about these</p> <p>17 things somewhere in the middle of, middle to</p> <p>18 late part of 2005. Exactly this date, I can't</p> <p>19 really say.</p> <p>20 CHAYTOR, Q.C.:</p> <p>21 Q. Okay. So your recollection on it is that it</p> <p>22 would have been sometime later than this?</p> <p>23 DR. SIDDIQUI:</p> <p>24 A. Could be around the same time, could be a bit</p> <p>25 later.</p>



Page 33

1 CHAYTOR, Q.C.:

2 Q. Okay. Were you asked to try and identify any

3 patients yourself who may be candidates for

4 retesting?

5 DR. SIDDIQUI:

6 A. I think in the clinics that when we were

7 seeing patients in follow-ups, we would do

8 that on our own. Were we specifically asked

9 about that, I don't remember that, but I think

10 in our clinics we would do that, that's when

11 we were following up a patient.

12 CHAYTOR, Q.C.:

13 Q. Okay. So in this, I'm just thinking in this

14 June to July time period, because at this time

15 period there's the tests weren't being sent

16 out or there may have been a scattered test

17 being sent out to Mount Sinai, but for the

18 most part the tests were being done in house.

19 At this point in time in terms of identifying

20 patients, I'm just wondering if anyone came to

21 you and said, you know, do you have any

22 lobulars, do you have any metastatic people

23 who you think might--should be retested, did

24 anyone come to you and ask you to put forward

25 any names?

Page 34

1 DR. SIDDIQUI:

2 A. No, I don't remember any such thing, no.

3 CHAYTOR, Q.C.:

4 Q. Okay. And you say your practice, though,

5 became, once you became aware of the mass

6 retesting, you then yourself, when the

7 patients would come before you, you would try

8 to identify whether or not they are somebody

9 who should be retested?

10 DR. SIDDIQUI:

11 A. As much as we could.

12 CHAYTOR, Q.C.:

13 Q. Did you ever--and when you say that, I guess,

14 as much as you could, how would you, how

15 difficult would it be for you to do that, to

16 be able to identify all your patients who had

17 ER negative status?

18 DR. SIDDIQUI:

19 A. It would be difficult because many patients

20 would have tests done outside. And again, as

21 I said, as much as we could was were we doing

22 that on routine, I'm not sure. Mostly my

23 rely--I would rely on the tests coming to me

24 and then follow up on the patient from then

25 onwards. But if we happen to see some patient

Page 35

1 and something came up, we could, but mostly I

2 would rely on the tests coming to me.

3 CHAYTOR, Q.C.:

4 Q. Okay. And when you would check, when on

5 occasion when you would have the patient

6 before you and you would check to see if their

7 retest has been completed, were you ever able

8 to identify any patients that had been missed?

9 DR. SIDDIQUI:

10 A. I don't remember any.

11 CHAYTOR, Q.C.:

12 Q. And how long did you continue to do that, do

13 you now, for example, if you have a breast

14 cancer patient coming before you that you

15 haven't seen in awhile, do you still continue

16 to check the chart to see whether or not the

17 retest has been done?

18 DR. SIDDIQUI:

19 A. Now if I see a breast cancer patient now, I

20 would say in the last few months or so, I go

21 through pretty much all her record, all the

22 papers that I can get hold of.

23 CHAYTOR, Q.C.:

24 Q. You go through everything?

25 DR. SIDDIQUI:

Page 36

1 A. Yeah, now.

2 CHAYTOR, Q.C.:

3 Q. Okay. And when did you start doing that?

4 DR. SIDDIQUI:

5 A. I would say in the last few months or so. And

6 this is especially true for the Corner Brook

7 patients.

8 CHAYTOR, Q.C.:

9 Q. And did anyone request you to do that or is

10 that just your own initiative?

11 DR. SIDDIQUI:

12 A. Just my own initiative, I would think.

13 CHAYTOR, Q.C.:

14 Q. Okay. And again, in doing that have you

15 identified any patients that weren't

16 originally identified?

17 DR. SIDDIQUI:

18 A. And again, I would say in Corner Brook there

19 were a few patients whose reports were not in

20 the chart; I remember putting in consults for

21 that. Many of the time they would have been

22 done or would have been in the pipeline, that

23 may go even a bit earlier in Corner Brook,

24 though.

25 CHAYTOR, Q.C.:

Page 37

1 Q. Yes.  
 2 DR. SIDDIQUI:  
 3 A. Last year, as well. But I would just, if I am  
 4 seeing the patient in Corner Brook--because in  
 5 Corner Brook the practice is very much mixed.  
 6 A patient may be seen by myself one time, by  
 7 other physician the second time. So, and if  
 8 it is not mentioned in the note from the other  
 9 physician, I'll just look for that.  
 10 CHAYTOR, Q.C.:  
 11 Q. Okay. So there were a few or a couple of  
 12 patients form Corner Brook that you didn't  
 13 have a report on so you put in a consult  
 14 yourself. And was that consult then to Mount  
 15 Sinai to have the retest done?  
 16 DR. SIDDIQUI:  
 17 A. Not to the Mount Sinai. Most of the time, as  
 18 I said, they would have been done; the nurses  
 19 would not have, they'll find it, things like  
 20 that.  
 21 CHAYTOR, Q.C.:  
 22 Q. Doctor, have you ever attended any meetings to  
 23 discuss the ER/PR issue?  
 24 DR. SIDDIQUI:

Page 38

1 A. In Eastern Health?  
 2 CHAYTOR, Q.C.:  
 3 Q. Yes.  
 4 DR. SIDDIQUI:  
 5 A. Around any time?  
 6 CHAYTOR, Q.C.:  
 7 Q. Yes.  
 8 DR. SIDDIQUI:  
 9 A. Not really to discuss the issue. Since the  
 10 Inquiry started, I think we have met a few  
 11 times, but this was just to talk about -  
 12 CHAYTOR, Q.C.:  
 13 Q. Your attendance here?  
 14 DR. SIDDIQUI:  
 15 A. Right.  
 16 CHAYTOR, Q.C.:  
 17 Q. Yes, okay. No, I was thinking more along the  
 18 way--along the lines of meeting to discuss the  
 19 management, the retesting itself, how to  
 20 communicate with patients, those issues?  
 21 DR. SIDDIQUI:  
 22 A. None that I remember.  
 23 CHAYTOR, Q.C.:  
 24 Q. Okay. And who did you understand then was  
 25 handling or managing the issue on behalf of

Page 39

1 oncologists?  
 2 DR. SIDDIQUI:  
 3 A. Dr. Laing and Dr. McCarthy, they were very  
 4 active, they were putting a lot of hours in  
 5 that. And I think Dr. Zulfiqar was the other  
 6 one who had spent some time on the physician  
 7 review panel. So these were the three main.  
 8 CHAYTOR, Q.C.:  
 9 Q. Okay. And was there any mechanism in place  
 10 for them, Dr. Laing or Dr. McCarthy to keep  
 11 you apprised as to developments or anything  
 12 that you would need to know in the treatment  
 13 and management of your patients?  
 14 DR. SIDDIQUI:  
 15 A. My understanding would be the physician review  
 16 panel letter.  
 17 CHAYTOR, Q.C.:  
 18 Q. Okay. So that was the communication you  
 19 received was the letter?  
 20 DR. SIDDIQUI:  
 21 A. That would come.  
 22 CHAYTOR, Q.C.:  
 23 Q. Okay. Were there other, though, informal  
 24 discussions happening within the department?  
 25 DR. SIDDIQUI:

Page 40

1 A. There were probably a couple of times. I  
 2 think they had to meet over the weekend and in  
 3 off hours, I think, about that.  
 4 CHAYTOR, Q.C.:  
 5 Q. Okay. Were you ever asked along the way your  
 6 input into whether or not the patients should  
 7 be informed beforehand that the retesting was  
 8 taking place?  
 9 DR. SIDDIQUI:  
 10 A. No.  
 11 CHAYTOR, Q.C.:  
 12 Q. And if you had been, if you had been consulted  
 13 on that issue, and maybe that's a difficult  
 14 question for you now to ask in hindsight, but  
 15 what would your inclination have been at the  
 16 time, if you could put yourself back into  
 17 2005?  
 18 DR. SIDDIQUI:  
 19 A. I would have think that if that could be done  
 20 very quickly, and I don't know the legality  
 21 about a second consent, does the patient  
 22 really need to give a consent for the same  
 23 specimen to be looked at a second time or not,  
 24 but thinking if not and if they can get it  
 25 done very quickly, that would mean within

Page 41	Page 43
<p>1 weeks, then probably get it done. But if it's</p> <p>2 going to take that long and it has to be done</p> <p>3 in batches, then probably informing patients</p> <p>4 may be a reasonable idea.</p> <p>5 CHAYTOR, Q.C.:</p> <p>6 Q. I'm sorry?</p> <p>7 DR. SIDDIQUI:</p> <p>8 A. Then probably informing patients, if it's</p> <p>9 going to take that long, then informing</p> <p>10 patients that your test has gone and it would</p> <p>11 come back may be a reasonable idea. It would</p> <p>12 still keep a lot of people on the edges</p> <p>13 because I think most of them, majority of them</p> <p>14 would still come out the way that they were,</p> <p>15 but there would be a few changes. But it</p> <p>16 would keep a lot of people on the edges,</p> <p>17 though.</p> <p>18 CHAYTOR, Q.C.:</p> <p>19 Q. Yes.</p> <p>20 DR. SIDDIQUI:</p> <p>21 A. If everybody is informed.</p> <p>22 CHAYTOR, Q.C.:</p> <p>23 Q. Yes. And so, Doctor, you weren't consulted at</p> <p>24 the time. Do you recall any discussion at all</p> <p>25 around that issue back in the summer of 2005?</p>	<p>1 Q. Okay. And had you heard about that prior to--</p> <p>2 the test we know was reinstated at Eastern</p> <p>3 Health in February, 2007. Had you heard about</p> <p>4 the reviews prior to February of 2007?</p> <p>5 DR. SIDDIQUI:</p> <p>6 A. I'm not sure.</p> <p>7 CHAYTOR, Q.C.:</p> <p>8 Q. Okay. Were you ever told the results of the</p> <p>9 reviews?</p> <p>10 DR. SIDDIQUI:</p> <p>11 A. No.</p> <p>12 CHAYTOR, Q.C.:</p> <p>13 Q. And to this day do you know, have you seen the</p> <p>14 reports?</p> <p>15 DR. SIDDIQUI:</p> <p>16 A. I haven't seen the reports myself, not that I</p> <p>17 remember. And again, I can't really comment</p> <p>18 what exactly those were because nobody has</p> <p>19 told me officially what the results of the</p> <p>20 reviews were.</p> <p>21 CHAYTOR, Q.C.:</p> <p>22 Q. And have you asked anybody?</p> <p>23 DR. SIDDIQUI:</p> <p>24 A. I haven't asked anybody officially for that.</p> <p>25 CHAYTOR, Q.C.:</p>
<p>1 DR. SIDDIQUI:</p> <p>2 A. No, I don't remember any.</p> <p>3 CHAYTOR, Q.C.:</p> <p>4 Q. Okay. And in the fall of 2005 then external</p> <p>5 reviews took place of the laboratory medicine</p> <p>6 program or aspects of it. Were you aware that</p> <p>7 that process was taking place at the time?</p> <p>8 DR. SIDDIQUI:</p> <p>9 A. Not at that time. I had heard about those</p> <p>10 afterwards.</p> <p>11 CHAYTOR, Q.C.:</p> <p>12 Q. And do you know when -</p> <p>13 DR. SIDDIQUI:</p> <p>14 A. Exactly when, I don't know, but I heard about</p> <p>15 somebody, I think, coming from BC, if I'm not</p> <p>16 mistaken, and somebody from Ontario.</p> <p>17 CHAYTOR, Q.C.:</p> <p>18 Q. Yes.</p> <p>19 DR. SIDDIQUI:</p> <p>20 A. This was my understanding that two people came</p> <p>21 in. I don't know exactly what they were. I</p> <p>22 thought one of them was a chief technician of</p> <p>23 one of the places and the other one, I don't</p> <p>24 know. But I had just heard about them.</p> <p>25 CHAYTOR, Q.C.:</p>	<p>1 Q. You were aware that there was a physician</p> <p>2 review panel formed. Who informed you that</p> <p>3 there would be such a panel and what did you</p> <p>4 understand would be the purpose of the panel?</p> <p>5 DR. SIDDIQUI:</p> <p>6 A. I don't remember if anybody informed me before</p> <p>7 it was formed. In terms of the function of</p> <p>8 the panel, my understanding was that a panel</p> <p>9 would review the chart and they would have the</p> <p>10 ability to look at the reports, the repeat</p> <p>11 ones from Mount Sinai as well as the old ones</p> <p>12 and they would go through the chart and they</p> <p>13 would go through other parameters which I said</p> <p>14 earlier about ER/PR, not just the percentage</p> <p>15 positivity, and they would make any</p> <p>16 recommendations.</p> <p>17 CHAYTOR, Q.C.:</p> <p>18 Q. And what benefit to you as a treating</p> <p>19 oncologist would this panel have, what benefit</p> <p>20 would it be for you? Did you see it as being</p> <p>21 something beneficial?</p> <p>22 DR. SIDDIQUI:</p> <p>23 A. I think the biggest benefit would be that they</p> <p>24 identified the patient and they have looked at</p> <p>25 the chart. And the second would be that these</p>

Page 45

1 three are our main breast physicians and they  
2 have gone through the charts, they have put  
3 their heads together and they have come up  
4 with a recommendation.  
5 CHAYTOR, Q.C.:  
6 Q. So who did you understand was to be on the  
7 panel in terms of oncologists?  
8 DR. SIDDIQUI:  
9 A. Dr. Laing, Dr. McCarthy and I think Dr.  
10 Zulfiqar. I'm not sure exactly how many  
11 attended, but these were three. Dr. Ahmad  
12 might have attended it once or twice, but  
13 these are the main. From radiation side, I'm  
14 not sure if Dr. Ganguly was probably initially  
15 part of it, he left, I'm not sure about that.  
16 But these were the four from our side.  
17 CHAYTOR, Q.C.:  
18 Q. And so was it your understanding that they  
19 would--there'd be a number of them at any  
20 given time that would consult and review the  
21 chart of each patient?  
22 DR. SIDDIQUI:  
23 A. That's correct.  
24 CHAYTOR, Q.C.:  
25 Q. Okay. And were you aware that on occasions

Page 46

1 there was only one oncologist present on the  
2 panel?  
3 DR. SIDDIQUI:  
4 A. No.  
5 CHAYTOR, Q.C.:  
6 Q. Okay. And in that situation were you aware  
7 there were pathologist on the panel?  
8 DR. SIDDIQUI:  
9 A. Yeah. Sorry, I forgot to say that initially.  
10 CHAYTOR, Q.C.:  
11 Q. And were you aware, as well, there were  
12 surgeons on the panel?  
13 DR. SIDDIQUI:  
14 A. I'm not sure about that. Pathologists, I  
15 think I was--I knew that Dr. Carter was on the  
16 panel. Surgeon part I'm not sure.  
17 CHAYTOR, Q.C.:  
18 Q. Okay. And you say you don't know if you knew  
19 about the panel before it actually got up and  
20 running. So I take it you weren't consulted  
21 as to whether or not you wanted your patients  
22 put through this process?  
23 DR. SIDDIQUI:  
24 A. No.  
25 CHAYTOR, Q.C.:

Page 47

1 Q. Okay. Were you ever invited as the treating  
2 physician to come and sit in when your  
3 patients were being panelled, were you ever  
4 invited to come to those meetings?  
5 DR. SIDDIQUI:  
6 A. None that I can remember.  
7 CHAYTOR, Q.C.:  
8 Q. Did anyone ever come and ask you any questions  
9 about your patients, anyone from the panel ask  
10 for more information then they could glean  
11 from the chart?  
12 DR. SIDDIQUI:  
13 A. I'm just trying to think. None that I can  
14 remember.  
15 CHAYTOR, Q.C.:  
16 Q. Okay.  
17 DR. SIDDIQUI:  
18 A. There was one case, I think, that on that case  
19 I had gotten the pathology report pretty  
20 quickly on that one and I think I had started  
21 that patient on treatment already and when I  
22 got the panel letter and the panel letter had  
23 no recommendations. So I think that's the one  
24 that comes to mind, that I had spoken with  
25 them and I had asked them about that and they

Page 48

1 had clarified that to me that they had looked  
2 at my note and they were aware that treatment  
3 is started, so that is why they had said that  
4 no recommendations or no change.  
5 CHAYTOR, Q.C.:  
6 Q. Okay. So when did that happen?  
7 DR. SIDDIQUI:  
8 A. I don't know the exact timing of that, sorry.  
9 CHAYTOR, Q.C.:  
10 Q. So you had, in fact, seen the patient, changed  
11 the treatment?  
12 DR. SIDDIQUI:  
13 A. That was, I think, the patient was in  
14 Labrador, I think. So I had spoken with the  
15 patient's physician and the patient.  
16 CHAYTOR, Q.C.:  
17 Q. Okay. So you had actually had--but you  
18 consulted with your patient?  
19 DR. SIDDIQUI:  
20 A. That's right.  
21 CHAYTOR, Q.C.:  
22 Q. And had acted upon the change in results and  
23 changed the treatment yourself?  
24 DR. SIDDIQUI:  
25 A. That's right.

Page 49	Page 51
<p>1 CHAYTOR, Q.C.:</p> <p>2 Q. And then later you got a letter from the</p> <p>3 panel, physician review panel, saying no</p> <p>4 treatment change recommended?</p> <p>5 DR. SIDDIQUI:</p> <p>6 A. Um-hm.</p> <p>7 CHAYTOR, Q.C.:</p> <p>8 Q. And I take it that then caused you concern</p> <p>9 because you had already changed the treatment?</p> <p>10 DR. SIDDIQUI:</p> <p>11 A. Right.</p> <p>12 CHAYTOR, Q.C.:</p> <p>13 Q. Okay. And who did you make any inquiry of</p> <p>14 about that case?</p> <p>15 DR. SIDDIQUI:</p> <p>16 A. I think Dr. Laing and she had explained the</p> <p>17 whole thing to me.</p> <p>18 CHAYTOR, Q.C.:</p> <p>19 Q. And so she explained that, in fact, the letter</p> <p>20 is saying no treatment change recommended</p> <p>21 because you had already made the change?</p> <p>22 DR. SIDDIQUI:</p> <p>23 A. That's right.</p> <p>24 CHAYTOR, Q.C.:</p> <p>25 Q. Okay. As opposed to the letter didn't say</p>	<p>1 Q. Okay. And, Doctor, in that particular case I</p> <p>2 take it you felt comfortable initiating the</p> <p>3 change for your patient without it having to</p> <p>4 go through any panelling process?</p> <p>5 DR. SIDDIQUI:</p> <p>6 A. That's right.</p> <p>7 CHAYTOR, Q.C.:</p> <p>8 Q. And if in the cases where I've indicated to</p> <p>9 you, and there are certainly four that I'm</p> <p>10 aware of, we don't have minutes for all of the</p> <p>11 meetings, but there are certainly four panel</p> <p>12 sessions where there was only one oncologist</p> <p>13 at those meetings, do you see any benefit in</p> <p>14 having the patient going through a panelling</p> <p>15 process in that situation as opposed to the</p> <p>16 results coming directly to you and you as the</p> <p>17 treating physician deciding what should happen</p> <p>18 and if you need any further input, you could</p> <p>19 consult one of your colleagues?</p> <p>20 DR. SIDDIQUI:</p> <p>21 A. I think during that situation there was some</p> <p>22 benefit because these are the three breast</p> <p>23 specialists from our centre and they have</p> <p>24 looked at the patient's chart and then the</p> <p>25 appropriate medical oncologist will look at</p>
<p>Page 50</p> <p>1 that this patient has already been treatment</p> <p>2 change as a result of the retest on such and</p> <p>3 such a date?</p> <p>4 DR. SIDDIQUI:</p> <p>5 A. I think it didn't not say that.</p> <p>6 CHAYTOR, Q.C.:</p> <p>7 Q. And if it had said that -</p> <p>8 DR. SIDDIQUI:</p> <p>9 A. Again, I'd have to look at for the exact</p> <p>10 words.</p> <p>11 CHAYTOR, Q.C.:</p> <p>12 Q. Yes.</p> <p>13 DR. SIDDIQUI:</p> <p>14 A. But this is the kind of events that come to</p> <p>15 mind, that that's how it happened. What</p> <p>16 exactly were the words in there, I'll have to</p> <p>17 look at the chart for those.</p> <p>18 CHAYTOR, Q.C.:</p> <p>19 Q. Yes. But I think it said words to the effect</p> <p>20 that no treatment was recommended or required</p> <p>21 and that caused you some concern because you</p> <p>22 had already changed the treatment?</p> <p>23 DR. SIDDIQUI:</p> <p>24 A. That's right.</p> <p>25 CHAYTOR, Q.C.:</p>	<p>Page 52</p> <p>1 the chart, as well. So if two people are</p> <p>2 thinking the same way, that's better than one.</p> <p>3 CHAYTOR, Q.C.:</p> <p>4 Q. So rather than you having--you looking at your</p> <p>5 patient's chart and making a determination and</p> <p>6 if you need assistance to pop into the office</p> <p>7 next door to Dr. McCarthy or go speak to Dr.</p> <p>8 Laing, you still see some benefit in having it</p> <p>9 go through a panelling process with an</p> <p>10 oncologist and pathologist?</p> <p>11 DR. SIDDIQUI:</p> <p>12 A. I think there is benefit to that. And the</p> <p>13 most important part of benefit from the panel,</p> <p>14 as I said earlier, was that they had a whole</p> <p>15 list of the patients and identification of</p> <p>16 those patients and going through all their</p> <p>17 changes and results, I think there was still</p> <p>18 benefit.</p> <p>19 CHAYTOR, Q.C.:</p> <p>20 Q. Okay. So them seeing a whole list of patients</p> <p>21 as opposed to you seeing just--being provided</p> <p>22 the names of your patients, you think there's</p> <p>23 benefit for them to see a number of the</p> <p>24 patients?</p> <p>25 DR. SIDDIQUI:</p>

Page 53	Page 55
<p>1 A. I think both things were done. We were seeing 2 our own patients, as well, and they were going 3 through the panel, as well. So I see benefit 4 in that panel and they were looking at that. 5 CHAYTOR, Q.C.: 6 Q. And were there other occasions in which you 7 initiated the change to your patient's 8 treatment prior to the patient going through 9 the panelling process? 10 DR. SIDDIQUI: 11 A. I'm trying to remember. There's none that 12 comes to mind, other than the one that I've 13 already told you about. But could there be 14 any, I'm not sure, but I can't think of any 15 right now. 16 CHAYTOR, Q.C.: 17 Q. Okay. 18 DR. SIDDIQUI: 19 A. That I started treatment before panelling. 20 CHAYTOR, Q.C.: 21 Q. Okay, and were there ever any occasions when 22 you disagreed with the recommendation of the 23 panel? 24 DR. SIDDIQUI: 25 A. No.</p>	<p>1 night and two another night and--or you'd come 2 for part of the meeting that involved your 3 patients, but - 4 DR. SIDDIQUI: 5 A. There could be some - 6 CHAYTOR, Q.C.: 7 Q. - I'm just wondering if logistics aside, 8 whether or not you think that would be 9 beneficial for you to have input and the panel 10 to have your input while your patients are 11 being panelled? 12 DR. SIDDIQUI: 13 A. Theoretically it could have been better, yeah. 14 CHAYTOR, Q.C.: 15 Q. Okay. And so after--the results of the 16 retesting, how were the results, the actual 17 results of the retesting communicated to you? 18 DR. SIDDIQUI: 19 A. The results would, most of them would come in 20 our mailbox. 21 CHAYTOR, Q.C.: 22 Q. In your mailbox, so the addendum that we spoke 23 about earlier would arrive in your mailbox? 24 DR. SIDDIQUI: 25 A. That's correct.</p>
Page 54	Page 56
<p>1 CHAYTOR, Q.C.: 2 Q. Were there ever any occasions when you asked 3 further questions about, other than the one 4 you've told us about, were there ever any 5 occasions when you had to inquire of the panel 6 to get further information? 7 DR. SIDDIQUI: 8 A. Not that I remember, no. 9 CHAYTOR, Q.C.: 10 Q. Okay. And do you think it would have been of 11 some benefit for you to sit in on the sessions 12 in which your patients were being panelled? 13 DR. SIDDIQUI: 14 A. I'm just not sure that logistically how that 15 would have been done because just looking at 16 the list and this list was actually shown to 17 me by my lawyer, as well, three days ago when 18 the list was given, so that would probably 19 include patients from all the physicians. And 20 that would be extremely difficult for 21 everybody, all six or seven of us to sit 22 there. 23 CHAYTOR, Q.C.: 24 Q. Yes, well, I guess it could be coordinated, 25 though, that it could be two physicians one</p>	<p>1 CHAYTOR, Q.C.: 2 Q. A hard copy of it, okay. And what would you 3 do when you received that? 4 DR. SIDDIQUI: 5 A. Most of the time when I received those, if 6 there is a change in treatment, on the basis 7 of that, just on the results, many of the 8 times we did get panelling letters, sometimes, 9 most of the times I would say before we got 10 the results. But sometimes if we got the 11 results first, if I would think a treatment 12 change, I would try to contact the patient. 13 If there is no treatment change, most of the 14 times I tried to dictate a letter that I 15 received the result that day and I dictate a 16 letter. 17 CHAYTOR, Q.C.: 18 Q. Okay. And who would you send the letter to? 19 DR. SIDDIQUI: 20 A. The letter would be for the record and the 21 letter usually goes to the same individuals on 22 the letter as previously going to. It's 23 usually the family physicians and the surgeon. 24 And when I say letter, it basically means a 25 note, it's more like a progress note kind of</p>

Page 57

1 thing. And this is a document in the chart in  
 2 terms of sequence of events that we receive  
 3 the report and it's dictated.  
 4 CHAYTOR, Q.C.:  
 5 Q. So these are the patients who would not have  
 6 had any change?  
 7 DR. SIDDIQUI:  
 8 A. If there is no change -  
 9 CHAYTOR, Q.C.:  
 10 Q. If there's no change?  
 11 DR. SIDDIQUI:  
 12 A. If there is no change that would affect their  
 13 treatment.  
 14 CHAYTOR, Q.C.:  
 15 Q. Do you dictate a letter and send that letter  
 16 to the family physician in that case?  
 17 DR. SIDDIQUI:  
 18 A. Most of the letters that do go--it's a  
 19 progress note. When I say letter, it's  
 20 basically a progress note. It is in the  
 21 format of a progress note.  
 22 CHAYTOR, Q.C.:  
 23 Q. And that stays on the chart?  
 24 DR. SIDDIQUI:  
 25 A. That stays on the chart, but the copy usually

Page 58

1 goes to the physicians that the other copies  
 2 have been already going to.  
 3 CHAYTOR, Q.C.:  
 4 Q. Okay.  
 5 DR. SIDDIQUI:  
 6 A. It's usually the family physicians and the  
 7 surgeon.  
 8 CHAYTOR, Q.C.:  
 9 Q. Okay. So that was your practice, to dictate a  
 10 note onto the chart -  
 11 DR. SIDDIQUI:  
 12 A. I try to do that most of the time; that was my  
 13 intention. I don't use the word "always"  
 14 because I cannot be 100 percent.  
 15 CHAYTOR, Q.C.:  
 16 Q. Okay. So there may have been people who had  
 17 no change in treatment that for whatever  
 18 reason, you didn't get around to it or it  
 19 didn't come to your attention, that there  
 20 wasn't such a note sent to the family  
 21 physician, that may have happened  
 22 occasionally?  
 23 DR. SIDDIQUI:  
 24 A. I'm sorry, I didn't get that.  
 25 CHAYTOR, Q.C.:

Page 59

1 Q. In terms of your practice of dictating a  
 2 progress note to the chart and having the copy  
 3 then sent to the family physician, for those  
 4 patients who had no change recommended there  
 5 may have been occasions when the progress note  
 6 didn't get done or the progress note didn't  
 7 get sent to the family physician?  
 8 DR. SIDDIQUI:  
 9 A. I would think that if it is done, it usually  
 10 should go to the family physician.  
 11 CHAYTOR, Q.C.:  
 12 Q. And was -  
 13 DR. SIDDIQUI:  
 14 A. Because that is something that I don't follow-  
 15 up if I do a progress note and it says cc'ed  
 16 and the names are there, medical record  
 17 follows up on that.  
 18 CHAYTOR, Q.C.:  
 19 Q. And if you didn't--there may have been times  
 20 when you didn't get the progress note done?  
 21 DR. SIDDIQUI:  
 22 A. It's possible.  
 23 CHAYTOR, Q.C.:  
 24 Q. And that's why you didn't want to use the word  
 25 "always"?

Page 60

1 DR. SIDDIQUI:  
 2 A. That's right, that's possible.  
 3 CHAYTOR, Q.C.:  
 4 Q. Okay. That's the only--that's what I was  
 5 trying to clarify. So when you received the  
 6 addendum to the pathology report in your  
 7 mailbox, if that arrived prior to getting any  
 8 letter from the panel, would you hold the  
 9 pathology report, hold the results and wait  
 10 for the panel letter? I know in one case, in  
 11 Labrador, you told us, you went ahead and  
 12 initiated change of treatment. But normally  
 13 what was your practice, would you hold the  
 14 results and wait for a panel letter, what  
 15 would you do?  
 16 DR. SIDDIQUI:  
 17 A. If there was no change in the repeat pathology  
 18 report and the treatment decision was based on  
 19 an unchanged report, I'm not going to hold  
 20 that report. I'll try to dictate a note on  
 21 that and that report would be signed and  
 22 filed.  
 23 CHAYTOR, Q.C.:  
 24 Q. Okay. And for those in which you read the  
 25 results and you think this is a change and a

Page 61	Page 63
<p>1 change that may involve treatment change, what 2 would you do in those cases? 3 DR. SIDDIQUI: 4 A. If I got the pathology report first, then 5 I'll--if I think a simple straightforward, 6 I'll go ahead and change the treatment. If 7 there is something else involved, more 8 discussions, I'll probably wait for the tumour 9 board panelling, as well. That would be 10 theoretically I would do. 11 CHAYTOR, Q.C.: 12 Q. Okay. And were you told then in terms of did 13 anyone tell you here's now we're going to 14 handle the results and we want to handle this 15 together in a uniform manner and here's how 16 we're going to handle things, was there any 17 communication given to you as to what you 18 should do in those circumstances so that 19 everyone is on the same page? 20 DR. SIDDIQUI: 21 A. Again, what I remember from the informal 22 discussion was that what most of us were 23 doing, if there is a change in treatment based 24 on tumour panelling or on pathology reports, 25 we'll actively pursue for the patient, look</p>	<p>1 Q. So not only is the progress note on the file, 2 you're also then going to speak to the patient 3 about it when he or she comes through the door 4 the next time? And if there's - 5 DR. SIDDIQUI: 6 A. If there is no change. 7 CHAYTOR, Q.C.: 8 Q. If there's no change, right. And if there's a 9 change in treatment, you're going to initiate 10 contact earlier than that. So tell us about 11 those patients, how were they contacted, did 12 you contact them personally yourself, how did 13 that happen? 14 DR. SIDDIQUI: 15 A. I've conducted them personally myself, as 16 well, a few patients. And many of them I 17 would say that by the time we will get the 18 report, they would already have an appointment 19 made. 20 CHAYTOR, Q.C.: 21 Q. Okay, so I just want to be clear on that then. 22 So some of the patients you contacted before 23 you actually had their results back? 24 DR. SIDDIQUI: 25 A. Let me think specifically about a couple of</p>
<p>1 for the patient. If there is no change in the 2 pathology report or in treatment, most of the 3 time we'll make sure that there's a follow-up 4 appointment made. We look in our electronic 5 system which tells us about the appointments 6 and if it is made, talk to the patient on that 7 follow-up visit. 8 CHAYTOR, Q.C.: 9 Q. Okay, so you would wait until the person's 10 next regularly scheduled appointment to come 11 in? 12 DR. SIDDIQUI: 13 A. That's correct. 14 CHAYTOR, Q.C.: 15 Q. And then you would discuss the change in 16 treatment then with the patient? 17 DR. SIDDIQUI: 18 A. No. If there is change in treatment, we'll 19 actively look for the patient. But if the 20 pathology report did not really change or the 21 panel, the review panel did not recommend any 22 change in treatment, we'll talk to the patient 23 when they come in on the next scheduled 24 appointment. 25 CHAYTOR, Q.C.:</p>	<p>1 patients that are coming to mind, how I did 2 that. On first patient that comes to mind I 3 did get the tumour panel--sorry, review panel 4 report and I called the patient myself. 5 Second patient that comes to my mind, the 6 report had gone to the family physician 7 because the patient was discharged from our 8 clinic and the report was sent to our 9 peripheral clinic in Corner Brook and was 10 probably brought into my office in St. John's. 11 And then I had requested for that patient to 12 be booked to see me. 13 CHAYTOR, Q.C.: 14 Q. Okay. 15 DR. SIDDIQUI: 16 A. So these are two instances that come to mind. 17 CHAYTOR, Q.C.: 18 Q. Where you personally made contact? 19 DR. SIDDIQUI: 20 A. Yeah. 21 CHAYTOR, Q.C.: 22 Q. Okay, and so in terms of the practice, then, 23 for the other patients who are requiring a 24 change in their treatment what was the normal 25 practice for them, who would make contact?</p>



Page 65

1 DR. SIDDIQUI:  
 2 A. Yes, one more thing, sorry, that I can add. I  
 3 also remember another patient in whom there  
 4 was some change. I called her myself, spoke  
 5 with her, and offered her to come in. She's  
 6 an elderly lady. And she did not want to come  
 7 in. I spoke with her on phone and the whole  
 8 thing was explained and what that meant and  
 9 she did not want to come. And so that's a  
 10 third one that comes to my mind.  
 11 CHAYTOR, Q.C.:  
 12 Q. Okay. And so when you would phone -  
 13 DR. SIDDIQUI:  
 14 A. I dictated a note on the same day that I spoke  
 15 with her.  
 16 CHAYTOR, Q.C.:  
 17 Q. I'm sorry, and you did a note then?  
 18 DR. SIDDIQUI:  
 19 A. I did a note that day, yes.  
 20 CHAYTOR, Q.C.:  
 21 Q. And those who--and that note then would--a  
 22 copy of that again would go to her family  
 23 physician?  
 24 DR. SIDDIQUI:  
 25 A. Family physician.

Page 66

1 CHAYTOR, Q.C.:  
 2 Q. And in terms of phoning yourself, would you  
 3 tell them on the phone that there's been a  
 4 change or would you invite them to come in,  
 5 that there's--you know, just tell them there's  
 6 an issue you need to speak to them about and  
 7 invite them to come in and talk to them face  
 8 to face about it?  
 9 DR. SIDDIQUI:  
 10 A. I always invite them to come in, and these are  
 11 the patients if they want to talk to me on the  
 12 phone and they feel comfortable. If they ask  
 13 me some questions on the phone and if I have  
 14 an answer to it, I'll answer it to them.  
 15 CHAYTOR, Q.C.:  
 16 Q. Okay.  
 17 DR. SIDDIQUI:  
 18 A. But I always offer them to come in.  
 19 CHAYTOR, Q.C.:  
 20 Q. So your intent wasn't to tell them about the  
 21 change necessarily on the phone, but if they  
 22 asked you questions about that, then you  
 23 provided the answers?  
 24 DR. SIDDIQUI:  
 25 A. My intent would be to get their attention as

Page 67

1 soon as possible.  
 2 CHAYTOR, Q.C.:  
 3 Q. Yes, and to get them to come in so you could  
 4 communicate the information face to face with  
 5 them?  
 6 DR. SIDDIQUI:  
 7 A. That's right, and if I have to leave a message  
 8 somewhere for that basically to get their  
 9 attention, I'll do that.  
 10 CHAYTOR, Q.C.:  
 11 Q. Okay, and I think we heard from Elizabeth  
 12 White in that regard as to how she heard from  
 13 you and there was a message left for her on  
 14 her answering machine.  
 15 DR. SIDDIQUI:  
 16 A. Uh-hm.  
 17 CHAYTOR, Q.C.:  
 18 Q. And that's how she heard about that. Had she  
 19 been your patient, Mrs. White, had you ever  
 20 treated her before?  
 21 DR. SIDDIQUI:  
 22 A. Can I go back a little bit and talk about her?  
 23 CHAYTOR, Q.C.:  
 24 Q. Sure.  
 25 DR. SIDDIQUI:

Page 68

1 A. Mrs. White was diagnosed and seen, I think, in  
 2 1999, and she was seen by Dr. Alidina at that  
 3 time, and she was also seen by radiation  
 4 oncologist. She was not considered a  
 5 candidate for hormonal treatment at that time.  
 6 When Dr. Alidina left, which was in, I think,  
 7 April of 2001, then I inherited many patients  
 8 from him as well as from Dr. Gupta, who was  
 9 another oncologist who had left before I came  
 10 in. So she was one of those patients. I saw  
 11 her in June of 2001, and I think I saw her one  
 12 more time in 2001. After that, she was seen  
 13 by Dr. Farrell and she was discharged back to  
 14 her family physician. So she was not a  
 15 patient of cancer clinic from the end of 2001  
 16 onwards. She was being followed by the family  
 17 physician. She was--her pathology was  
 18 reviewed, I believe, in 2007, because there  
 19 was a letter generated by the physician review  
 20 panel on December 12, 2007, and that came to  
 21 me on December 14th. That's the date which is  
 22 stamped on that, 2007, which was a Friday.  
 23 Then I called her myself on the 17th, which is  
 24 the following working day, and I called her  
 25 home first, and again my intention would be to

Page 69	Page 71
<p>1 get the quickest possible way to get her 2 attention. This is December 17th. Christmas 3 is coming and New Year is coming and 4 everything would be slowed down, so phone to 5 me is the quickest way to get her attention. 6 I left a message to the best of my judgment. 7 I can't remember exactly what I said on that, 8 but I left a message for her. I called her 9 next of kin on the same day and I spoke with 10 her sister-in-law. She was extremely helpful. 11 She told me she is doing well, she is in New 12 Brunswick, that's where she was on vacation. 13 So I had told her that we need to speak with 14 her as soon as she comes in. So this is what 15 happened, and I think Mrs. White, her sister- 16 in-law, she spoke with her husband and made 17 her aware that we need to talk about some 18 change, and she looked at her voice mail. We 19 got what we wanted, we got her attention. I 20 think she had called us as well before she 21 came in, and then I saw her in January of 22 2008.</p> <p>23 CHAYTOR, Q.C.:</p> <p>24 Q. And the voice mail message then that you left 25 with her wasn't just "please give us a call,</p>	<p>1 Q. Okay, and the idea, though, of leaving a phone 2 message such as happened in her case, did that 3 happen with other patients as well if you 4 weren't able to contact them or your staff 5 were trying to contact them? Were there 6 messages left?</p> <p>7 DR. SIDDIQUI:</p> <p>8 A. The other two or three patients that I 9 mentioned, I was able to talk to them on the 10 phone. The other one that I mentioned in 11 Labrador, I was able to talk to on the phone 12 when I called her myself. There may be a few 13 other patients that I also called in between. 14 I dictated notes on the day that I called them 15 that I was able to talk on the phone.</p> <p>16 CHAYTOR, Q.C.:</p> <p>17 Q. And your staff were also involved, I take it, 18 in contacting patients to set up appointments 19 to come in?</p> <p>20 DR. SIDDIQUI:</p> <p>21 A. Medical Records would do that, yes.</p> <p>22 CHAYTOR, Q.C.:</p> <p>23 Q. Medical Records would do that, okay, and 24 whether or not there was any instruction given 25 to them as to how to approach the issue, are</p>
<p>1 it's important we talk to you, but don't be 2 alarmed or over concerned", you actually told 3 on the answering machine the change in her 4 results, the results of her retest?</p> <p>5 DR. SIDDIQUI:</p> <p>6 A. My goal again would be to get her attention as 7 quick as possible. Did I give any exact 8 numbers? I'm not sure about that. I might 9 have said we need to talk to you about some 10 change possibly in your treatment. I cannot 11 remember the exact words. She, herself, can 12 tell what exactly was on that.</p> <p>13 CHAYTOR, Q.C.:</p> <p>14 Q. And in terms of her sister-in-law, did you 15 also tell her sister-in-law the results, that 16 she had had a change in her hormone receptor 17 testing?</p> <p>18 DR. SIDDIQUI:</p> <p>19 A. I don't think I would do that. I don't think 20 I would do that. I might have told her that 21 there is some change that we need to talk 22 about. Since pretty much everybody is aware of 23 the changes, I don't think that I told her the 24 numbers or things like that.</p> <p>25 CHAYTOR, Q.C.:</p>	<p>1 you able to speak to that?</p> <p>2 DR. SIDDIQUI:</p> <p>3 A. There is a way of writing orders. When I'm 4 writing an order for a patient to be booked, 5 if I write "must" with it, this is the 6 understanding that that's the way that we have 7 been doing it, "This patient has to be booked 8 on a particular day and cannot be moved". If 9 they have to make any change in that at all, 10 they have to bring the chart to that physician 11 and tell them if they cannot get hold of the 12 patient or if the patient cannot be booked for 13 that day. So "must" means that that patient 14 has to be booked for the day that the patient 15 is specified for.</p> <p>16 CHAYTOR, Q.C.:</p> <p>17 Q. And how quickly after receiving the changes, 18 or you becoming notified of the change in 19 results, how quickly would patients be booked 20 to come in to see you to discuss the issue?</p> <p>21 DR. SIDDIQUI:</p> <p>22 A. As I said, quite a few patients were already 23 booked because I think their family physicians 24 were getting copies or somebody else--like, 25 surgeons might have been getting copies. So</p>

<p style="text-align: right;">Page 73</p> <p>1 they were already booked by the time we got 2 the physician panel review letters. If they 3 were not--usually they were booked in quite 4 quickly. There were very few instances. 5 Again, there is just one that comes to my mind 6 right now which did not happen that way. 7 CHAYTOR, Q.C.: 8 Q. In terms of what--how you would handle the 9 situation, I take it, as the treating 10 oncologist, it was left to your discretion as 11 to how to communicate with your patients? 12 DR. SIDDIQUI: 13 A. You mean in terms of follow ups and to tell 14 them what happened? 15 CHAYTOR, Q.C.: 16 Q. And what to tell them, yes. 17 DR. SIDDIQUI: 18 A. I think so. 19 CHAYTOR, Q.C.: 20 Q. Were you give any instruction or guidance by 21 anyone as to here's how much you say over the 22 phone, here's how much you say face to face, 23 anything like that, were you given any 24 instructions? 25 DR. SIDDIQUI:</p>	<p style="text-align: right;">Page 75</p> <p>1 the questions. Now you've told us that you 2 didn't--you've never known the results of the 3 external reviews, for example. Were you told 4 anything in terms of how this problem arose, 5 what caused the problem? 6 DR. SIDDIQUI: 7 A. Again what I explained to the patient was that 8 there were technical problems in terms of lab. 9 For most of the patients, they would not know 10 much about that. For them, their treating 11 physicians are the face of cancer. There was 12 a patient who told me that when she got that 13 news, she thought that it was only my face 14 that came to her mind. She did not know of a 15 pathologist, radiologist, or anybody else. So 16 they were angry. I'm sorry, I missed the 17 first part of your question. 18 CHAYTOR, Q.C.: 19 Q. That's okay, I was just wondering in terms of 20 --you're going to be asked that question and 21 you were asked the question by your own 22 patients, "what happened to cause this", and 23 I'm wondering what you told them and what was 24 the source of your information for that? 25 DR. SIDDIQUI:</p>
<p style="text-align: right;">Page 74</p> <p>1 A. None that I remember, no. 2 CHAYTOR, Q.C.: 3 Q. So that was left to your own personal 4 judgement? 5 DR. SIDDIQUI: 6 A. That's right. 7 CHAYTOR, Q.C.: 8 Q. And in terms of when they came before you then 9 in your office or over the phone and had more 10 questions for you, such as I'm sure, Doctor, 11 you would have heard, "Well, why did this 12 happen" or "how did this happen", were you 13 given any guidance or assistance as to how you 14 could answer that question? 15 DR. SIDDIQUI: 16 A. Everybody had a lot of questions. I had 17 patients booked for 20 minutes that took an 18 hour, hour and a half. There were times that 19 I saw patients two or three times just for 20 discussion of that. In terms of instruction 21 what to tell them, I don't think that we had 22 any. 23 CHAYTOR, Q.C.: 24 Q. So nobody--you weren't told anything as to 25 what you could tell or how you could answer</p>	<p style="text-align: right;">Page 76</p> <p>1 A. I would tell them that some technical problems 2 with pathology, and I would tell them that for 3 us seeing them depends upon the pathology 4 report, and if the pathologist tell us that 5 they don't have cancer, they won't even see 6 us, they don't need to see us. So just like a 7 radiologist and pathologist, they're very 8 important and our treatment is dependent on 9 the reports that we get. So there was a report 10 initially which I would explain to them. 11 Usually when I go through that, I will start 12 with the first pathology report and then I'll 13 take them, the treatment, if we did any, and 14 what has happened now. So I'll them that 15 first reports were like this, and then they 16 are reviewed and the report are like that if 17 there was a change, and this is the basis of 18 the change that I'm going to suggest. 19 CHAYTOR, Q.C.: 20 Q. And what made you think there were technical 21 problems? 22 DR. SIDDIQUI: 23 A. That's what I think sort of the general 24 understanding was. 25 CHAYTOR, Q.C.:</p>

Page 77	Page 79
<p>1 Q. I'm sorry?</p> <p>2 DR. SIDDIQUI:</p> <p>3 A. That's what the understanding was, that's what</p> <p>4 I thought.</p> <p>5 CHAYTOR, Q.C.:</p> <p>6 Q. Had someone told you that, that it was a</p> <p>7 technical problem?</p> <p>8 DR. SIDDIQUI:</p> <p>9 A. Not in that sense, but again I think somehow</p> <p>10 it sort of built up in my mind.</p> <p>11 CHAYTOR, Q.C.:</p> <p>12 Q. Were you ever told anything as to what the</p> <p>13 problems were, what caused the problems?</p> <p>14 DR. SIDDIQUI:</p> <p>15 A. No, not in an official kind of meeting what</p> <p>16 exactly that was.</p> <p>17 CHAYTOR, Q.C.:</p> <p>18 Q. What about in an informal discussion or other</p> <p>19 than an official meeting?</p> <p>20 DR. SIDDIQUI:</p> <p>21 A. I would think again the discussion among</p> <p>22 ourselves and sort of knowing about things</p> <p>23 afterwards about this immunohistochemistry, so</p> <p>24 that would have something that may be in the</p> <p>25 back of the mind.</p>	<p>1 residence.</p> <p>2 DR. SIDDIQUI:</p> <p>3 A. But that would be sort of a different kind of</p> <p>4 knowledge. I did coagulation lab and I did</p> <p>5 bit of blood banking. I did not do any of the</p> <p>6 general pathology labs.</p> <p>7 CHAYTOR, Q.C.:</p> <p>8 Q. So technical in your mind means what? Is it</p> <p>9 equipment? What does it mean?</p> <p>10 DR. SIDDIQUI:</p> <p>11 A. Equipment is the first thing, equipment, and</p> <p>12 the way the equipment is being used and the</p> <p>13 variables that are attached with it.</p> <p>14 CHAYTOR, Q.C.:</p> <p>15 Q. Doctor, other than--we've mentioned Ms.</p> <p>16 White's case and perhaps before we leave Ms.</p> <p>17 White's case, we'll just look at a document or</p> <p>18 two from her exhibits. If we could have,</p> <p>19 please, C-0047. Actually, if we could go</p> <p>20 back, please, C-0044, first, and this is the</p> <p>21 tumour board panel or the physician review</p> <p>22 panel letter, December 12, 2007, written to</p> <p>23 yourself by Dr. Laing and it's copied to Drs.</p> <p>24 Randell, Leung, and Peacock. It's written</p> <p>25 here, "Book for third week of January", I</p>
Page 78	Page 80
<p>1 CHAYTOR, Q.C.:</p> <p>2 Q. Did anyone ever suggest to you that the</p> <p>3 problem arose due to or that the problem was</p> <p>4 in any way connected to a change in</p> <p>5 technology?</p> <p>6 DR. SIDDIQUI:</p> <p>7 A. No one suggested to that, but again this--I</p> <p>8 can't really say that anybody suggested that.</p> <p>9 CHAYTOR, Q.C.:</p> <p>10 Q. What do you mean by technical problems?</p> <p>11 DR. SIDDIQUI:</p> <p>12 A. The problems that are involved in terms of</p> <p>13 doing a particular test.</p> <p>14 CHAYTOR, Q.C.:</p> <p>15 Q. And such as what, what could be a technical</p> <p>16 problem?</p> <p>17 DR. SIDDIQUI:</p> <p>18 A. Again what we know about immunohistochemistry</p> <p>19 part, so that would involve the different</p> <p>20 steps that are involved in doing a particular</p> <p>21 test.</p> <p>22 CHAYTOR, Q.C.:</p> <p>23 Q. And you would have little more knowledge of</p> <p>24 laboratory medicine than other oncologists in</p> <p>25 that you also did a hematology part of your</p>	<p>1 think it says. Is that your writing?</p> <p>2 DR. SIDDIQUI:</p> <p>3 A. That's right, '08.</p> <p>4 CHAYTOR, Q.C.:</p> <p>5 Q. January '08. So that's your writing?</p> <p>6 DR. SIDDIQUI:</p> <p>7 A. That is.</p> <p>8 CHAYTOR, Q.C.:</p> <p>9 Q. Okay, and this is indicating that she's had a</p> <p>10 change, the tumour is now 90 percent ER and 10</p> <p>11 percent whereas originally it was 20 to 30 and</p> <p>12 10 percent. So when you received this letter,</p> <p>13 the first thing you did was try to reach Mrs.</p> <p>14 White, is that right?</p> <p>15 DR. SIDDIQUI:</p> <p>16 A. That is correct. It came to me on the 14th</p> <p>17 and I called her on the 17th, if I'm not</p> <p>18 mistaken.</p> <p>19 CHAYTOR, Q.C.:</p> <p>20 Q. And when you couldn't reach her, you left a</p> <p>21 message at her home and then you contacted her</p> <p>22 sister-in-law to get the message to her?</p> <p>23 DR. SIDDIQUI:</p> <p>24 A. That's correct.</p> <p>25 CHAYTOR, Q.C.:</p>

Page 81	Page 83
<p>1 Q. And then if we could go then, please, to 47, 2 C-0047, and this is February 14th, 2008, and 3 she's already been in to see you at this point 4 in time. She was last seen on January 17th, 5 and she was offered that, and so I take it she 6 did, in fact, come in on January 17th, the 7 middle of January, and you saw her then? 8 DR. SIDDIQUI: 9 A. She did come in January, yes. 10 CHAYTOR, Q.C.: 11 Q. Okay. Other than Mrs. White, did you 12 encounter any difficulty contacting any other 13 patients? 14 DR. SIDDIQUI: 15 A. There is that other one, I think, that lady 16 who is in Alberta. That was only other one. 17 Other than that, I don't remember any on(sic) 18 top of my head. 19 CHAYTOR, Q.C.: 20 Q. And that person was out of the province, had 21 moved out of the province? 22 DR. SIDDIQUI: 23 A. Do you want me to talk more about that? 24 CHAYTOR, Q.C.: 25 Q. Okay, sure, without identifying, of course,</p>	<p>1 the chart is not signed by me, it just says a 2 chart which is health records. Anyway, this 3 was brought to my attention according to the 4 e-mail which my secretary sent to me and she 5 had tracked the charts. This was brought to 6 me in April of 2006. The initial letter that 7 was sent from the physician review panel to 8 the family physician that has outlined the 9 whole thing, that she should be considered for 10 Tamoxifen, and if not Tamoxifen, then 11 Aromatase inhibitor, and that also suggested 12 that if the family physician would like, we'll 13 be happy to see her on a consult. In the 14 chart, there is no other consult that I could 15 find, so my guess is that if that letter came 16 to me just as it reflects, I would have asked 17 them to book her to us again. Then the chart 18 was tracked back from my office to the Medical 19 Record and that was in April of 2006. I don't 20 know what exactly happened there, but she was 21 not booked with us at that time, and that was 22 again brought to my attention in July of 2007. 23 That was again on a Friday. I called her 24 early the following week. She was in Alberta. 25 I spoke with her. She was aware of the changes</p>
<p>1 the patient, just tell us generally the 2 circumstances. 3 DR. SIDDIQUI: 4 A. This lady was seen by us in January of 2002. 5 She received her treatment in Stephenville. 6 She was last seen by medical oncology in 7 February of 2004. She was doing well at that 8 time and she was seen by Dr. Rorke, and 9 according to our guidelines she was discharged 10 from our clinic and she was not a patient of 11 Cancer Clinic or Dr. Rorke or myself any more 12 from February of 2004. She was given 13 guidelines in terms of follow-up that we had 14 developed, and her family physician was also 15 sent guidelines in terms of follow-up from the 16 onward. This was again brought into the 17 picture, and again I think it's April of 2006, 18 and when she was panelled, I think at that 19 time, I stand corrected on that, but it was 20 around that time, and the--yes, and the panel 21 letter was sent to her family physician. I 22 would think that the reason being that she was 23 not our patient any more, and a copy was also 24 sent to myself, but the copy went to Cancer 25 Clinic, Corner Brook, and the copy which is in</p>	<p>1 and she told me that her family physician had 2 spoken with her in spring of last year, which 3 would mean very shortly after the physician 4 letter was sent to her, so she was aware of 5 that according to her. I told her about that 6 in detail, that she was already aware of. I 7 suggested that she should be seen by a medical 8 oncologist to discuss that a bit more if she 9 hasn't, and at the time she told me that she 10 was being worked up for some medical problem. 11 There was some fluid accumulation. I told her 12 that it's even more important that you should 13 be seen by a medical oncologist. I called her 14 family physician on the same day. I spoke 15 with him. I told him about the whole thing, 16 and I told him about the review panel, and 17 then I send a letter both to this patient, as 18 well as her family physician on the same day, 19 and that outlined the things that we had 20 talked about that day. The letter to the 21 family physician was faxed as well as mailed, 22 and that also included the pathology report 23 and the physician review panel 24 recommendations. After that, I think I spoke 25 with her in September as well. We're talking</p>

Page 85	Page 87
<p>1 about 2007. At that point she told me she was 2 going to wait another month before she comes 3 to Newfoundland. I still suggested to her to 4 see somebody, or in the letter to family 5 physician, I had suggested to them that they 6 can start the treatment on their own if they 7 cannot get a medical oncologist, and I send a 8 letter as well dated, I think, 31st of July, 9 2007. She finally came back and I saw her in 10 November of 2007 in Corner Brook. She was 11 admitted to the hospital at that time and she 12 had some fluid removed from the lung. I spoke 13 with her about the treatment options. I 14 offered her chemotherapy at that point. She 15 was not much interested in chemo, so we went 16 with hormone treatment, and we decided to go 17 with aromatase inhibitor, Femara. I also 18 booked her for a bone scan and she had some 19 bony disease as well. I started her on a 20 bisphosphonate as well a few days down the 21 road. She was last seen by medical oncologist 22 in Corner Brook in February of 2008, and after 23 that it was on PRN basis because she divides 24 her time between Alberta and Newfoundland. 25 The last letter that I got on her was from a</p>	<p>1 in Corner Brook and he wants you to call him. 2 He wants to discuss the possibility of an 3 overlooked patient in regards to the ER/PR 4 retesting recommendations of Tamoxifen for 5 your patient. I take it this is this patient 6 that you've just told us -- 7 DR. SIDDIQUI: 8 A. That is correct. 9 CHAYTOR, Q.C.: 10 Q. The detail about, and he writes, "Apparently a 11 letter signed by Dr. Laing on March 6th, 2006, 12 with recommendation for Tamoxifen went to the 13 GP in Corner Brook, who in turn sent the 14 letter to you at the peripheral clinic in 15 Corner Brook on March 22nd, 2006. Then 16 somebody in peripheral clinic faxed the letter 17 in to you here at the Cancer Centre on March 18 29th, 2006. Her chart was tracked down to 19 your office on April 26, 2006". Let me just 20 stop there for a second. Doctor, why would it 21 take, do you know, and maybe this is not a 22 fair question for you, but why would it take a 23 month for her chart to be tracked down? Is 24 that because it's a peripheral clinic chart? 25 DR. SIDDIQUI:</p>
<p>1 medical oncologist from June of 2008 from 2 Alberta. She is still on the same treatment 3 that I had started her on and she is doing 4 well. 5 CHAYTOR, Q.C.: 6 Q. Okay, thank you. If we could look at P-2546, 7 and that was a very detailed explanation, so, 8 Doctor, I just wanted to show that there are 9 some of those e-mails here that you were 10 referring to. For example, this is the July 11 27, 2007, from Joyce McDonald. Is that your 12 assistant? 13 DR. SIDDIQUI: 14 A. That's my secretary. 15 CHAYTOR, Q.C.: 16 Q. To yourself, and copied to Patsy Kelly, 17 Michelle Gregory, and Sharon Smith. Do you 18 know who Patsy Kelly is? 19 DR. SIDDIQUI: 20 A. She's a secretary as well. 21 CHAYTOR, Q.C.: 22 Q. And the subject is "possibly missed ER/PR 23 patient. Welcome back, Dr. Siddiqui, hope you 24 had a nice vacation", and then she goes on to 25 say about having a phone call from Dr. Jenkins</p>	<p>1 A. No, it should not make a difference. I cannot 2 comment on that. When they would have the 3 letters, the secretary should bring the chart. 4 CHAYTOR, Q.C.: 5 Q. So that seems like--in your experience, that 6 would be an inordinately long period of time 7 to have--tracking her chart down. That would 8 indicate there must have been a problem 9 locating her chart or something? 10 DR. SIDDIQUI: 11 A. It's possible. Sometimes the chart goes to 12 Corner Brook as well, and they might have 13 tried on one day, can't find on one day, 14 another day, I can't--I don't know. 15 CHAYTOR, Q.C.: 16 Q. So you don't know the circumstances of why? 17 DR. SIDDIQUI: 18 A. No. 19 CHAYTOR, Q.C.: 20 Q. But that is longer than what it would normally 21 take, I take it? 22 DR. SIDDIQUI: 23 A. I would think so, a little bit. 24 CHAYTOR, Q.C.: 25 Q. You, in turn, wrote an order on that date to</p>

Page 89	Page 91
<p>1 have the patient seen in peripheral clinic, 2 but although the chart was tracked down to the 3 peripheral clinic coordinator on April 27th, 4 the order was never signed off as being 5 completed and the chart was filed back then in 6 Health Records. I take it, when it was 7 brought to your attention on April 26th, 2006, 8 and you signed the order, for some reason the 9 order was never signed off on and the chart 10 was filed back? 11 DR. SIDDIQUI: 12 A. It was tracked from my office to the 13 peripheral clinic coordinator. That is the 14 way that clinics are booked, that I write an 15 order, and as I said earlier, I put "must" on 16 that, this patient must be booked for that 17 following clinic in there, and the chart from 18 my office did go to peripheral clinic 19 coordinator. 20 CHAYTOR, Q.C.: 21 Q. Okay, and Dr. Jenkins indicates that the 22 patient travels back and forth between 23 Newfoundland and you've indicated Alberta, and 24 is presently residing, and he does not have a 25 contact number. He does have her GP's contact</p>	<p>1 care. The patient was discharged back to 2 family physician and according to patient, 3 family physician had discussed with her about 4 that. 5 CHAYTOR, Q.C.: 6 Q. And the -- 7 DR. SIDDIQUI: 8 A. So she was made aware. She was offered 9 Tamoxifen, that's what she told me, but I'm 10 just trying to remember - she had some 11 peculiar history and she did not want that. 12 CHAYTOR, Q.C.: 13 Q. And if we could look also then, please, at P- 14 2548, and this is an e-mail then from Sharon 15 Smith to Heather Predham and Pat Pilgrim, and 16 this appears to be about the same case, and 17 it's written August 7th, 2007, "Just to update 18 you on this situation, Dr. Siddiqui contacted 19 this individual and she had been informed of 20 her ER/PR status and treatment options were 21 discussed with her. She was unable to take 22 Tamoxifen because of pre-existing medical 23 condition. Dr. Siddiqui has dictated a note in 24 her medical chart". So, Doctor, in terms of 25 receiving a panel letter, was her panel letter</p>
<p>1 information. It goes on to say, "Neither 2 yourself, Dr. Laing, or Sharon Smith was 3 available. The secretaries in administration 4 recommended I call Nancy Parsons to see if it 5 was okay or leave it until you returned on 6 Monday, but unfortunately, Nancy Parsons is 7 not available on Friday, so they put me in 8 contact with Heather Predham who wanted this 9 looked after right away. So she requested I 10 give it to the covering physician", which she 11 did. "I gave the chart to Dr. Rorke, and he 12 tried calling Heather Predham, but could not 13 reach her, so he left the chart with me with 14 instructions to pass it on to you first thing 15 Monday morning when you returned with the 16 contact information for the GP". So I take it 17 then your response to this was that you, in 18 fact, did contact the GP and you've told us 19 that you learned the patient was aware of the 20 circumstances? 21 DR. SIDDIQUI: 22 A. Right, and that is, I think, the main point 23 here because when they wrote this e-mail, they 24 were not aware that the patient was 25 discharged, so the patient was not under our</p>	<p>1 addressed to you? 2 DR. SIDDIQUI: 3 A. No. 4 CHAYTOR, Q.C.: 5 Q. You weren't -- 6 DR. SIDDIQUI: 7 A. It was addressed to her family physician. 8 CHAYTOR, Q.C.: 9 Q. And copied to you. 10 DR. SIDDIQUI: 11 A. It was cc'd to me. 12 CHAYTOR, Q.C.: 13 Q. Yes, okay, and when you would receive a letter 14 in that respect, you're not the person who is 15 the primary recipient of the letter, you're 16 just cc'd on the letter, do you do anything to 17 check to make sure that the general 18 practitioner or the person to whom the letter 19 is addressed had, in fact, looked after the 20 contact or would you see that as being the 21 responsibility of the person to whom the 22 letter was addressed? 23 DR. SIDDIQUI: 24 A. I think that person to whom the letter is 25 addressed is the one who's actively taking</p>

Page 93	Page 95
<p>1 care of the patient.</p> <p>2 CHAYTOR, Q.C.:</p> <p>3 Q. And in cases where the letter was addressed to</p> <p>4 you, you saw yourself as being the person</p> <p>5 primarily responsible and you initiated the</p> <p>6 contact with the patient?</p> <p>7 DR. SIDDIQUI:</p> <p>8 A. I would think so.</p> <p>9 CHAYTOR, Q.C.:</p> <p>10 Q. Yes. Did you ever check the system to see--</p> <p>11 for example, if it's a patient that you</p> <p>12 haven't seen in a while, or a patient that's</p> <p>13 also being seen by a radiation oncologist at</p> <p>14 the same time, would you check the system to</p> <p>15 see whether or not they are scheduled for a</p> <p>16 meeting within a few days or within a short</p> <p>17 period of time with another physician? Did you</p> <p>18 ever have occasion to do that?</p> <p>19 DR. SIDDIQUI:</p> <p>20 A. There are some patients that alternate between</p> <p>21 medical and radiation oncologist. After</p> <p>22 active treatment is over, then they are in a</p> <p>23 follow up surveillance mode. So we have quite</p> <p>24 a few patients that alternate between medical</p> <p>25 and radiation oncologists. If a letter is</p>	<p>1 check to see if they're going to come see a</p> <p>2 radiation oncologist next week, you would,</p> <p>3 yourself, initiate the contact with the</p> <p>4 patient and deal with it in your own meeting</p> <p>5 with the patient?</p> <p>6 DR. SIDDIQUI:</p> <p>7 A. If there is a change.</p> <p>8 CHAYTOR, Q.C.:</p> <p>9 Q. Yes.</p> <p>10 DR. SIDDIQUI:</p> <p>11 A. Our radiation oncologists, again in peripheral</p> <p>12 clinics as well, they have seen patients, I</p> <p>13 think, even with change as well, and</p> <p>14 peripheral clinics, sometimes the next person</p> <p>15 coming in would be a month or sometimes it</p> <p>16 takes even longer. Like, we don't go there in</p> <p>17 December. So if that is that long, the could</p> <p>18 talk about that as well.</p> <p>19 CHAYTOR, Q.C.:</p> <p>20 Q. And for the patients in the peripheral</p> <p>21 clinics, was there any--did they have to wait</p> <p>22 then for the next regularly scheduled time</p> <p>23 that someone would be there, or was there any</p> <p>24 attempt made to inform them before that to get</p> <p>25 in touch with them and deal with it perhaps</p>
<p>1 there with no change and it is copied to the</p> <p>2 radiation oncologist as well, and the patient</p> <p>3 in near future is booked to see them and there</p> <p>4 is no change, they could probably discuss at</p> <p>5 that time.</p> <p>6 CHAYTOR, Q.C.:</p> <p>7 Q. Okay. So that's only for the patients where</p> <p>8 there is no change, and I take it the patients</p> <p>9 who will require a change, that's something</p> <p>10 for the medical oncologist to discuss with the</p> <p>11 patient?</p> <p>12 DR. SIDDIQUI:</p> <p>13 A. I would think so.</p> <p>14 CHAYTOR, Q.C.:</p> <p>15 Q. So in those cases, if it involved a change in</p> <p>16 treatment --</p> <p>17 DR. SIDDIQUI:</p> <p>18 A. If they're made aware of that.</p> <p>19 CHAYTOR, Q.C.:</p> <p>20 Q. I'm sorry?</p> <p>21 DR. SIDDIQUI:</p> <p>22 A. If they're made aware of the change.</p> <p>23 CHAYTOR, Q.C.:</p> <p>24 Q. So in the cases where it involved a change</p> <p>25 then in the patient's treatment, you wouldn't</p>	<p>1 over the phone or make an unscheduled</p> <p>2 appointment to see if they could come to St.</p> <p>3 John's?</p> <p>4 DR. SIDDIQUI:</p> <p>5 A. I remember one patient who wanted to come to</p> <p>6 St. John's and she came to St. John's to talk</p> <p>7 to me. Other than that, nothing else comes to</p> <p>8 my mind. There was that one patient who came</p> <p>9 to St. John's from west coast.</p> <p>10 CHAYTOR, Q.C.:</p> <p>11 Q. Were they offered that, were the patients</p> <p>12 outside of St. John's offered an opportunity</p> <p>13 if they wanted to be seen quicker, to travel</p> <p>14 to St. John's to have an earlier appointment?</p> <p>15 DR. SIDDIQUI:</p> <p>16 A. I think basically we would write a letter--</p> <p>17 sorry, an order to book them for a particular</p> <p>18 month's clinic. Again I'm thinking once they</p> <p>19 are told about that, if it is too far and they</p> <p>20 want to be seen earlier, they could definitely</p> <p>21 talk to the nurses in peripheral clinic or</p> <p>22 call back to us and to the Medical Records</p> <p>23 here. This is that one patient that comes to</p> <p>24 mind who wanted to come to St. John's and she</p> <p>25 did.</p>



Page 97

1 CHAYTOR, Q.C.:

2 Q. And for patients who--I would take it your

3 peripheral clinic is booked well in advance,

4 you're going to be travelling there, and for

5 patients who weren't to be seen on that

6 particular month, would they then have to wait

7 --how would they be scheduled in? Did the

8 peripheral clinics get extended by a few days

9 to accommodate these people, what happened?

10 DR. SIDDIQUI:

11 A. In the peripheral clinics what happens is they

12 are booked, but the booking can change, and

13 change in that way that if there is somebody

14 who requires a treatment change, and that

15 happens all the time, not just the ER/PR

16 changes, if somebody had a CAT scan that has

17 shown disease progression, those patients

18 would be accommodated. On paper, those

19 clinics start at about 8 or 8:30 and go to

20 4:30, but most of the times we don't take

21 lunches and most of the times you are there by

22 6 or even 7 o'clock. So there are quite a few

23 patients who are initially not booked, but

24 since the time of booking to the time that you

25 actually get there, something will identify,

Page 98

1 so they are booked in. My part would be that

2 if there's a patient which is identified in

3 that time should be booked in that peripheral

4 clinic as an extra patient.

5 CHAYTOR, Q.C.:

6 Q. So if you received a letter regarding a

7 patient who you had seen in the peripheral

8 clinic and it wasn't your turn to go the next

9 month, did you then communicate with the

10 medical oncologists who were travelling to

11 that area and ask them to see your patients?

12 DR. SIDDIQUI:

13 A. It has happened several times. I have seen

14 patients, I think, who were initially not seen

15 by myself.

16 CHAYTOR, Q.C.:

17 Q. And was there some organized effort, do you

18 know, to make sure that those patients got on

19 the list of patients to be seen in peripheral

20 clinic next month regardless if it was the

21 treating oncologist or not?

22 DR. SIDDIQUI:

23 A. I think that was the general thought that if

24 there's a change like that, those patients

25 would be booked to the next peripheral clinic

Page 99

1 if they want to be seen there.

2 CHAYTOR, Q.C.:

3 Q. Was there anything that came to you in the

4 form of a memo or formal communication to say

5 that that, in fact, would be the practise in

6 how the patients outside of St. John's would

7 be dealt with?

8 DR. SIDDIQUI:

9 A. Not in a written memo.

10 CHAYTOR, Q.C.:

11 Q. But that was your practice that you adopted if

12 you've got a --

13 DR. SIDDIQUI:

14 A. I think most of us were doing it that way.

15 CHAYTOR, Q.C.:

16 Q. Okay. If we could have, please, P-2545.

17 Doctor, in this exhibit there's just a number

18 of those tumour board panel letters, and, of

19 course, for example, of the types of issues

20 that would have arisen through the letters,

21 the names of the patients and identifying

22 information has been redacted. In this

23 particular one, November 4th, 2005, written to

24 you, it indicates that the patient was

25 diagnosed with cancer in the left breast in

Page 100

1 2000. "The original report of the

2 estrogen/progesterone receptor showed negative

3 staining for both, and a repeat report from

4 Mount Sinai has shown the tumour to be

5 estrogen and progesterone receptor positive at

6 40 percent and 10 percent respectively. This

7 patient was discussed at the physician review

8 panel on November 3rd, 2005. A review of the

9 patient's chart revealed that she's currently

10 being treated with Tamoxifen for right breast

11 cancer. Tamoxifen is recommended for the left

12 breast cancer as well". My question is, is

13 this common for the receptor status to be

14 different in the cancer in one breast as

15 opposed to the other breast?

16 DR. SIDDIQUI:

17 A. There could be two possibilities. One could

18 have a primary breast cancer in each breast

19 and they could have a different set of

20 receptors. That's one possibility. The

21 second one is that breast cancer may start

22 from one breast and may have metastasised to

23 the other one. In that situation, the

24 receptor status would be quite similar,

25 however, there is some chance, and I would

Page 101	Page 103
<p>1 think there is roughly about 20 percent chance 2 for metastasis to have a different receptor 3 status, more in the form of losing original 4 receptor. 5 CHAYTOR, Q.C.: 6 Q. So you'd go from positive to negative? 7 DR. SIDDIQUI: 8 A. There's a small chance for that. For the 9 metastasis that could happen, but if it is in 10 two separate breasts, having two separate 11 primaries is quite possible and their ER/PR 12 could be different from each other. 13 CHAYTOR, Q.C.: 14 Q. So if it's two different primaries, yes, this 15 is possible? 16 DR. SIDDIQUI: 17 A. Right. 18 CHAYTOR, Q.C.: 19 Q. But it's a different cancer altogether, so it 20 could have different hormone receptor status? 21 DR. SIDDIQUI: 22 A. And you would treat them at the same time. 23 You would treat them with the one which is of 24 the highest stage. You would treat them 25 according to that.</p>	<p>1 they are different and there is some time 2 interval between the time, it's possible it 3 may be just a second primary. 4 CHAYTOR, Q.C.: 5 Q. Okay, and what do you interpret this to mean 6 to say that Tamoxifen is recommended for the 7 left breast cancer as well? If she's already 8 on Tamoxifen, would the Tamoxifen be any 9 different than for the -- 10 DR. SIDDIQUI: 11 A. No, it would be the same. I think it's just 12 the way that it has come up. If somebody is 13 on Tamoxifen for one breast cancer, and if she 14 has another cancer in the other breast which 15 was also receptor positive, you're not going 16 to increase the dose or give it in a different 17 way. It would be the same dose of Tamoxifen 18 done the same way. 19 CHAYTOR, Q.C.: 20 Q. And would you extend perhaps the length of the 21 time then for -- 22 DR. SIDDIQUI: 23 A. No, that would be still five years. Again the 24 total length of Tamoxifen is usually five 25 years. More recently there are some studies</p>
<p style="text-align: right;">Page 102</p> <p>1 CHAYTOR, Q.C.: 2 Q. But if it was metastasis from the original 3 cancer, it would be extremely unusual, if not 4 unheard of for it to have gone from being 5 negative hormone receptor status to positive? 6 DR. SIDDIQUI: 7 A. It would be very uncommon, but can it happen, 8 I can't really say that it won't happen, but I 9 would think that it probably would be less, 10 from negative to positive. 11 CHAYTOR, Q.C.: 12 Q. And at the time of treating this person and 13 the patient being placed on Tamoxifen for the 14 right breast cancer, at that time did it occur 15 to you to be unusual? Do you know if this was 16 a metastasis or was there a second primary 17 cancer? 18 DR. SIDDIQUI: 19 A. I'd have to look at the chart because there 20 are several ways of looking at that. The 21 first one would be the type of the breast 22 cancer. If the two cancers are the same, we 23 can ask the pathologist to look under the 24 microscope and if the two cells look very 25 similar, sometimes they could tell us. If</p>	<p style="text-align: right;">Page 104</p> <p>1 and we are switching after a certain two or 2 three years with aromatase inhibitor as well. 3 So there are different possibilities 4 afterwards, but if you're just keeping the 5 patient on Tamoxifen, you'll keep them on for 6 five years. 7 CHAYTOR, Q.C.: 8 Q. Okay. 9 DR. SIDDIQUI: 10 A. And this is especially if the two cancers have 11 some overlap in terms of when they were 12 diagnosed. 13 CHAYTOR, Q.C.: 14 Q. Okay. Doctor, the next letter then is a person 15 who was diagnosed in 2003, originally ER 0 16 percent and PR 80 to 90 percent, and then a 17 repeat from Mount Sinai had shown the tumour 18 to be 25 percent ER positive and 2 percent 19 progesterone receptor positive. Is it unusual 20 to have a patient who would show 0 percent 21 staining for estrogen and a very strong 22 positivity for progesterone? 23 DR. SIDDIQUI: 24 A. You could have 5 percent of the breast cancers 25 that would show up as negative for estrogen</p>

Page 105	Page 107
<p>1 and positive for progesterone.</p> <p>2 CHAYTOR, Q.C.:</p> <p>3 Q. And to be absolutely zero for estrogen. This</p> <p>4 patient was already on Tamoxifen, so I take it</p> <p>5 this patient was treated, as we talked about</p> <p>6 earlier this morning, on the basis of her</p> <p>7 progesterone --</p> <p>8 DR. SIDDIQUI:</p> <p>9 A. Progesterone positivity.</p> <p>10 CHAYTOR, Q.C.:</p> <p>11 Q. Positivity. This letter speaks of a person</p> <p>12 diagnosed in 2000, and she was originally, or</p> <p>13 he, 5 percent staining for estrogen and</p> <p>14 negative for progesterone, and a repeat from</p> <p>15 Mount Sinai had shown the tumour to be</p> <p>16 estrogen receptor positive at 10, and</p> <p>17 progesterone receptor positive at less than 1</p> <p>18 percent, and the recommendation of the panel</p> <p>19 that there be no change in the treatment plan.</p> <p>20 This decision is based on the fact that the</p> <p>21 person had been treated with Arimidex and had</p> <p>22 stopped treatment on her own.</p> <p>23 DR. SIDDIQUI:</p> <p>24 A. This is a patient I remember a little bit, and</p> <p>25 as I said earlier, the progesterone positivity</p>	<p>1 would have been the only treatment at that</p> <p>2 point.</p> <p>3 CHAYTOR, Q.C.:</p> <p>4 Q. Okay. Now most of the letters, and with the</p> <p>5 one asking you to communicate the information</p> <p>6 to your client, this letter doesn't indicate</p> <p>7 that, and it may simply just be an oversight,</p> <p>8 but would you, in any event, have communicated</p> <p>9 this to your patient?</p> <p>10 DR. SIDDIQUI:</p> <p>11 A. I think this lady I had spoken with on the</p> <p>12 phone and a note was dictated on the day.</p> <p>13 CHAYTOR, Q.C.:</p> <p>14 Q. And I take it you agreed with the panel's</p> <p>15 recommendation with respect to her case?</p> <p>16 DR. SIDDIQUI:</p> <p>17 A. That's correct.</p> <p>18 CHAYTOR, Q.C.:</p> <p>19 Q. Okay. At page five, there's another letter,</p> <p>20 February 17th, 2006, and in this case the</p> <p>21 person was diagnosed in 2001, and she was</p> <p>22 originally negative for both ER and PR, and</p> <p>23 the repeat report is 20 percent and 0 percent</p> <p>24 ER/PR respectively. The physician review</p> <p>25 panel's recommendation is that the patient be</p>
<p>Page 106</p> <p>1 up to a certain point is helpful in making</p> <p>2 decisions, but no two patients are alike. In</p> <p>3 some patients, who are elderly, who don't have</p> <p>4 any other treatment options, sometimes you</p> <p>5 treat them even with a lower number. I think</p> <p>6 this is one of those. This lady had refused</p> <p>7 chemotherapy, she was in her late 70s, and she</p> <p>8 had some swelling of the legs at that time</p> <p>9 which we had also investigated with dopplers,</p> <p>10 but she did not want to take Tamoxifen. The</p> <p>11 only thing that she would agree was this</p> <p>12 Arimidex, which was our standard at that time</p> <p>13 in 2000 and 2001.</p> <p>14 CHAYTOR, Q.C.:</p> <p>15 Q. And that was my question, if those were her</p> <p>16 original scores, why she would have been</p> <p>17 treated originally?</p> <p>18 DR. SIDDIQUI:</p> <p>19 A. Right.</p> <p>20 CHAYTOR, Q.C.:</p> <p>21 Q. And that's because she was an elderly patient?</p> <p>22 DR. SIDDIQUI:</p> <p>23 A. Elderly and she did not want chemotherapy, and</p> <p>24 I'll have to look at the pathology again to</p> <p>25 see exactly what the pathology was, but this</p>	<p>Page 108</p> <p>1 seen and assessed for the possibility of</p> <p>2 starting treatment with Tamoxifen. In</p> <p>3 essence, I take it the decision with respect</p> <p>4 to this person was left up to your own</p> <p>5 judgment?</p> <p>6 DR. SIDDIQUI:</p> <p>7 A. Right, they think that hormone treatment</p> <p>8 should be used for this patient and this</p> <p>9 patient should be contacted.</p> <p>10 CHAYTOR, Q.C.:</p> <p>11 Q. And so in terms of this particular patient,</p> <p>12 and I don't know if you recall this person or</p> <p>13 not, but I'm just thinking if the</p> <p>14 recommendation is that she be assessed for the</p> <p>15 possibility of starting treatment with</p> <p>16 Tamoxifen or some other equivalent medication,</p> <p>17 how was the fact that the person was panelled</p> <p>18 of any benefit to you in terms of you being</p> <p>19 able to pick up her chart and make that</p> <p>20 determination which ultimately you would have</p> <p>21 to do yourself?</p> <p>22 DR. SIDDIQUI:</p> <p>23 A. There would be again a small group of patients</p> <p>24 who are sometimes in a grey zone, and as we</p> <p>25 talked about tumour board previously,</p>

Page 109	Page 111
<p>1 sometimes you bring up those patients to get 2 opinion from other medical oncologists that 3 this patient is somebody who has an eight 4 millimetre tumour, are you going to treat that 5 if the recommendations are to treat anything 6 which is bigger than one centimetre. So there 7 are some patients which fall in those grey 8 zones and you got a tumour board kind of 9 opinion with all those oncologists at that 10 time. 11 CHAYTOR, Q.C.: 12 Q. So this is a person who fell in a grey zone as 13 opposed to it wasn't a situation where there 14 wasn't enough information on her chart for 15 them to be able to make any recommendation? 16 DR. SIDDIQUI: 17 A. This one doesn't look like in grey zone 18 because they said for recommendation of the 19 panel is that should be seen and assessed for 20 possibility of starting treatment. 21 CHAYTOR, Q.C.: 22 Q. Yes. 23 DR. SIDDIQUI: 24 A. But what I'm saying is that some patients they 25 are in grey zone so that physician review</p>	<p>1 spoke to the patient. So I take it in that 2 case you would have received a verbal update 3 as to the patient's status if it's been some 4 time since you've seen a patient, and a number 5 of those, of course, were people that may have 6 been some time? 7 DR. SIDDIQUI: 8 A. Correct. 9 CHAYTOR, Q.C.: 10 Q. So you'd get a verbal update over the phone. 11 And were there other occasions where that 12 would happen, where the patient wasn't 13 actually assessed before the treatment change 14 was put in place? 15 DR. SIDDIQUI: 16 A. That is again the Labrador one, that is the 17 one that comes to my mind. And I think on 18 that one I had spoken to her family physician, 19 as well. So you'll talk to the patient, 20 you'll try to get some history, you'll try to 21 get some main features which are 22 contraindication for one or the other form of 23 treatment and the family physician would be 24 involved. The patients would be offered to 25 come in and see, but family physician would be</p>
<p>1 panel goes through their particular correctors 2 and they can give their extra opinion that 3 even though they may be now considered 4 receptor positive, but are they really going 5 to benefit from hormone treatment or not. So 6 those are the ones that I mentioned. This one 7 looks like that they thought that hormone 8 treatment would be beneficial. 9 CHAYTOR, Q.C.: 10 Q. But for some reason the patient needed to be 11 seen and assessed first? 12 DR. SIDDIQUI: 13 A. These, all these medications they carry a list 14 of side effects with them and you have to be 15 made aware, the patient has to be made aware 16 about the side effect, and they have to 17 understand completely what they're getting 18 into. They are not very benign medications, 19 so they have to be made aware before you could 20 start. 21 CHAYTOR, Q.C.: 22 Q. And were all your patients seen and assessed 23 before the recommendation of the panel was put 24 in place? I was just thinking the case you 25 told us about, Labrador, and you phoned and</p>	<p>1 involved. 2 CHAYTOR, Q.C.: 3 Q. Okay, so it would be expected that the patient 4 would be seen and assessed if not by yourself, 5 by the family physician before the treatment 6 change was put in place? 7 DR. SIDDIQUI: 8 A. I would expect them to see the patient if I 9 talked to them. 10 CHAYTOR, Q.C.: 11 Q. Okay, and this letter is March 6th, 2006. 12 THE COMMISSIONER: 13 Q. Excuse me, just before we go. 14 CHAYTOR, Q.C.: 15 Q. I'm sorry. 16 THE COMMISSIONER: 17 Q. From this letter. Dr. Siddiqui, would the 18 information that you would need to discuss 19 with your patient regarding contraindications 20 for, for example, Tamoxifen, necessarily be on 21 the file? 22 DR. SIDDIQUI: 23 A. Most of it should be, you're right. But 24 sometimes if time has passed, if it is five 25 years or six years, I just ask them did you</p>

Page 113	Page 115
<p>1 have a blood clot for any reason or did you</p> <p>2 suffer a stroke or are you on a medication for</p> <p>3 osteoporosis, so that would tell you to go one</p> <p>4 way or the other.</p> <p>5 THE COMMISSIONER:</p> <p>6 Q. All right. So if the panel was looking at a</p> <p>7 chart where the origin of the cancer might</p> <p>8 have been sometime ago, there might, in fact,</p> <p>9 be an absence of the kind of information you</p> <p>10 would need to have to be in a position to</p> <p>11 properly make a recommendation to your patient</p> <p>12 as to whether or not Tamoxifen, for example,</p> <p>13 should be taken?</p> <p>14 DR. SIDDIQUI:</p> <p>15 A. That's right.</p> <p>16 THE COMMISSIONER:</p> <p>17 Q. Okay.</p> <p>18 DR. SIDDIQUI:</p> <p>19 A. And that what happened, I think, in Mrs.</p> <p>20 White's case. She was seen in 2001 and then</p> <p>21 in 2007, so we needed to be updated what</p> <p>22 happened in those six years.</p> <p>23 THE COMMISSIONER:</p> <p>24 Q. All right. Thank you.</p> <p>25 CHAYTOR, Q.C.:</p>	<p>1 would have been involved in this aspect, about</p> <p>2 the travel expense. But April 10th it appears</p> <p>3 that the patient is now in your office and</p> <p>4 you're looking for a copy of the letter at</p> <p>5 that point and asking--so it's faxed over to</p> <p>6 you. So would you not have already received</p> <p>7 your copy of the letter? This is March 6th,</p> <p>8 so it's over a month later and you're looking</p> <p>9 for a copy.</p> <p>10 DR. SIDDIQUI:</p> <p>11 A. It says cc'ed, theoretically it should be.</p> <p>12 CHAYTOR, Q.C.:</p> <p>13 Q. And I take it when this person arrived in your</p> <p>14 office, however, you didn't have the copy and</p> <p>15 so you made contact to get a copy and were</p> <p>16 told the recommendations verbally. Do you</p> <p>17 recall -</p> <p>18 DR. SIDDIQUI:</p> <p>19 A. Some -</p> <p>20 CHAYTOR, Q.C.:</p> <p>21 Q. - who you spoke with, who the physician -</p> <p>22 DR. SIDDIQUI:</p> <p>23 A. I don't remember this particular patient. If</p> <p>24 I could be shown the chart, I may remember a</p> <p>25 bit more. But again, as we talked about one</p>
<p>Page 114</p> <p>1 Q. Okay, thank you, Commissioner. Then page 6 of</p> <p>2 this exhibit is the letter March 6th, 2006.</p> <p>3 And in this case looks like the patient was</p> <p>4 seen by you. She was diagnosed in 2002. The</p> <p>5 original report of her ER/PR is negative for</p> <p>6 ER and less than five percent for PR. And the</p> <p>7 report from Mount Sinai is 60 and 50 percent</p> <p>8 ER/PR, respectively. Patient was discussed by</p> <p>9 the panel. And the recommendation of the</p> <p>10 panel is that she should be treated with</p> <p>11 Tamoxifen or otherwise if not tolerated. And</p> <p>12 actually, this letter was not written to you,</p> <p>13 this letter looks like it was written to</p> <p>14 perhaps another--it was written to another</p> <p>15 physician, perhaps a GP and you were copied on</p> <p>16 the letter. And it indicates if you wish, the</p> <p>17 patient may be referred to one of our medical</p> <p>18 oncologists. And there's a handwritten note</p> <p>19 up here, April 10th, 2006, "Dr. Siddiqui</p> <p>20 called the patient in office a fact of her</p> <p>21 letter. I told him the recommendations</p> <p>22 verbally." And down here a note April 12th,</p> <p>23 2006, "Received a call from the patient's</p> <p>24 daughter requesting reimbursement for her</p> <p>25 mother's travel." And I don't expect that you</p>	<p>Page 116</p> <p>1 of the other patients, as well, if the patient</p> <p>2 saw in the peripheral clinic, sometimes the</p> <p>3 reports just went to the peripheral clinic and</p> <p>4 from there they'll travel the long way back</p> <p>5 here. So is it one of those, I don't know.</p> <p>6 CHAYTOR, Q.C.:</p> <p>7 Q. It appears to be somebody from outside the</p> <p>8 city if there's travel expenses involved.</p> <p>9 DR. SIDDIQUI:</p> <p>10 A. Right, right.</p> <p>11 CHAYTOR, Q.C.:</p> <p>12 Q. Yes. Doctor, so what was your practice then</p> <p>13 in getting a letter copied? If you had a</p> <p>14 chart on the patient, would the letter be put</p> <p>15 or placed in the patient's chart?</p> <p>16 DR. SIDDIQUI:</p> <p>17 A. Again, the letter, even if it is copied, it</p> <p>18 should come to my mailbox.</p> <p>19 CHAYTOR, Q.C.:</p> <p>20 Q. Yes, and what would you then do with it,</p> <p>21 though, after you received the letter?</p> <p>22 DR. SIDDIQUI:</p> <p>23 A. If it is directed to me, as I said earlier,</p> <p>24 and if there's a change in treatment, I'll try</p> <p>25 to get hold of the patient.</p>

Page 117	Page 119
<p>1 CHAYTOR, Q.C.:</p> <p>2 Q. But in the situation where this letter was</p> <p>3 not, you're not the primary recipient but you</p> <p>4 are copied on the letter, what would you do</p> <p>5 with your copy of this letter when you</p> <p>6 received it?</p> <p>7 DR. SIDDIQUI:</p> <p>8 A. It would be signed, it will go on the chart.</p> <p>9 CHAYTOR, Q.C.:</p> <p>10 Q. So you would place it on the chart regardless</p> <p>11 if you're the -</p> <p>12 DR. SIDDIQUI:</p> <p>13 A. Yeah, if I get that, I'll put that on the</p> <p>14 chart.</p> <p>15 CHAYTOR, Q.C.:</p> <p>16 Q. Regardless if you're just cc'ed or the primary</p> <p>17 recipient?</p> <p>18 DR. SIDDIQUI:</p> <p>19 A. Sure.</p> <p>20 CHAYTOR, Q.C.:</p> <p>21 Q. All letters from the tumour board panel that</p> <p>22 you received, it was your practice to place</p> <p>23 them on the chart?</p> <p>24 DR. SIDDIQUI:</p> <p>25 A. If I get a copy of it, I'll sign it and it</p>	<p>1 a repeat from Mount Sinai has shown the tumour</p> <p>2 to be ER and PR receptor positive at 50</p> <p>3 percent and 70 percent respectively. The</p> <p>4 patient was discussed and review of the</p> <p>5 patient's health record revealed that she, or</p> <p>6 Ms. C is currently being treatment with</p> <p>7 Arimidex, therefore there's no impact on the</p> <p>8 patient's treatment and no treatment follow-up</p> <p>9 required. So it appears this patient was</p> <p>10 already placed on Arimidex, presumably, I take</p> <p>11 it, for the left breast cancer. And again, my</p> <p>12 question earlier, your answer would be the</p> <p>13 same, I would take it, that this is likely two</p> <p>14 different cancers, two different primaries as</p> <p>15 opposed to -</p> <p>16 DR. SIDDIQUI:</p> <p>17 A. That's right.</p> <p>18 CHAYTOR, Q.C.:</p> <p>19 Q. - a metastasis?</p> <p>20 DR. SIDDIQUI:</p> <p>21 A. They were different receptor status, it looks</p> <p>22 like.</p> <p>23 CHAYTOR, Q.C.:</p> <p>24 Q. Okay. The other thing about this letter then</p> <p>25 which caught my attention was, and we've left</p>
Page 118	Page 120
<p>1 will go on the chart.</p> <p>2 CHAYTOR, Q.C.:</p> <p>3 Q. And for some reason the--so you would sign it</p> <p>4 indicating that you had seen the letter?</p> <p>5 DR. SIDDIQUI:</p> <p>6 A. That's correct.</p> <p>7 CHAYTOR, Q.C.:</p> <p>8 Q. Okay. And for some reason on this occasion, a</p> <p>9 month after the letter is written, there</p> <p>10 wasn't a copy on her chart, it appears, for</p> <p>11 whatever reason?</p> <p>12 DR. SIDDIQUI:</p> <p>13 A. It looks like.</p> <p>14 CHAYTOR, Q.C.:</p> <p>15 Q. Okay. And the next page, page 7 is a letter</p> <p>16 of the same date and it's to yourself, written</p> <p>17 by Dr. Laing as the chair of the panel. And</p> <p>18 in this particular case the patient again had</p> <p>19 right breast cancer in 2002 and at that time</p> <p>20 her ER and PR receptors were negative staining</p> <p>21 for both. And this has been confirmed on</p> <p>22 retesting at Mount Sinai. And then in 2003</p> <p>23 she was diagnosed with breast cancer of the</p> <p>24 left breast and the original report showed</p> <p>25 less than 20 for ER and 90 percent for PR and</p>	<p>1 in initials here, but the names were wrong, so</p> <p>2 the first two names, but then the patient that</p> <p>3 is revealed, a review of the patient's health</p> <p>4 record revealed that a different named person</p> <p>5 is currently being treatment with Arimidex.</p> <p>6 What would you have done upon receipt of this</p> <p>7 letter, would you have--and that no further</p> <p>8 treatment follow-up is required. Would you</p> <p>9 have done anything to check to make sure that</p> <p>10 there hadn't been a mistake in terms of which</p> <p>11 file was being referred to? We understand the</p> <p>12 tumour physician review panel at any given</p> <p>13 time would have several files in front of it,</p> <p>14 most of the time. And would you do anything</p> <p>15 to ensure that, in fact, the right patient is</p> <p>16 being referred to given the mistake in the</p> <p>17 names in the names in letter?</p> <p>18 DR. SIDDIQUI:</p> <p>19 A. I think the main problem here is that was that</p> <p>20 mistaken name picked up. We usually look at</p> <p>21 on the top, when the patient's name is there</p> <p>22 and the MCP number is there, so those are the</p> <p>23 two things that you look at.</p> <p>24 CHAYTOR, Q.C.:</p> <p>25 Q. So you would go by the name that appeared</p>

Page 121	Page 123
<p>1 here?</p> <p>2 DR. SIDDIQUI:</p> <p>3 A. Yeah, I mean, again, I have to look at the</p> <p>4 chart, but I'm not--because it doesn't ring a</p> <p>5 bell, I'm not sure if a different name was</p> <p>6 picked up or not. And again, the second thing</p> <p>7 is that is it the first name that she's using</p> <p>8 at some place, is it the last or the other, I</p> <p>9 don't know.</p> <p>10 CHAYTOR, Q.C.:</p> <p>11 Q. There's two different last names referred to</p> <p>12 in this letter.</p> <p>13 DR. SIDDIQUI:</p> <p>14 A. Right.</p> <p>15 CHAYTOR, Q.C.:</p> <p>16 Q. And I can tell you that the name that appeared</p> <p>17 in the subject line was the name which appears</p> <p>18 in the first two paragraphs, not the last</p> <p>19 paragraph. I'm just wondering what in that</p> <p>20 situation--first of all, you don't remember</p> <p>21 whether you would have caught that or not and</p> <p>22 had you caught it, what would you have--would</p> <p>23 you have done anything to ensure that it is</p> <p>24 the correct person that they're referring to</p> <p>25 has already been treated?</p>	<p>1 no treatment follow-up is required. Would it</p> <p>2 be unusual to have two different cancers in</p> <p>3 your two different breasts diagnosed at the</p> <p>4 same time?</p> <p>5 DR. SIDDIQUI:</p> <p>6 A. How often would that happen, I don't know the</p> <p>7 percentage, but I have seen that happening</p> <p>8 more than once.</p> <p>9 CHAYTOR, Q.C.:</p> <p>10 Q. And for there to be two different hormone</p> <p>11 receptor statuses based on the conversations</p> <p>12 we've had earlier -</p> <p>13 DR. SIDDIQUI:</p> <p>14 A. That suggests that they likely are two</p> <p>15 different kinds of cancer.</p> <p>16 CHAYTOR, Q.C.:</p> <p>17 Q. And is that something that would have occurred</p> <p>18 to you at the time, in 2002, that this is</p> <p>19 unusual, I'd better make sure it's two</p> <p>20 different cancers in terms of reviewing the</p> <p>21 pathology report?</p> <p>22 DR. SIDDIQUI:</p> <p>23 A. I would think not. If they are different</p> <p>24 under the microscope, if their histological</p> <p>25 characters are different, these are two</p>
<p style="text-align: right;">Page 122</p> <p>1 DR. SIDDIQUI:</p> <p>2 A. If that name mistake was picked up, I sure--if</p> <p>3 I picked it up, I would follow that and</p> <p>4 whoever picked it up, that's a basic thing,</p> <p>5 that mistake should have been followed up.</p> <p>6 CHAYTOR, Q.C.:</p> <p>7 Q. Okay. And then the last then tumour board</p> <p>8 letter I'd like to refer you to is dated the</p> <p>9 same date. And this again is a person who was</p> <p>10 diagnosed with breast cancer in her right and</p> <p>11 her left breast in 2002. The original report</p> <p>12 of the ER and PR receptors of the right breast</p> <p>13 showed zero percent staining for estrogen and</p> <p>14 less than five for progesterone. And a repeat</p> <p>15 from Mount Sinai showing the tumour to be</p> <p>16 ER/PR receptor positive at 30 percent and ten</p> <p>17 percent respectively. The original report of</p> <p>18 the ER and PR of the left breast showed 90</p> <p>19 percent staining for estrogen and ten percent</p> <p>20 for progesterone and the tumour was not</p> <p>21 retested at Mount Sinai. The patient was</p> <p>22 discussed and a review of the health record</p> <p>23 revealed she was initially treated with</p> <p>24 Tamoxifen and subsequently Arimidex, therefore</p> <p>25 it's no impact on the patient's treatment and</p>	<p style="text-align: right;">Page 124</p> <p>1 different cancers, most likely then. And the</p> <p>2 patient would be on treatment for one cancer</p> <p>3 and if she's completely negative on the other</p> <p>4 side, then there is not much impact, but if</p> <p>5 there are any receptor positivity, she would</p> <p>6 benefit from that, as well.</p> <p>7 CHAYTOR, Q.C.:</p> <p>8 Q. Okay, Doctor, I wanted to turn now then to and</p> <p>9 ask you about another patient of yours.</p> <p>10 THE COMMISSIONER:</p> <p>11 Q. Before you start that, Ms. Chaytor, it's about</p> <p>12 the time for the morning break. Should we do</p> <p>13 that before you turn to this new area?</p> <p>14 CHAYTOR, Q.C.:</p> <p>15 Q. Sure, yes. And this is my last line of</p> <p>16 questioning for Dr. Siddiqui.</p> <p>17 THE COMMISSIONER:</p> <p>18 Q. All right, well, why don't we take the morning</p> <p>19 break first then.</p> <p>20 (RECESS)</p> <p>21 THE COMMISSIONER:</p> <p>22 Q. Please be seated. Ms. Chaytor?</p> <p>23 CHAYTOR, Q.C.:</p> <p>24 Q. Thank you, Commissioner. Dr. Siddiqui, before</p> <p>25 we do the last line of questioning that I had</p>

Page 125	Page 127
<p>1 for you, I understand that there were a couple 2 of points that you'd like to clarify and one 3 is from your evidence last day regarding where 4 you trained. And perhaps you could just speak 5 to that, please?</p> <p>6 DR. SIDDIQUI: 7 A. I think I said that my residency was State 8 University of Detroit. If I said that, I'm 9 sorry. It's actually Wayne State University.</p> <p>10 CHAYTOR, Q.C.: 11 Q. Wayne State.</p> <p>12 DR. SIDDIQUI: 13 A. That is in Detroit. It's not State University 14 of Detroit.</p> <p>15 CHAYTOR, Q.C.: 16 Q. So it's Wayne State in Detroit?</p> <p>17 DR. SIDDIQUI: 18 A. Wayne State University in Detroit.</p> <p>19 CHAYTOR, Q.C.: 20 Q. Okay.</p> <p>21 DR. SIDDIQUI: 22 A. And Sinai Medical Centre, that's the name of 23 the hospital.</p> <p>24 CHAYTOR, Q.C.: 25 Q. Okay. And C-0040, please? And this is not</p>	<p>1 DR. SIDDIQUI: 2 A. Towards the end of the first paragraph it says 3 that she has the same weight on the last visit 4 and she was 68.8 in December, '99 and she has 5 the same weight on the last visit. Actually, 6 in this visit she weighed 73 kilos on a visit 7 prior to that, she was also 73 kilos. She was 8 a bit short of breath and family physician had 9 thought that that might be due to weight gain. 10 But I mentioned over here that her weight has 11 remained stable. And then going in the 12 assessment and plan, it's actually, I think, a 13 typographical error, it should have been, if 14 we can go down in the assessment and plan, 15 weight gain is not gross because I mention 16 that the weight has remained stable on the two 17 times, and that's why I said that the weight 18 gain is not gross. If we change "now" to 19 "not", that would explain everything else. 20 And then I said that in my opinion if the 21 shortness of breath persists, if it persists, 22 then she should see a pulmonologist and a 23 cardiologist.</p> <p>24 CHAYTOR, Q.C.: 25 Q. Okay.</p>
<p>Page 126</p> <p>1 actually a point arising out of your prior 2 evidence, it's just a question I have for you 3 on this. Thank you. C-0040. This is one of 4 the records from Elizabeth White, who we 5 mentioned earlier in terms of your 6 communications with her around her retest. 7 And when Mrs. White was on the stand, on this 8 progress note of June the 8th, 2001, there was 9 one point that she took issue with and it's on 10 the second page where it writes, "However, the 11 weight gain is now gross and in my opinion if 12 that persists, she may need to see a 13 pulmonologist," is it?</p> <p>14 DR. SIDDIQUI: 15 A. Right.</p> <p>16 CHAYTOR, Q.C.: 17 Q. "And cardiologist." And she indicated that 18 she didn't have any issues with her weight. 19 Do you have any recollection on this or what 20 that may be, in fact, referring to?</p> <p>21 DR. SIDDIQUI: 22 A. I've gone through the note and if you go on 23 the first paragraph.</p> <p>24 CHAYTOR, Q.C.: 25 Q. Sure.</p>	<p>Page 128</p> <p>1 DR. SIDDIQUI: 2 A. About why she's short of breath. Because I 3 did not think that it was the weight gain that 4 was explaining shortness of breath.</p> <p>5 CHAYTOR, Q.C.: 6 Q. Okay. So that you're saying that you believe 7 this to be a typographical error and that, in 8 fact, it should say the weight gain is not 9 gross?</p> <p>10 DR. SIDDIQUI: 11 A. That's correct.</p> <p>12 CHAYTOR, Q.C.: 13 Q. And what you're referring to, then, when you 14 go on in the same sentence and say, "And in my 15 opinion if that persists she may need to see a 16 pulmonologist and a cardiologist."</p> <p>17 DR. SIDDIQUI: 18 A. Right.</p> <p>19 CHAYTOR, Q.C.: 20 Q. You're referring to if the shortness of breath 21 -</p> <p>22 DR. SIDDIQUI: 23 A. Shortness of breath and with her history, when 24 she was being treated initially on 25 chemotherapy by Dr. Alidina, her chemotherapy</p>



Page 129	Page 131
<p>1 had to be switched midway because of some</p> <p>2 effect on the heart or there was some reason</p> <p>3 her chemo was switched.</p> <p>4 CHAYTOR, Q.C.:</p> <p>5 Q. Yes, and, Doctor, in terms of that, those</p> <p>6 progress notes, because, of course, and I do</p> <p>7 have a couple that I'll point out to you with</p> <p>8 respect to the next patient, as well, issues</p> <p>9 as to what may have been meant in the text of</p> <p>10 the progress note, it's noted that they're</p> <p>11 dictated but not read. So you would dictate</p> <p>12 those and then what happens to your--what</p> <p>13 happens after that, you dictate it. Does it</p> <p>14 come back to you for you to sign off on before</p> <p>15 it actually ends up on the patient's chart?</p> <p>16 DR. SIDDIQUI:</p> <p>17 A. If it says dictated but not read, that would</p> <p>18 mean that the note would go directly into the</p> <p>19 chart.</p> <p>20 CHAYTOR, Q.C.:</p> <p>21 Q. Okay. And so, in fact, if there's something</p> <p>22 like this which obviously it's one letter, but</p> <p>23 one letter could make a big difference between</p> <p>24 it's not gross as opposed to now gross.</p> <p>25 DR. SIDDIQUI:</p>	<p>1 about, copied to other physicians, including</p> <p>2 family physicians, as well?</p> <p>3 DR. SIDDIQUI:</p> <p>4 A. That's right.</p> <p>5 CHAYTOR, Q.C.:</p> <p>6 Q. Okay. And so when the copy that's sent out to</p> <p>7 the other physicians, for example, would those</p> <p>8 also go out dictated but not read or would you</p> <p>9 have to sign them, sign off on it and ensure</p> <p>10 its accuracy before it's sent elsewhere?</p> <p>11 DR. SIDDIQUI:</p> <p>12 A. If it is signed this way and it's in the</p> <p>13 chart, it will go the same way to them, as</p> <p>14 well.</p> <p>15 CHAYTOR, Q.C.:</p> <p>16 Q. Okay.</p> <p>17 DR. SIDDIQUI:</p> <p>18 A. And I think there's practice of it because we</p> <p>19 also get sometimes get note from other</p> <p>20 physicians, as well, which I think again due</p> <p>21 to some time restraints, we do get sometimes</p> <p>22 note like that. I try my best to sign them,</p> <p>23 but sometimes you just can't.</p> <p>24 CHAYTOR, Q.C.:</p> <p>25 Q. It's a matter of workload and priority?</p>
Page 130	Page 132
<p>1 A. That's correct.</p> <p>2 CHAYTOR, Q.C.:</p> <p>3 Q. And any other circumstances like that, in</p> <p>4 terms of the accuracy then of the note or how</p> <p>5 can you be sure that the person who is typing</p> <p>6 it, you know, has properly understood or</p> <p>7 interpreted what you have said?</p> <p>8 DR. SIDDIQUI:</p> <p>9 A. This does happen a few times. And most of us</p> <p>10 try to sign those, as well, but sometimes it</p> <p>11 is just the time restraints that you have and</p> <p>12 a note is needed somewhere, so they just do</p> <p>13 it, dictated but not read. The first</p> <p>14 assessment summaries, however, I always try to</p> <p>15 sign those just to make sure that the initial</p> <p>16 treatment plan which is made, that is read</p> <p>17 through before it is signed.</p> <p>18 CHAYTOR, Q.C.:</p> <p>19 Q. Okay. And those progress notes are intended,</p> <p>20 I take it, to be able to communicate with</p> <p>21 anyone else who would be treating the patient?</p> <p>22 DR. SIDDIQUI:</p> <p>23 A. That is correct.</p> <p>24 CHAYTOR, Q.C.:</p> <p>25 Q. And they're copied, as we've already spoken</p>	<p>1 DR. SIDDIQUI:</p> <p>2 A. It does happen sometimes, yeah.</p> <p>3 CHAYTOR, Q.C.:</p> <p>4 Q. Okay.</p> <p>5 DR. SIDDIQUI:</p> <p>6 A. And I admit that we should probably read each</p> <p>7 one of them. We try to as much as we could.</p> <p>8 CHAYTOR, Q.C.:</p> <p>9 Q. Okay. And is there any policy or anything in</p> <p>10 place that says that that has to happen, that</p> <p>11 they have to be signed off before they go on</p> <p>12 the patient's chart?</p> <p>13 DR. SIDDIQUI:</p> <p>14 A. Not that I know of, but I think the assessment</p> <p>15 and plan, we all sign that. Some of us try to</p> <p>16 sign all the notes, others may not be able to</p> <p>17 sign all.</p> <p>18 CHAYTOR, Q.C.:</p> <p>19 Q. And do the progress notes come back to you</p> <p>20 before they end up in the patient's chart,</p> <p>21 would you get a hard copy, for example, in</p> <p>22 your mailbox again, is there some--would they</p> <p>23 come back to you?</p> <p>24 DR. SIDDIQUI:</p> <p>25 A. All the first assessment summaries, all the</p>

Page 133

1 consults, they'll all come back and they won't  
 2 go in the chart until they are signed. And  
 3 again, it varies from physician to physician.  
 4 One could ask the medical director not to put  
 5 any note in the chart until it is signed. But  
 6 again, the time restraints sometimes you could  
 7 do that, sometimes you can't.  
 8 CHAYTOR, Q.C.:  
 9 Q. I'm just wondering how would you even know if  
 10 the progress note was done with the high  
 11 volume of patients that you have, unless it  
 12 comes back to you to sign off on, how would  
 13 you even know that it was completed?  
 14 DR. SIDDIQUI:  
 15 A. If I have dictated a note, it's very, very  
 16 likely that it would get done. I would say  
 17 that it would probably happen once or twice in  
 18 two years, three years that the notes are lost  
 19 in cyberspace, when I dictate and they don't  
 20 end up on the other end, but otherwise I can  
 21 dictate them pretty much from anywhere and  
 22 they make it.  
 23 CHAYTOR, Q.C.:  
 24 Q. Okay.  
 25 DR. SIDDIQUI:

Page 134

1 A. Again, the reliance on the system, it has  
 2 worked quite well.  
 3 CHAYTOR, Q.C.:  
 4 Q. Okay, Doctor, and thank you for bringing that  
 5 point to my attention. Doctor, Beverly Green  
 6 is, I understand, still a patient of yours?  
 7 DR. SIDDIQUI:  
 8 A. She is.  
 9 CHAYTOR, Q.C.:  
 10 Q. And she's testified here before the  
 11 Commission. And I'd just like to take you  
 12 through some of her documentation and ask you  
 13 a few questions. If we could have, please, C-  
 14 0001, our very first exhibit way back when?  
 15 And, Doctor, this is a pathology report with  
 16 respect to Mrs. Green. And up here in the  
 17 corner we see S-I-D-D, period. Can you tell  
 18 us what that's in relation to and when would  
 19 that have been written on the -  
 20 DR. SIDDIQUI:  
 21 A. I think it would be the first letters of my  
 22 last name, first four letters, S-I-D-D.  
 23 CHAYTOR, Q.C.:  
 24 Q. Um-hm. And you didn't write that there, I  
 25 take it?

Page 135

1 DR. SIDDIQUI:  
 2 A. That's not my handwriting.  
 3 CHAYTOR, Q.C.:  
 4 Q. Okay. And is this usually that you would see  
 5 a pathology report or some consultation record  
 6 with your initials or your name appearing on  
 7 it?  
 8 DR. SIDDIQUI:  
 9 A. It's not unusual, I've seen that before.  
 10 CHAYTOR, Q.C.:  
 11 Q. Okay. So perhaps that might be somebody's  
 12 practice in terms of indicating this to be  
 13 your copy?  
 14 DR. SIDDIQUI:  
 15 A. That's possible. And I don't know where it  
 16 happened, did it happen in pathology or did it  
 17 happen in our medical records.  
 18 CHAYTOR, Q.C.:  
 19 Q. Okay. And in this pathology report the  
 20 original pathology, and we understand that  
 21 Mrs. Green had ER/PR tests on both her biopsy  
 22 specimen as well as her mastectomy specimen.  
 23 And the first addendum is Dr. Elms and it's  
 24 dated January 29th, 2001. And it's indicated  
 25 that her immunohistochemical stains for ER and

Page 136

1 PR revealed the tissue to be negative for ER  
 2 but positive for progesterone. And we  
 3 understand that to be the biopsy sample?  
 4 DR. SIDDIQUI:  
 5 A. That's right.  
 6 CHAYTOR, Q.C.:  
 7 Q. And there's an addendum too on, I believe it  
 8 to be February 3rd, 2006, that that specimen  
 9 had been retested at Mount Sinai, excuse me,  
 10 and her ER protein is seen as zero percent and  
 11 the PR protein is seen as zero percent.  
 12 Previous report from the Health Science, St.  
 13 John's, was reported as progesterone receptor  
 14 positive. So she's, according to Mount Sinai,  
 15 on her biopsy specimen now negative in both?  
 16 DR. SIDDIQUI:  
 17 A. That is correct.  
 18 CHAYTOR, Q.C.:  
 19 Q. Whereas originally she was PR positive. And  
 20 then if we could have, please, Exhibit 002, C-  
 21 0002? And this is another pathology report  
 22 with respect to Mrs. Green, and we understand  
 23 that this pertains to--the ER/PR report is  
 24 included here on her mastectomy sample or  
 25 specimen, and she was ER negative on her

Page 137

1 mastectomy specimen and her PR status was  
 2 positive, "approximately 85 to 90 percent of  
 3 invasive neoplastic cells show positive  
 4 nuclear staining." So she was strongly PR  
 5 positive. So again, consistent with the test  
 6 at the time on her biopsy, she was ER negative  
 7 and PR positive. And then addendum of the  
 8 retest entered on October 20th, 2005, this  
 9 specimen has been retested at Mount Sinai and  
 10 she's found to be ER 20 percent of cells and  
 11 previous report from the Health Care  
 12 Corporation was reported as negative, and PR  
 13 protein is seen in 70 percent of cells, and it  
 14 indicates the previous report had been 85 to  
 15 90.

16 If we could have then, please, C-0005?  
 17 Doctor, I'm not going to take you through  
 18 every single exhibit with respect to her, but  
 19 by all means, if there is an exhibit that you  
 20 would like to draw my attention to along the  
 21 way that I don't come to, let me know. And in  
 22 this, this is a progress note of April 25th,  
 23 2001, and at that point, and I'll just show  
 24 you here that you have signed this particular  
 25 note, and this is called a consultation note,

Page 138

1 and you said it is your practice that those  
 2 would be signed.

3 DR. SIDDIQUI:  
 4 A. That is the first time when I'm seeing the  
 5 patient. We call that either first assessment  
 6 or plan or consult.

7 CHAYTOR, Q.C.:  
 8 Q. Consult, yes, and the ER was negative you  
 9 note, whereas PR was positive in 85 to 90  
 10 percent of the cells. Margins were negative  
 11 and the closest margin was six millimetres.  
 12 Then if we could have C-0007, please? And  
 13 this then is a progress note of October 4th,  
 14 2001 and it's signed by yourself, and you've  
 15 written, under assessment and plan, that "we  
 16 will continue with the chemotherapy, the last  
 17 cycle. Following that, she will come back to  
 18 see us in about four to six weeks time. She  
 19 had a strongly PR positive breast cancer. She  
 20 is a candidate for Tamoxifen afterwards. We  
 21 will discuss with her and have Tamoxifen  
 22 discussion at that point, and she will return  
 23 to see us back in four to six weeks." So at  
 24 this point in time, October 4th, 2001, you're  
 25 indicating her to be PR positive and a

Page 139

1 candidate for Tamoxifen?  
 2 DR. SIDDIQUI:  
 3 A. Correct.

4 CHAYTOR, Q.C.:  
 5 Q. And if we could have then, please, C-0008?  
 6 And Ms. Green is seen then on November 29th,  
 7 2001 in the medical oncology clinic, and  
 8 there's a note dictated, but not read, by Dr.  
 9 Farrell, and perhaps you could tell us, it  
 10 indicates Dr. G. Farrell, clinical associate.  
 11 What does it mean to be a clinical associate?  
 12 DR. SIDDIQUI:  
 13 A. Dr. Gerard Farrell is a family physician who  
 14 is working with us and he joined Cancer  
 15 Centre, I think that probably needs to be  
 16 checked, though I think about five years prior  
 17 to myself, in '96 or '97, and he works as a  
 18 general physician with the medical oncology  
 19 group.

20 CHAYTOR, Q.C.:  
 21 Q. Okay, and why are family physicians or  
 22 clinical associates used at the Cancer Clinic?  
 23 What role do they fulfil?  
 24 DR. SIDDIQUI:  
 25 A. General physicians are called GPOs now,

Page 140

1 general physician oncology. They have been  
 2 used more and more in most of the Canadian  
 3 centres, and their role is that usually they  
 4 follow up patients. Most of the time, the  
 5 initial plan is made by an oncologist and then  
 6 they follow up the patient and most of those,  
 7 they won't do other general practice. They  
 8 will basically do oncology with the oncology  
 9 group.

10 CHAYTOR, Q.C.:  
 11 Q. Okay. So they do most of the follow up of  
 12 patients. Is there any policy in place as to--  
 13 at the cancer--or in the Cancer Care Program  
 14 as to when it is appropriate for a clinical  
 15 associate to see a patient, as opposed to when  
 16 it's appropriate for the patient to be seen by  
 17 the oncologist?  
 18 DR. SIDDIQUI:  
 19 A. The first time when a treatment decision is  
 20 made, the patient has to be seen by a medical  
 21 or radiation oncologist, and once a treatment  
 22 plan has been made or if a patient is not on  
 23 active treatment and they are coming in for  
 24 follow up, they are seen by them. They do,  
 25 however, also see patients on active treatment

Page 141

1 as well, and if there is some treatment change  
 2 needed, they talk to the particular  
 3 oncologist, whoever that patient is. They  
 4 talk to them about that as well.  
 5 CHAYTOR, Q.C.:  
 6 Q. So if a patient is already being seen and  
 7 going through chemotherapy, but there's to be  
 8 any change in the patient's treatment or any  
 9 adjuvant therapy beyond--or hormonal therapy  
 10 in this case, offered, would that be for the  
 11 medical oncologist to discuss with the patient  
 12 or is the clinical associate permitted the  
 13 latitude to have that discussion with the  
 14 patient?  
 15 DR. SIDDIQUI:  
 16 A. Most of the times, the medical oncologist  
 17 would do that and if the clinical associate is  
 18 comfortable with that, they can do that as  
 19 well.  
 20 CHAYTOR, Q.C.:  
 21 Q. So it would be left to the judgement of the  
 22 clinical associate?  
 23 DR. SIDDIQUI:  
 24 A. Most of the time, as I said, a medical  
 25 oncologist would try to do that. If it

Page 142

1 happened some day that the patient is booked  
 2 and we are not able to come for that day for  
 3 some reason, then they could see on that day  
 4 as well.  
 5 CHAYTOR, Q.C.:  
 6 Q. Okay, and the idea that the clinical  
 7 associate's role is one of follow up, patients  
 8 once they're in their follow up phase of  
 9 treatment, and that any first time--first time  
 10 any treatment plan is laid out for the  
 11 patient, that that's to be done by the  
 12 oncologist. Is that in writing? Is there a  
 13 policy stipulating that?  
 14 DR. SIDDIQUI:  
 15 A. I'm not sure about that, if it is in writing  
 16 or not.  
 17 CHAYTOR, Q.C.:  
 18 Q. You've never seen it, if it is?  
 19 DR. SIDDIQUI:  
 20 A. I'm not sure about that. I don't remember  
 21 seeing one though.  
 22 CHAYTOR, Q.C.:  
 23 Q. So in this case, Mrs. Green was seen and it's  
 24 indicates she's ER negative PR positive. "We  
 25 offered the benefit of Tamoxifen. We outlined

Page 143

1 to her the side effect profile, including DVT,  
 2 hot flashes and endometrial cancer.  
 3 Interestingly, there is two people in her  
 4 family who had blood clots. I also outlined  
 5 to her that benefits and the fact that she is  
 6 not ER positive, therefore the benefit case is  
 7 not as strong as it would be if she had been.  
 8 She is on," and I think that should be "two  
 9 minds as to whether she's going to take the  
 10 Tamoxifen. However, after some discussion,  
 11 she took her prescription for Tamoxifen and  
 12 she will let us know when she returns whether  
 13 she took it or not. And she's due to come back  
 14 in three months time." Now on this occasion,  
 15 did you see her together with Dr. Farrell or  
 16 was this Dr. Farrell seeing her on his own?  
 17 DR. SIDDIQUI:  
 18 A. I don't see with him.  
 19 CHAYTOR, Q.C.:  
 20 Q. You don't see, okay.  
 21 DR. SIDDIQUI:  
 22 A. With him.  
 23 CHAYTOR, Q.C.:  
 24 Q. Okay. So this discussion about Tamoxifen and  
 25 the first time she's written a prescription

Page 144

1 for Tamoxifen and any discussion around the  
 2 benefits or the adverse effects of Tamoxifen,  
 3 that discussion was had with her by Dr.  
 4 Farrell?  
 5 DR. SIDDIQUI:  
 6 A. It looks like, yeah.  
 7 CHAYTOR, Q.C.:  
 8 Q. Okay, and that would not be the usual  
 9 practice? Usually that would have been you  
 10 would have had that discussion with her?  
 11 DR. SIDDIQUI:  
 12 A. Yeah, but if he's comfortable, because I think  
 13 he has done on other patients as well, there  
 14 are other patients as well. He is in the  
 15 Cancer Clinic for about 11-12 years now, and  
 16 oncology is the only thing that he does.  
 17 CHAYTOR, Q.C.:  
 18 Q. Okay, and this would be back now seven years  
 19 ago, 2001. So he would have been there about  
 20 -  
 21 DR. SIDDIQUI:  
 22 A. I would think at least four or five years. My  
 23 guess is that he's there since 1996 or '97.  
 24 CHAYTOR, Q.C.:  
 25 Q. Okay, and the idea of concern regarding blood

Page 145	Page 147
<p>1 clots in her family and Dr. Farrell 2 stipulating that she's not ER positive, 3 therefore the benefit case is not as strong as 4 it would be had she been, do you agree that 5 those were risks that should be pointed out to 6 Mrs. Green? 7 DR. SIDDIQUI: 8 A. The side effect risks? 9 CHAYTOR, Q.C.: 10 Q. Well, in terms of the family having had blood 11 clots, do you know whether or not Mrs. Green 12 herself ever had any issue with blood clots? 13 DR. SIDDIQUI: 14 A. She never had a blood clot on herself. What 15 is said over here, this is a statement that he 16 has made, and I think the important thing 17 would be also the discussion what he had prior 18 to that. When I saw her the following time, I 19 had my own discussion with her as well. 20 CHAYTOR, Q.C.: 21 Q. Yes, and we'll come to that. So in terms of 22 the idea then of it not being of the same 23 benefit, the benefit case not being as strong, 24 is the wording he uses, because she's ER 25 negative, would you, in your discussion, have</p>	<p>1 answered with full depth in the literature yet 2 or not. There is some data available for 3 metastatic and there is some data available 4 that is coming in in the last few years. From 5 the metastatic setting, ER positivity PR 6 positivity is better than either/or. But I 7 would have my own discussion, which I did with 8 her. I'll bring up the side effects as well. 9 Those are the side effects which have been 10 identified in multiple studies, and they come 11 in with the drug insert, and she would be 12 given a literature about the drug as well that 13 she could go through on her own. 14 CHAYTOR, Q.C.: 15 Q. Okay, and there's no--if a patient--there's 16 mention here, of course, of the issue about 17 familial issue of blood clot. If there is a 18 concern for blood clotting, is there an 19 alternative to Tamoxifen which could be 20 offered to the patient? 21 DR. SIDDIQUI: 22 A. This is 2001, November 2001, and then early 23 2002. At that time, Tamoxifen was the 24 standard of care. ATAC is one of the bigger 25 trials that was presented in December of 2001</p>
<p>1 pointed out that out or emphasized that to 2 Mrs. Green? 3 DR. SIDDIQUI: 4 A. It's difficult to say that I fully agree with 5 that, that I would fully agree with these 6 words, but as I said, that it's more important 7 to see whole discussion held prior to that. I 8 had another nine patients very similar to 9 that, when I went--I was given a list of the 10 patient to look at who were ER negative and PR 11 positive and I had a very similar discussion 12 with them. So I can tell you what kind of 13 discussion I would have with the other 14 patients who accepted the treatment in the 15 same scenario who were ER negative and PR 16 positive, and I would have the same discussion 17 with her. What I tell them is that for all 18 clinical and practical purposes, we take 19 whichever hormone receptor is positive, we 20 take that one. "You are very young." I think 21 she was only 39 at that time. "You have node 22 positive cancer and you have benefits to gain 23 from it." Now this question whether ER 24 negativity and PR positivity, the case is not 25 as strong, I'm not sure if this question is</p>	<p>1 and ASCO did a technology assessment guideline 2 in 2002, May, and that was published in June 3 of 2002, and at that time, they did not 4 consider any aromatase inhibitors like 5 Arimidex or Letrozole as an alternative to 6 that. So at that time, Tamoxifen was the only 7 standard of care. 8 CHAYTOR, Q.C.: 9 Q. And so there was no alternative in November of 10 2001 for patients? 11 DR. SIDDIQUI: 12 A. No. 13 CHAYTOR, Q.C.: 14 Q. Who had risk of any kind of DVT. 15 DR. SIDDIQUI: 16 A. But this patient, she herself never had DVT. 17 CHAYTOR, Q.C.: 18 Q. Right. 19 DR. SIDDIQUI: 20 A. And that's a point that I wanted to bring to 21 her, that one of her uncles had DVT, but I 22 think that uncle also had cancer at the same 23 time. When somebody has active cancer that 24 increases the risk of having a blood clot. So 25 for herself and the other one, I think, was</p>

Page 149

1 her grandfather who was 80 years old when he  
 2 had DVT, or the bottom line was that herself,  
 3 she never had any such problem.  
 4 CHAYTOR, Q.C.:  
 5 Q. And that was the important point for you. So  
 6 while Dr. Farrell made note of it in, this is  
 7 somewhat of a brief progress note and says  
 8 "interestingly, there's two people in her  
 9 family who had blood clots," that would not  
 10 have been of such import to you, and wasn't in  
 11 -  
 12 DR. SIDDIQUI:  
 13 A. It would have been an important thing, and I  
 14 would bring it up to her that there is some  
 15 risk. There is some risk of DVT. In the  
 16 studies which they did in which they first did  
 17 Tamoxifen for two years, the risk was higher.  
 18 I would say that "there is some risk for DVT  
 19 and with your history there is, but you,  
 20 yourself, never had a blood clot. You never  
 21 had a blood clot when you had active cancer,  
 22 which was not removed. So in your case, there  
 23 is some risk of DVT, there is some risk of  
 24 endometrial cancer, but they're small risks,  
 25 and the benefit is much more, and you should

Page 150

1 give it a try."  
 2 CHAYTOR, Q.C.:  
 3 Q. Okay, and so then perhaps -  
 4 DR. SIDDIQUI:  
 5 A. And that's what I said to my eight or nine  
 6 other patients and they all took Tamoxifen.  
 7 CHAYTOR, Q.C.:  
 8 Q. And do you know whether or not those other  
 9 patients had been seen first by Dr. Farrell?  
 10 DR. SIDDIQUI:  
 11 A. I don't know that yet.  
 12 CHAYTOR, Q.C.:  
 13 Q. And could we have then, please, C-0009? And  
 14 this is March 7th, 2002, and I believe Doctor,  
 15 this is the progress note. You've signed this  
 16 progress note, and this is where you have your  
 17 discussion with Mrs. Green. "Today she comes  
 18 in for follow up. On the last visit, she was  
 19 seen by Dr. Farrell, which was November 29th,  
 20 and she had a discussion about Tamoxifen at  
 21 that point. However, she hasn't decided to  
 22 start that." And then you continue on, under  
 23 your assessment and plan, you write "she had a  
 24 family history of blood clots as one of her  
 25 grandparents had a blood clot at the age of

Page 151

1 80, and one of his uncles had one at the age  
 2 of more than 50. However, this uncle also had  
 3 breast cancer at the same time. I have told  
 4 her that although Tamoxifen is associated with  
 5 some side effects, which may include a DVT, as  
 6 well as endometrial carcinoma, but usually the  
 7 benefits are much," I guess that should be  
 8 "are as much compared -  
 9 DR. SIDDIQUI:  
 10 A. Much means more.  
 11 CHAYTOR, Q.C.:  
 12 Q. "Are much as compared to the risk and she  
 13 should probably give it a try. She hasn't yet  
 14 decided about it. However, she already has a  
 15 prescription and decides she will go ahead  
 16 with it. She have also told her that she will  
 17 need regular PAP smears when she's on that,"  
 18 meaning on the Tamoxifen, I take it. Okay.  
 19 So Doctor, this is your discussion then  
 20 following up on the discussion she had had  
 21 back in November with Dr. Farrell, and it's  
 22 written here that you've indicated to her that  
 23 you think she should give it a try?  
 24 DR. SIDDIQUI:  
 25 A. Yeah.

Page 152

1 CHAYTOR, Q.C.:  
 2 Q. Okay, and that's consistent with what you  
 3 recall telling her?  
 4 DR. SIDDIQUI:  
 5 A. Yes. sure.  
 6 CHAYTOR, Q.C.:  
 7 Q. And do you recall, did you have any discussion  
 8 with her about the fact that she was ER  
 9 negative?  
 10 DR. SIDDIQUI:  
 11 A. I don't recall any particular discussion.  
 12 Again, most of the things that I would say, I  
 13 would basically base them on the notes and  
 14 what is mentioned in the notes, and what I  
 15 tell to my patients in this scenario usually  
 16 is that, as I said earlier, we take one or the  
 17 second as being positive, and there are  
 18 benefits to be gained if either one of them is  
 19 positive, and that's what I tell all of them.  
 20 CHAYTOR, Q.C.:  
 21 Q. Okay, and so the notion that Dr. Farrell had  
 22 mentioned that, the fact that she's not ER  
 23 positive therefore the benefit not being as  
 24 strong, you don't know whether or not you  
 25 discussed that particular issue with Mrs.

Page 153

1 Green?

2 DR. SIDDIQUI:

3 A. If the patient wants to talk about that, I

4 will definitely do that, and I tell them, I

5 start usually with the positive receptor, that

6 this receptor is strongly positive, and you

7 would benefit from the treatment.

8 CHAYTOR, Q.C.:

9 Q. Okay, and then if we could have C-0010,

10 please? And this is then a couple of months

11 later, and she's decided at this point that

12 she's not going to--"last time she was offered

13 Tamoxifen. Today, she has decided she's not

14 going to take it." So do you recall was there

15 any further discussion with her then on May

16 16th?

17 DR. SIDDIQUI:

18 A. It is what is in the note.

19 CHAYTOR, Q.C.:

20 Q. Okay.

21 DR. SIDDIQUI:

22 A. She refused Tamoxifen, May 16th.

23 CHAYTOR, Q.C.:

24 Q. Okay, and if we could have C-0012, please?

25 And you recall the last note was May 16th,

Page 154

1 2002. So I've gone ahead here. We're now up

2 to December 22nd, 2005, and she's seen in

3 clinic on that date by yourself, and it says

4 here that she's a--gives the description and

5 it says "ER negative, PR positive, treated

6 with six cycles of chemotherapy. Her last

7 cycle had started in October 2001. The

8 patient refused Tamoxifen afterward. She has

9 recently been worked up for some liver

10 lesions. The last CAT scan of the abdomen and

11 pelvis done on the 11th of May 2005 followed

12 up on the three lesions mentioned previously

13 on the MRI, CAT scan and ultrasounds." And at

14 this point in time, December 22nd, 2005, of

15 course, Doctor, the retesting is well underway

16 and you were aware of that, of course, in

17 December 2005. It's indicating that "the

18 patient refused Tamoxifen afterward," I take

19 it that's referring back to when she refused

20 it back in May of 2002?

21 DR. SIDDIQUI:

22 A. That's correct.

23 CHAYTOR, Q.C.:

24 Q. Yes, okay, and this clearly says that she was

25 ER negative. Do you recall, at this point in

Page 155

1 time, was this--keeping in mind what we've

2 discussed earlier today about pulling

3 patient's charts or noticing patient's charts

4 to see whether or not they were in the

5 retesting process, do you know whether or not

6 you pulled Ms. Green's chart to see whether or

7 not she was being retested?

8 DR. SIDDIQUI:

9 A. Again, as I also said that for most of the

10 times, I would rely on the report is coming to

11 me, and as the two early reports that you

12 showed me, on the second report, which is from

13 March, there is a signature on that and I have

14 signed that report. So that report obviously

15 came to me, and I signed that in March of 2006

16 and I dictated a note on the chart, which I

17 also said that I usually do. The other report

18 that was shown, which was the first one, those

19 are not my signature, so probably that report

20 did not come to me, and I would not have known

21 about that report.

22 CHAYTOR, Q.C.:

23 Q. And I'm going to get to that and whether or

24 not those reports came to your attention and

25 why you think they may not have, or one of

Page 156

1 them may not have. I'm just wondering, when

2 she came in to see you in December of 2005,

3 did you look through her chart at that point

4 to see what was there and whether or not she

5 had already been retested?

6 DR. SIDDIQUI:

7 A. As I said earlier, again as well, that as

8 patients stay with us, their charts get

9 thicker and thicker, and you cannot look

10 through the whole chart every single time. If

11 you know that there is something specific that

12 you are looking for, you could probably look

13 at that. But again, as I said earlier as

14 well, that I was relying on the reports will

15 come to me and when they come to me, then we

16 would know about those.

17 CHAYTOR, Q.C.:

18 Q. And Doctor, when something is filed in a

19 chart, so for example, if her pathology report

20 with the addendum had ended up in her chart,

21 is there a certain section in the chart you

22 would find the pathology report, where you

23 could just flick to?

24 DR. SIDDIQUI:

25 A. There's a section there, yeah.

Page 157

1 CHAYTOR, Q.C.:

2 Q. Yes, and you could flip fairly easily to that

3 section of the chart?

4 DR. SIDDIQUI:

5 A. It's possible, but again, as I said, that

6 until something is flagged that needs to be

7 looked at by you or until something comes to

8 your mail box, you will not know that.

9 There's a lot of blood work that goes to the

10 chart as well and so until we are told about

11 something that you have to look for that, you

12 may not find that.

13 CHAYTOR, Q.C.:

14 Q. So what you're telling us then is that you

15 don't recall if you would have checked, but

16 it's unlikely, because you would have waited

17 to see if something was flagged to your

18 attention. So on December 22nd, 2005, there's

19 no mention in your progress note that you

20 spoke to her about the retesting process?

21 DR. SIDDIQUI:

22 A. It doesn't look like. I was not aware of

23 that.

24 CHAYTOR, Q.C.:

25 Q. And you have no recollection of speaking to

Page 158

1 her about the retesting process underway?

2 DR. SIDDIQUI:

3 A. If it doesn't say there, I probably would not

4 have.

5 CHAYTOR, Q.C.:

6 Q. And Doctor, she's not due to come back then

7 until--you're not going to see her for a

8 year's time, and if there's to be a change in

9 her treatment, then you would be the person,

10 the medical oncologist who would do that, and

11 she's not to be seen by Dr. Greenland until

12 another six months time. So while she was in

13 on December 2005, why didn't you think at that

14 stage to look to see if her tests had been

15 repeated?

16 DR. SIDDIQUI:

17 A. Again, as I had said earlier as well, that

18 most of the time, if they are done, they'll

19 come to me and the tests were--some of those

20 were done. Some were not done. Majority, if

21 it was done, it would come to me, and I was

22 relying more on those. As the other one that

23 is in there, the first one from her biopsy

24 specimen, from March, that did come to me. So

25 I acknowledged that I knew about that. I

Page 159

1 signed that, and I put a note in there.

2 CHAYTOR, Q.C.:

3 Q. Okay, and if we could go back to C-0002,

4 please? And this is December 22nd, 2005, and

5 the addendum is entered on her chart, October

6 20th, 2005, the addendum which indicates that

7 she is found to be now both ER and PR positive

8 by Mount Sinai on the mastectomy specimen. So

9 it's two months before you see her in

10 December, and Doctor, are you saying that the

11 addendum must not have been brought to your

12 attention by December 22nd?

13 DR. SIDDIQUI:

14 A. Yes.

15 CHAYTOR, Q.C.:

16 Q. Either through it being placed on her chart or

17 through it being in your mail box?

18 DR. SIDDIQUI:

19 A. The way to do that would be that if there is

20 an addendum, that usually comes to my mail

21 box. That would be the way to inform me,

22 because in the chart, there are other things

23 coming in. There are things from social work.

24 There are things from dietary. They are

25 putting those things in the chart as well. If

Page 160

1 there is something to my attention that will

2 come to my mail box, and I'll sign that, and

3 then that will go to her chart. This is chart

4 keeping practice.

5 CHAYTOR, Q.C.:

6 Q. Okay. So what you're saying is that it must

7 not have been placed in your mail box, but

8 whether or not it was placed on her chart,

9 you're not able to say?

10 DR. SIDDIQUI:

11 A. I can't say that, whether it was in there or

12 not.

13 CHAYTOR, Q.C.:

14 Q. And if it were there, then on December 22nd,

15 when she was in to see you, you didn't check?

16 You didn't think to go look and see that

17 whether or not it's there under the pathology

18 section?

19 DR. SIDDIQUI:

20 A. Because most of the labs were coming the way

21 that I told you that they come to my mail box

22 first, and that's the way to get my attention

23 or whomever physician they are looking for.

24 CHAYTOR, Q.C.:

25 Q. Okay. If we could have then, please, C-0013?



Page 161	Page 163
<p>1 And this is the progress note that you've</p> <p>2 referred to, March 26th, 2006.</p> <p>3 DR. SIDDIQUI:</p> <p>4 A. That's correct.</p> <p>5 CHAYTOR, Q.C.:</p> <p>6 Q. And it's written, so then it's about three</p> <p>7 months after or a little bit over three months</p> <p>8 since you've seen her, and you have signed it.</p> <p>9 "The ER/PR receptor restraining done at Mount</p> <p>10 Sinai Hospital on February 3rd, 2006, entered</p> <p>11 in her chart, showed that the ER and PR both</p> <p>12 are negative, being zero percent. She was</p> <p>13 previously described to be ER receptor</p> <p>14 negative, but PR positive. However, she has</p> <p>15 refused Tamoxifen, so there is no change in</p> <p>16 treatment for Beverly." Doctor, was Ms. Green</p> <p>17 seen on this date?</p> <p>18 DR. SIDDIQUI:</p> <p>19 A. No.</p> <p>20 CHAYTOR, Q.C.:</p> <p>21 Q. So this is just a chart note that you made?</p> <p>22 DR. SIDDIQUI:</p> <p>23 A. Yeah.</p> <p>24 CHAYTOR, Q.C.:</p> <p>25 Q. Okay. Did you discuss this with Ms. Green?</p>	<p>1 Towards the end of 2002, radiation oncologist</p> <p>2 suggested that we could alternate on her</p> <p>3 because we are doing similar thing. The</p> <p>4 recommendations or the guidelines were</p> <p>5 followed, but also to be seen once every three</p> <p>6 months for the first two to three years, and</p> <p>7 then once every six years, and a lot of</p> <p>8 patients like it that way, that they have to</p> <p>9 come in once, since both of us are doing the</p> <p>10 same thing. We do examination and go through</p> <p>11 blood work and ask what has happened since the</p> <p>12 last time. So finally, towards the end of, I</p> <p>13 believe, 2003, I started doing that, that we</p> <p>14 started alternating, and that's why I wrote in</p> <p>15 there that I'll see her in a year down the</p> <p>16 road from 2004, December onwards, and she was</p> <p>17 being followed by radiation oncologist every</p> <p>18 six months--every year, so she was seen by one</p> <p>19 of us every six months, and each one of us</p> <p>20 will go through when we see her. We'll go</p> <p>21 through whatever has happened by then or</p> <p>22 whatever has been--we are made aware of.</p> <p>23 CHAYTOR, Q.C.:</p> <p>24 Q. Okay. So Doctor, the fact that she had been</p> <p>25 retested, that wasn't something that, at that</p>
<p>Page 162</p> <p>1 Did you phone her or have any discussion with</p> <p>2 her that there would be no change in</p> <p>3 treatment?</p> <p>4 DR. SIDDIQUI:</p> <p>5 A. No, and as I said that what our general</p> <p>6 practice at that time was, that if there was</p> <p>7 no change, we'll see if she's booked to see</p> <p>8 one of us and she was booked to see radiation</p> <p>9 oncologist a short while down the road, so</p> <p>10 that's why I did not book her to see me at</p> <p>11 that time. Can I take a step back and explain</p> <p>12 a couple of things?</p> <p>13 CHAYTOR, Q.C.:</p> <p>14 Q. Sure.</p> <p>15 DR. SIDDIQUI:</p> <p>16 A. As I said earlier that there are some patients</p> <p>17 that alternate between radiation and medical</p> <p>18 oncologists. Ms. Green, I started seeing her</p> <p>19 in April of 2001, and she was also seen by</p> <p>20 radiation oncology at that time. She received</p> <p>21 chemotherapy, completing in October of 2001,</p> <p>22 and after that, we have gone through those two</p> <p>23 notes about Tamoxifen. I saw her three times,</p> <p>24 I believe, in 2001 and three times in--sorry,</p> <p>25 three times in 2002 and three times in 2003.</p>	<p>Page 164</p> <p>1 point in time, you thought you needed to pick</p> <p>2 up the phone and phone and tell her that there</p> <p>3 had been a retest, but there's no change?</p> <p>4 DR. SIDDIQUI:</p> <p>5 A. There was no change in treatment, so as I said</p> <p>6 earlier, for those patients, it was most of us</p> <p>7 were doing, if the patient is booked to see</p> <p>8 us, we'll bring that back and talk to them at</p> <p>9 that time.</p> <p>10 CHAYTOR, Q.C.:</p> <p>11 Q. And did you know whether or not there was any</p> <p>12 other process in place to notify patients who</p> <p>13 were having no change in treatment? Was</p> <p>14 somebody else responsible then for letting</p> <p>15 them know that?</p> <p>16 DR. SIDDIQUI:</p> <p>17 A. I don't know about that.</p> <p>18 CHAYTOR, Q.C.:</p> <p>19 Q. Okay. So you would have thought if she's</p> <p>20 going to be told, that it would be told by</p> <p>21 you?</p> <p>22 DR. SIDDIQUI:</p> <p>23 A. Whoever she's seeing next time.</p> <p>24 CHAYTOR, Q.C.:</p> <p>25 Q. Or Dr. Greenland?</p>

Page 165	Page 167
<p>1 DR. SIDDIQUI: 2 A. Right. 3 CHAYTOR, Q.C.: 4 Q. Yes, okay, and the fact that--and if, did you 5 discuss then with Dr. Greenland and ask him 6 whether or not he would be relaying the news 7 to her, talking to her about this? 8 DR. SIDDIQUI: 9 A. I don't remember discussing that with them. 10 There are several patients that we alternate 11 among ourselves, and there is not just this 12 one. There are several patients for other 13 specialties that alternate, other sites that 14 we alternate among ourselves. 15 CHAYTOR, Q.C.: 16 Q. Now Doctor, of course, this is the retest on 17 the biopsy, because as we've seen, the retest 18 on the mastectomy specimen had been done quite 19 a few months before that, back in October 20 2005. So this is the retest on the biopsy. 21 How did this come to your attention? It's 22 written here that "the restraining done at 23 Mount Sinai on February 3rd, 2006, entered in 24 her chart" showed it to be both negative. So 25 it's confirming the--well, not confirming,</p>	<p>1 in her chart because the addendum is on the 2 piece of paper that you have, so it's entered 3 in her chart? That's what you would mean by 4 that, as opposed to physically the piece of 5 paper is on the chart? 6 DR. SIDDIQUI: 7 A. That's correct. 8 CHAYTOR, Q.C.: 9 Q. Okay. 10 DR. SIDDIQUI: 11 A. Addendum separately from chart. 12 CHAYTOR, Q.C.: 13 Q. Okay. 14 DR. SIDDIQUI: 15 A. Because that's how they come. They come in 16 the form of one or two pages or whatever is 17 the length of that particular report, that's 18 how they come and go to the mail box. 19 CHAYTOR, Q.C.: 20 Q. And the fact that she had been ER negative 21 before and PR positive and her PR status has 22 changed, that wasn't something that you 23 thought you needed to communicate with her? 24 DR. SIDDIQUI: 25 A. If she was say on treatment before and then</p>
<p>Page 166</p> <p>1 it's saying that she's both ER and PR 2 negative, and - 3 DR. SIDDIQUI: 4 A. It must have come - 5 CHAYTOR, Q.C.: 6 Q. - previously she'd been ER or PR positive. 7 DR. SIDDIQUI: 8 A. Right. It must have come to my mail box. 9 CHAYTOR, Q.C.: 10 Q. Okay, and so you think it must have come to 11 your mail box, and you've written though that 12 it was entered in her chart. 13 DR. SIDDIQUI: 14 A. I think that's what I meant by that, but it 15 has to come through my mail box. 16 CHAYTOR, Q.C.: 17 Q. Okay. So do you recall, did you check the 18 chart on this day? 19 DR. SIDDIQUI: 20 A. I don't recall that. If it came to my mail 21 box, there's a pile of papers that will come 22 in there. I take those and I'll go through 23 those. 24 CHAYTOR, Q.C.: 25 Q. So that would mean that you've seen it entered</p>	<p>Page 168</p> <p>1 this turns out to be all negative, negative, 2 that would have meant a change in treatment. 3 I would have spoken with her. There was no 4 change in treatment involved and this is March 5 and she was booked to see radiation oncologist 6 in May, I believe. 7 CHAYTOR, Q.C.: 8 Q. Okay, and you don't know whether or not you 9 had the chart in front of you when you 10 dictated this progress note? 11 DR. SIDDIQUI: 12 A. They come as a single or whatever is the 13 length of the report and they come like that 14 and they usually go to your mail box. 15 CHAYTOR, Q.C.: 16 Q. And when the progress report is given back to 17 you, is it given back to you with the chart? 18 You've actually signed this one. 19 DR. SIDDIQUI: 20 A. For signature? No, it again comes to another 21 area. It's in the same room, but there's an 22 area where the notes that you have dictated, 23 they come to you for signing. 24 CHAYTOR, Q.C.: 25 Q. Okay.</p>

Page 169	Page 171
<p>1 DR. SIDDIQUI:  2 A. They're not in the chart when they come to  3 you.  4 CHAYTOR, Q.C.:  5 Q. So it's not on the chart?  6 DR. SIDDIQUI:  7 A. No.  8 CHAYTOR, Q.C.:  9 Q. So you could have done this on March 26th,  10 2006 without ever having seen her chart?  11 DR. SIDDIQUI:  12 A. Yes.  13 CHAYTOR, Q.C.:  14 Q. Okay. If we could have C-0014, please? This  15 is the tumour board letter with respect to Ms.  16 Green, dated May 8th, 2006, and this refers to  17 her original status. "In the original report  18 of the estrogen and progesterone receptors  19 from the mastectomy, February 2001, showed  20 zero for estrogen and 85 to 95 for  21 progesterone. A repeat from Mount Sinai has  22 shown the tumour to be estrogen and  23 progesterone receptor positive at 20 and 70  24 percent respectively." So that's the repeat  25 that we know, from looking at her chart, was</p>	<p>1 has a stamp on it, and that is June 14th,  2 2006.  3 CHAYTOR, Q.C.:  4 Q. So it's actually another month after it's  5 written before it arrived on the chart or to  6 your attention?  7 DR. SIDDIQUI:  8 A. So June 14th would be the earliest time that  9 it came to our medical record.  10 CHAYTOR, Q.C.:  11 Q. Okay, and you're right, there is another  12 version of this.  13 DR. SIDDIQUI:  14 A. The stamp, the stamp means usually the day  15 that it comes to the medical record and then  16 they bring it to our attention afterwards.  17 CHAYTOR, Q.C.:  18 Q. Okay. So the stamp of June 14th, 2006 on the  19 letter indicates that the earliest it could  20 have been brought to your attention was June  21 14th, 2006?  22 DR. SIDDIQUI:  23 A. That's correct.  24 CHAYTOR, Q.C.:  25 Q. Okay, and do you know why it's June 2006</p>
Page 170	Page 172
<p>1 done in October 2005 and entered on her chart  2 in October 2005. "Review of Ms. Green's  3 medical chart revealed that her diagnosis was  4 based on the results of the mastectomy  5 specimen and she was offered treatment with  6 Tamoxifen, which she refused. Therefore the  7 panel does not have any further treatment  8 recommendations at this time. We would ask  9 that you communicate this information to your  10 patient as soon as possible" and it's copied  11 to Dr. Woodland and Dr. Greenland.  12 The first paragraph refers to "the  13 original report on the needle core biopsy in  14 January 2001 showing negative staining for  15 estrogen and positive for PR, and a repeat  16 report from Mount Sinai showing both ER and PR  17 to be negative." Doctor, do you know why--  18 this letter is May 8th, 2006. It's about  19 seven months after the first retest result was  20 entered on her chart. Do you know why the  21 delay in having this letter come to you?  22 DR. SIDDIQUI:  23 A. This letter was actually received on June  24 14th. This one that you have, it doesn't have  25 the stamp on that. The one in the chart, that</p>	<p>1 before the issue of her first retesting, which  2 showed her ER status in fact to have changed,  3 that that was brought to your attention, that  4 it's some eight months afterwards?  5 DR. SIDDIQUI:  6 A. Why it would take that long, I don't know.  7 CHAYTOR, Q.C.:  8 Q. Have you made any inquiries of anyone as to  9 why that was the case?  10 DR. SIDDIQUI:  11 A. No, I haven't.  12 CHAYTOR, Q.C.:  13 Q. Doctor, the idea of the panel that because she  14 was offered treatment with Tamoxifen which she  15 refused at the time that she was ER negative  16 and now she's ER positive, the idea that she  17 would--the panel not having any further  18 recommendation for treatment, did you agree  19 with that assessment?  20 DR. SIDDIQUI:  21 A. I think it was a reasonable assessment.  22 CHAYTOR, Q.C.:  23 Q. And in terms of knowing in the chart Dr.  24 Farrell's note which said about her being ER  25 negative and the benefit therefore not being</p>

Page 173

1 as strong a case for her, the idea of pointing  
 2 out to her that "well now your ER status has  
 3 changed to positive, does that affect your  
 4 thinking or your decision in terms of taking  
 5 Tamoxifen?" Do you think that that would be  
 6 the kind of conversation that you should have  
 7 with her before the determination is made as  
 8 to whether or not she should be offered  
 9 Tamoxifen?  
 10 DR. SIDDIQUI:  
 11 A. I think what--I don't know what exactly was in  
 12 her mind that she did not want to take  
 13 Tamoxifen for, what exactly was the thing in  
 14 her mind, because when I saw her after this  
 15 and I offered her Tamoxifen, she had refused  
 16 at that time again, and it was in November of  
 17 the same year. So whatever was in her mind  
 18 about Tamoxifen, that probably made her do  
 19 that, I don't know what exactly that was. She  
 20 had mentioned that she had her own research  
 21 done. In my note, and when I last saw her  
 22 about Tamoxifen in 2001, I had suggested to  
 23 her that "Tamoxifen is beneficial for you."  
 24 CHAYTOR, Q.C.:  
 25 Q. Okay, and I'll bring you to the November

Page 174

1 meeting with her and your note on that, and  
 2 Doctor, if she did have concerns about  
 3 Tamoxifen and perhaps, I think she's mentioned  
 4 the issue of blood clotting was an issue in  
 5 her mind, what about a discussion of another  
 6 form of treatment for her? By 2006, there was  
 7 other things available.  
 8 DR. SIDDIQUI:  
 9 A. Um-hm, and that's right, and when I saw her in  
 10 December--in November, I had spoken with her  
 11 basically about Tamoxifen. I could have and I  
 12 would have probably done that, talked about  
 13 something else. What I remember from that  
 14 meeting is--I don't remember a whole lot of  
 15 that, because I have seen her so many times in  
 16 between, very similar situations. Second  
 17 time, when she refused, what I remember is a  
 18 bit of a shock kind of feeling, why would she  
 19 refuse that. I wanted to talk to her again.  
 20 I did some scans on her because she was losing  
 21 weight at that time, and I would have spoken  
 22 with her.  
 23 CHAYTOR, Q.C.:  
 24 Q. Okay, and if we could look then -  
 25 THE COMMISSIONER:

Page 175

1 Q. I'm sorry, when you're saying "second time, I  
 2 had that discussion," you're referring to  
 3 which year?  
 4 DR. SIDDIQUI:  
 5 A. November 2006.  
 6 THE COMMISSIONER:  
 7 Q. So you're saying when you saw her in November  
 8 2006, you once again had the discussion about  
 9 the use of Tamoxifen or another -  
 10 DR. SIDDIQUI:  
 11 A. Tamoxifen.  
 12 CHAYTOR, Q.C.:  
 13 Q. And the first discussion having been back at  
 14 the time of her original diagnosis?  
 15 DR. SIDDIQUI:  
 16 A. In 2002, when I spoke with her.  
 17 CHAYTOR, Q.C.:  
 18 Q. The first time you discussed with her, from  
 19 your recollection and from your chart note,  
 20 the first discussion you had with Ms. Green  
 21 after the retesting process occurred in  
 22 November, I believe it's November 17th 2006?  
 23 DR. SIDDIQUI:  
 24 A. That's correct.  
 25 CHAYTOR, Q.C.:

Page 176

1 Q. Okay. If we could look, please, at C-0015?  
 2 THE COMMISSIONER:  
 3 Q. Just to be sure I'm straight, can we go back  
 4 to that last exhibit for just a second? So  
 5 while you received this letter sometime in  
 6 June 2006, when you saw her again in November  
 7 2006, though the letter says no change is  
 8 recommended, you recall raising with her again  
 9 the use of--the possible use of Tamoxifen?  
 10 DR. SIDDIQUI:  
 11 A. That's right.  
 12 THE COMMISSIONER:  
 13 Q. Okay.  
 14 CHAYTOR, Q.C.:  
 15 Q. And while the letter says, the panel is asking  
 16 that you "communicate this information to your  
 17 patient as soon as possible," your first  
 18 conversation with her, from your recollection,  
 19 is November 2006?  
 20 DR. SIDDIQUI:  
 21 A. That's correct.  
 22 CHAYTOR, Q.C.:  
 23 Q. Okay, and if we could look at C-0015, please?  
 24 In those months, Doctor, what's going on with  
 25 her cancer in the intervening months? Is

Page 177	Page 179
<p>1 there concern that she may have other things 2 now happening? 3 DR. SIDDIQUI: 4 A. In which year? 5 CHAYTOR, Q.C.: 6 Q. Through 2006. 7 DR. SIDDIQUI: 8 A. The cancer can come back any time. 9 CHAYTOR, Q.C.: 10 Q. She was being - 11 DR. SIDDIQUI: 12 A. That is always a possibility. 13 CHAYTOR, Q.C.: 14 Q. And back, I believe when we looked at the 15 March or the note which said that she was 16 being investigated for lesions on her liver 17 some months before, I take it that was being 18 investigated for anything sinister that could 19 be happening? 20 DR. SIDDIQUI: 21 A. I think it was 2003 or '04 and she had 22 presented to me with some abdominal 23 discomfort. Can I explain that a little bit 24 more? 25 CHAYTOR, Q.C.:</p>	<p>1 A. Is it 2005 or '04? 2 CHAYTOR, Q.C.: 3 Q. Do you want to go back to C-0012? She's 4 recently been - 5 DR. SIDDIQUI: 6 A. I am just mentioning because the last scan 7 there was in May of 2005 and there should be a 8 note before that. 9 CHAYTOR, Q.C.: 10 Q. Okay. "She has recently been worked up for 11 some liver lesions." 12 DR. SIDDIQUI: 13 A. Yes, and I mentioned there too the CAT scan is 14 done on May of 2005, so I'm just putting the 15 things in perspective. 16 CHAYTOR, Q.C.: 17 Q. That's right. So it's 2005. 18 DR. SIDDIQUI: 19 A. And so we started investigating her somewhere 20 in 2004, and these should be the scans in 2004 21 and early 2005. So I might have seen her in 22 early 2005 as well, so there should be a note 23 in there, I think. 24 CHAYTOR, Q.C.: 25 Q. Okay. If we could go back then, please, to C-</p>
Page 178	Page 180
<p>1 Q. Sure. 2 DR. SIDDIQUI: 3 A. With some chronological evidence to that. So 4 I saw her three times in 2002 and three times 5 in 2003 and then we switched to once every six 6 months, between myself and Dr. Greenland. I 7 think it was somewhere in 2004, I think in 8 2004 I saw her probably twice and that would 9 be the second reason. She had some discomfort 10 and I did a CAT scan. She was seen by Dr. 11 Kwan as well, and I did an MRI as well on her. 12 Those were reviewed by different radiologists 13 and their consensus was that these are benign 14 lesions, what were showing up on the liver. 15 So she was thoroughly investigated at that 16 time for whatever symptoms she had. So that 17 was, I think, in 2004, and so after that, we 18 started seeing her every six months from then 19 onwards. 20 CHAYTOR, Q.C.: 21 Q. Okay, and I think it was the December 22nd, 22 2005 note which said at that point she was 23 being investigated for lesions on her liver at 24 that point, December 2005. 25 DR. SIDDIQUI:</p>	<p>1 0015 and this is a note of Dr. Greenland, the 2 radiation oncology clinic on May 26th, 2006, 3 and he writes that she's "ER/PR negative. 4 Treated with breast conservation in February 5 2001. Seen by follow up. Her path review has 6 since confirmed her to be ER/PR negative. She 7 has never been on hormonal therapy, although 8 initially was called PR positive. She 9 declined Tamoxifen at that time." So it 10 appears that as of May 26th, 2006, the results 11 of the second review, the review on her biopsy 12 specimen has come to the attention of Dr. 13 Greenland, and he's made a note on her chart 14 to that effect. 15 DR. SIDDIQUI: 16 A. I think that would be my note in the chart. I 17 don't know whether he looked at my note, which 18 I had done in March and I had mentioned that 19 biopsy which had come back to me. 20 CHAYTOR, Q.C.: 21 Q. Okay. So he may have been looking at your 22 March note that you had made? 23 DR. SIDDIQUI: 24 A. It's possible. 25 CHAYTOR, Q.C.:</p>

Page 181	Page 183
<p>1 Q. Yes, okay, and the idea that she's been 2 confirmed to be ER/PR negative, and up here 3 saying, it says "she's ER/PR negative," so I 4 take it that's the current situation, 5 according to what Dr. Greenland has seen on 6 the chart in any event, whether it's through 7 your progress note or otherwise. But the idea 8 "she's confirmed to be ER/PR negative," she 9 was never ER negative--I'm sorry, she was PR 10 negative. She was always PR positive. 11 DR. SIDDIQUI: 12 A. On the first two specimens she was PR 13 positive, the first biopsy, which was from 14 February of 2001. And she was ER negative, PR 15 positive in the first segmental mastectomy-- 16 sorry, biopsy was January, segmental 17 mastectomy was February, 2001. She was also 18 ER negative, PR positive on that one. And the 19 review on the first one that is the biopsy, 20 that's the one that I wrote a note on, that 21 had said her to be ER negative and PR negative 22 now. So what it looks like here is that that 23 pathology from October, that is not aware of 24 that, as well. 25 CHAYTOR, Q.C.:</p>	<p>1 the content of Dr. Greenland's note as to the 2 contents of the panel letter, even though it 3 was copied to him, as well, it was copied to 4 Dr. Greenland. But he makes no note of the 5 retest on the mastectomy specimen which found 6 her to be ER positive? 7 DR. SIDDIQUI: 8 A. Um-hm. 9 CHAYTOR, Q.C.: 10 Q. Okay. And I take it it could not or it 11 appears not to have, or it escaped, anyhow, 12 Dr. Greenland's attention up to May 26th. Do 13 you know, have you had any discussion with Dr. 14 Greenland around that and whether or not he 15 also didn't receive the panel letter until 16 June the 14th? 17 DR. SIDDIQUI: 18 A. I don't remember any discussion, but I don't 19 remember any discussion with him. 20 CHAYTOR, Q.C.: 21 Q. Okay. And do you know whether or not on this 22 date Dr. Greenland had any discussion with her 23 about her--about the review of her pathology? 24 DR. SIDDIQUI: 25 A. I don't know if he had any discussion with</p>
<p>Page 182</p> <p>1 Q. No. And my point being, though, that she was 2 never PR negative, she wasn't confirmed to be 3 PR negative because her PR status, according 4 to the biopsy specimen retest, changed? 5 DR. SIDDIQUI: 6 A. Right. 7 CHAYTOR, Q.C.: 8 Q. Right. 9 DR. SIDDIQUI: 10 A. But the initial biopsy report had reviewed to 11 be ER negative and PR negative. 12 CHAYTOR, Q.C.: 13 Q. Yes. The retest? 14 DR. SIDDIQUI: 15 A. The retest on biopsy. 16 CHAYTOR, Q.C.: 17 Q. Yes. But she was never confirmed to be PR 18 negative, she was PR positive and then it 19 became PR negative on the biopsy specimen? 20 DR. SIDDIQUI: 21 A. That's right. 22 CHAYTOR, Q.C.: 23 Q. Yes. And this again is May 26th, 2006. And I 24 showed you the panel letter which was dated 25 May 8th, 2006. And there's no note in here in</p>	<p>Page 184</p> <p>1 her. But again, I was just looking at her 2 testimony and there were a couple of points in 3 there which were her take home message from 4 this conversation, so I don't--it don't seem 5 to be mentioned over here, though. 6 CHAYTOR, Q.C.: 7 Q. Okay. 8 DR. SIDDIQUI: 9 A. And those were that her understanding was that 10 if this is the case, she probably has a better 11 outcome. 12 CHAYTOR, Q.C.: 13 Q. If she's ER - 14 DR. SIDDIQUI: 15 A. PR negative. 16 CHAYTOR, Q.C.: 17 Q. PR negative. And if we could look, please, at 18 C-0016? And this is the note of November 19 17th, 2006. And, Doctor, is it your 20 recollection that this is the date that you 21 spoke with her about the content of the tumour 22 board panel letter and the change in her 23 pathology? 24 DR. SIDDIQUI: 25 A. I'll have to go with the note and -</p>

Page 185	Page 187
<p>1 CHAYTOR, Q.C.:</p> <p>2 Q. Sure.</p> <p>3 DR. SIDDIQUI:</p> <p>4 A. I spoke with earlier about that, so.</p> <p>5 CHAYTOR, Q.C.:</p> <p>6 Q. So do you have any independent recollection of</p> <p>7 it being this date or are you relying on your</p> <p>8 note?</p> <p>9 DR. SIDDIQUI:</p> <p>10 A. I've seen Ms. Green about 40 times so far</p> <p>11 since I started seeing her. I see on an</p> <p>12 average 200 new patients and about twelve to</p> <p>13 fourteen hundred follow-ups each year, so the</p> <p>14 last eight years, that means about ten, eleven</p> <p>15 thousand follow-ups. And sometimes I have 20</p> <p>16 to 30 follow ups in one day. So that's why I</p> <p>17 dictate the detailed notes, whatever I do in</p> <p>18 them--with the patient, I try to dictate that.</p> <p>19 So I have to go with what my note said.</p> <p>20 CHAYTOR, Q.C.:</p> <p>21 Q. Fair enough, you have to rely on your note, I</p> <p>22 guess, okay. Fair enough, okay. So this is</p> <p>23 now November 17th, 2006. And so we're now--</p> <p>24 it's 13 months past the time that her original</p> <p>25 retest result which indicated her to be ER</p>	<p>1 about Tamoxifen but she is not interested."</p> <p>2 So when you say "I again talked with her about</p> <p>3 Tamoxifen, you're referring to the</p> <p>4 conversation you would have had with her back</p> <p>5 in 2002 about Tamoxifen?</p> <p>6 DR. SIDDIQUI:</p> <p>7 A. I think so.</p> <p>8 CHAYTOR, Q.C.:</p> <p>9 Q. Okay. "However, I think that since she's lost</p> <p>10 some weight and has this ongoing cough, we</p> <p>11 should do a scan on her to make sure that no</p> <p>12 sinister pathology is responsible for that. I</p> <p>13 will try to do a scan on her over the next two</p> <p>14 to three weeks and book her to come back and</p> <p>15 see us in a month." Doctor, it says that you</p> <p>16 talked to her about Tamoxifen. Do you recall</p> <p>17 did you talk to her about any other potential</p> <p>18 hormone therapy that might be available for</p> <p>19 her at this point in time?</p> <p>20 DR. SIDDIQUI:</p> <p>21 A. Again, according to the note it was just</p> <p>22 Tamoxifen discussion.</p> <p>23 CHAYTOR, Q.C.:</p> <p>24 Q. And the idea that you've informed her about</p> <p>25 that status as her receptors have remained</p>
<p>Page 186</p> <p>1 positive was first entered on her chart,</p> <p>2 according to the pathology report that we saw.</p> <p>3 So it's now 13 months later. And you say</p> <p>4 here, "On exam, in the presence of Nurse</p> <p>5 Bertha T. she does not seem to be in any</p> <p>6 distress." And you go on to say, "I spoke</p> <p>7 with Beverly again in detail about her</p> <p>8 reviewed pathologies from the prior studies."</p> <p>9 Now, Doctor, is that correct, had you spoken</p> <p>10 at any occasion prior to November 17th, 2006</p> <p>11 to Ms. Green about her reviewed pathologies?</p> <p>12 DR. SIDDIQUI:</p> <p>13 A. I don't think so, according to the notes.</p> <p>14 CHAYTOR, Q.C.:</p> <p>15 Q. Okay. And "Her needle biopsy from January</p> <p>16 17th, 2001 which was ER negative but PR</p> <p>17 positive was reviewed at Mount Sinai and found</p> <p>18 to be negative for both. The mastectomy</p> <p>19 specimen which was a segmental mastectomy from</p> <p>20 February 22nd, 2001 was negative for ER and 85</p> <p>21 to 90 percent positive for PR, was found to be</p> <p>22 positive for ER 20 and P--sorry, ER 20 percent</p> <p>23 and PR at 70 percent. I have informed her</p> <p>24 about the status as her receptors have</p> <p>25 remained positive. I again talked with her</p>	<p>Page 188</p> <p>1 positive, is that an accurate statement, was</p> <p>2 her ER status ever positive?</p> <p>3 DR. SIDDIQUI:</p> <p>4 A. No, but her PR was, so the PR was positive</p> <p>5 and, as I had mentioned earlier in my notes,</p> <p>6 we base our treatment on one of the two or</p> <p>7 both. Her PR was positive and I think that's</p> <p>8 what I'm referring to, that she was PR</p> <p>9 positive so we usually call that receptor</p> <p>10 positive.</p> <p>11 CHAYTOR, Q.C.:</p> <p>12 Q. Even though it says, though, you spoke to her</p> <p>13 about the status of her receptors, plural,</p> <p>14 have remain positive, and remain positive?</p> <p>15 DR. SIDDIQUI:</p> <p>16 A. She was PR positive and the main mastectomy</p> <p>17 specimen that remained positive and plus the</p> <p>18 ER was 20 percent on that, as well.</p> <p>19 CHAYTOR, Q.C.:</p> <p>20 Q. Okay. So did you discuss with her the fact</p> <p>21 that her ER status, in fact, had changed and</p> <p>22 that she was now ER positive as opposed to</p> <p>23 telling her that her status hadn't changed?</p> <p>24 DR. SIDDIQUI:</p> <p>25 A. It says over here if I described it that way,</p>

Page 189	Page 191
<p>1 that she was ER--mastectomy specimen which was 2 segmental mastectomy from February 22nd, so I 3 would have told her that way. 4 CHAYTOR, Q.C.: 5 Q. I'm sorry? 6 DR. SIDDIQUI: 7 A. I would have told her that way, the way that 8 it appeared on the review panel letter. 9 CHAYTOR, Q.C.: 10 Q. Yes. 11 DR. SIDDIQUI: 12 A. The changes. 13 CHAYTOR, Q.C.: 14 Q. And would you have told her that the panel was 15 not recommending any change because she had 16 refused Tamoxifen before and there was no 17 further treatment that they could offer or 18 recommend for her? 19 DR. SIDDIQUI: 20 A. Did I tell here that? 21 CHAYTOR, Q.C.: 22 Q. Yes. 23 DR. SIDDIQUI: 24 A. I don't remember that. But I still talked to 25 her about restarting some hormone treatment,</p>	<p>1 A. That's correct. 2 CHAYTOR, Q.C.: 3 Q. That's correct. And the first line here says 4 that she had used Tamoxifen on more than one 5 occasion afterwards. Is that correct? 6 DR. SIDDIQUI: 7 A. I think this is a typographical error. It 8 should be "refused". 9 CHAYTOR, Q.C.: 10 Q. I'm sorry, that should be refused? 11 DR. SIDDIQUI: 12 A. Yeah. 13 CHAYTOR, Q.C.: 14 Q. So that she'd refused Tamoxifen on more than 15 one occasion afterwards? 16 DR. SIDDIQUI: 17 A. That's right. 18 CHAYTOR, Q.C.: 19 Q. So this says that the last one was in October 20 of 2001, that's her last chemo treatment. 21 "She was receptor positive on review. She had 22 refused Tamoxifen on more than one occasion 23 afterward." Now, did she refuse Tamoxifen on 24 more than one occasion after the review up to 25 this point in time?</p>
Page 190	Page 192
<p>1 which was Tamoxifen at that time. 2 CHAYTOR, Q.C.: 3 Q. You had spoke to her about Tamoxifen? 4 DR. SIDDIQUI: 5 A. I did. 6 CHAYTOR, Q.C.: 7 Q. Yes. Okay, and if we could have, please, C- 8 0017? And if Ms. Green's recollection is that 9 the conversation about the change in her 10 receptor status didn't happen in November, 11 2006, that she didn't have that discussion 12 with you on that date, what do you say to 13 that? 14 DR. SIDDIQUI: 15 A. I'm just surprised. I usually take a nurse 16 with me, as well, most of the time and I 17 document that, as well. I'm just surprised 18 how would she say that. 19 CHAYTOR, Q.C.: 20 Q. And the next note is C-0017, December 14th, 21 2006. And the note is dictated but note read. 22 And I take it on this date, Doctor, this 23 wasn't good news what we read here, it's not 24 good news for Ms. Green, is that fair? 25 DR. SIDDIQUI:</p>	<p>1 DR. SIDDIQUI: 2 A. No, I think this is total, the first one was 3 in 2002, May, when she refused and the second 4 one would have been the last time when I spoke 5 with her. 6 CHAYTOR, Q.C.: 7 Q. Okay. And it says, "Today I had a long 8 discussion with Beverly. I have requested her 9 to think about it. At present she did not 10 seem much interested in chemotherapy. But I 11 informed her that if disease progresses, 12 breast cancer is quite a treatable cancer, if 13 not curable." So I take it at this point in 14 time it's chemotherapy which you're 15 recommending to her? 16 DR. SIDDIQUI: 17 A. That's correct. 18 CHAYTOR, Q.C.: 19 Q. Because she has had progression of her 20 disease? 21 DR. SIDDIQUI: 22 A. Yeah. 23 CHAYTOR, Q.C.: 24 Q. At this point. 25 DR. SIDDIQUI:</p>



Page 193

1 A. From that meeting of the previous one before  
 2 that, November, a little bit what I remember  
 3 from that and even as far back in 2001, I  
 4 don't remember who was my nurse at that time,  
 5 was just a feeling of shock and a bit  
 6 helplessness because when she would say, a  
 7 very young lady, very healthy otherwise and  
 8 she would refuse a treatment so you felt a bit  
 9 shocked. And that doesn't happen very often  
 10 that people would refuse treatment.

11 CHAYTOR, Q.C.:

12 Q. Okay.

13 DR. SIDDIQUI:

14 A. And as the other eight or nine patients that I  
 15 mentioned who were ER negative and PR positive  
 16 and almost all of them had taken treatments.  
 17 So that's what I remember from the November  
 18 meeting, a little bit of feeling. And again,  
 19 here in this particular one, on December 14th,  
 20 again, what I a little bit remember from that  
 21 meeting is that she said it's just going to  
 22 prolong. And that's why I said that I  
 23 requested her to think about it. She was not  
 24 interested in chemo initially, she did not  
 25 sign a consent form that day. Consent form

Page 194

1 was signed a month down the road, which was  
 2 January 12th, 2007. And she did not seem much  
 3 interested about any treatment at that time.

4 CHAYTOR, Q.C.:

5 Q. Okay. So you were surprised because she's  
 6 young but she was thinking it's going to  
 7 prolong things for her, was -

8 DR. SIDDIQUI:

9 A. That's what I remember from, just a little bit  
 10 what I remember, and a feeling of shock and--  
 11 that's the meeting before.

12 CHAYTOR, Q.C.:

13 Q. Okay. And if we could have, please, C-0020?  
 14 And this is a progress note of April 30th,  
 15 2007. And there's no indication here, I don't  
 16 think, of her ER/PR status or any discussion  
 17 about that in this particular note. You do  
 18 indicate, however, "On exam in the presence of  
 19 Nurse Cheryl, HEENT shows no palpable nodes."

20 DR. SIDDIQUI:

21 A. That's Cheryl is her first name.

22 CHAYTOR, Q.C.:

23 Q. Cheryl.

24 DR. SIDDIQUI:

25 A. And it's H-E-E-N-T.

Page 195

1 CHAYTOR, Q.C.:

2 Q. Yes, I'm sorry, yes, I ran that all together,  
 3 didn't I? "HEENT shows no palpable nodes."  
 4 Thank you, Doctor. Okay, so do you recall  
 5 whether or not on this date that you had any  
 6 discussion with her as to, I guess at this  
 7 point it's not going to be discussed whether  
 8 or not she's to take hormone therapy at this  
 9 point in time, is that correct?

10 DR. SIDDIQUI:

11 A. We would at a point. What happened from  
 12 December until now is that she was offered  
 13 chemotherapy with Taxotere. We also did a  
 14 HER2/neu, we requested for a HER2/neu staining  
 15 for her that turned out to be negative for  
 16 her. I had also requested for a liver biopsy  
 17 on her that she had done towards the third  
 18 week of January and that came back somewhere  
 19 in February. That was a liver biopsy. So she  
 20 had six cycles of chemotherapy up until this  
 21 point and she had--she was running into some  
 22 side effects at this point. She had some runny  
 23 eyes and she had some tingling and numbness.  
 24 So this was, I think, the last cycle number  
 25 six of this particular chemotherapy, and when

Page 196

1 she came in on the follow-up which was in May,  
 2 I had spoken with her about hormones again and  
 3 she was put on hormones at that time.

4 CHAYTOR, Q.C.:

5 Q. And, Doctor, there's a portion of this chart  
 6 which is left blank, "I have told her there is  
 7 less than 1 percent risk of", and there is a  
 8 blank described with this chemotherapy, and  
 9 again your note is dictated, but not read. So  
 10 where we see blanks in charts, what --

11 DR. SIDDIQUI:

12 A. I think it would be we are talking about --

13 CHAYTOR, Q.C.:

14 Q. And it's not so much what was being discussed  
 15 at that point in time. I'm just thinking if  
 16 there's something that the transcriber can't  
 17 understand and there is a gap, would it be the  
 18 practice to --

19 DR. SIDDIQUI:

20 A. I think would be referring to neuropathy from  
 21 the chemo. That could happen.

22 CHAYTOR, Q.C.:

23 Q. I'm just wondering, though, is there a  
 24 practice for the progress note to be brought  
 25 to your attention so that it can, in fact, be

Page 197

1 completed before it's actually placed on the  
2 patient's chart?

3 DR. SIDDIQUI:

4 A. Most of the time, they do, but if it's  
5 dictated, but not read, sometimes it just goes  
6 to the chart.

7 CHAYTOR, Q.C.:

8 Q. Okay. If I could have, please, C-0021. Ms.  
9 Green is seen again on May 22nd, 2007, by  
10 yourself, and this note again is dictated, but  
11 not read, and there's several gaps again in  
12 this. In the second paragraph there's a blank  
13 and then another blank down under "assessment  
14 and plan".

15 DR. SIDDIQUI:

16 A. I think they're both pertaining to the same  
17 word which is "epiphora", which is running or  
18 tearing of eyes.

19 CHAYTOR, Q.C.:

20 Q. And do you have any independent recollection  
21 of this meeting with her?

22 DR. SIDDIQUI:

23 A. No, I'll have to go again with my assessment  
24 and plan.

25 CHAYTOR, Q.C.:

Page 198

1 Q. And on this assessment and plan, it refers to  
2 the pathology report again, "According to the  
3 pathology report, specimen number given, which  
4 was the main surgical specimen at segmental  
5 mastectomy, she was 20 percent positive on ER  
6 and 70 percent positive on PR. I have again  
7 offered her hormonal treatment with Femara and  
8 she has agreed to that. We discussed the side  
9 effects in detail", and you go on to say what  
10 those include. Doctor, it says that, "I have  
11 again offered her hormonal treatment with  
12 Femara". Was this the first time she was, in  
13 fact, offered Femara?

14 DR. SIDDIQUI:

15 A. That's correct.

16 CHAYTOR, Q.C.:

17 Q. If we could have C-0023, please. This is  
18 October 18th, 2007, and again under your  
19 assessment and plan, she had some neuropathy  
20 with Taxotere, is it; however, that completely  
21 disappeared. Again there is a gap, "There is a  
22 risk for that coming back. The other option  
23 will be to use", and it's another drug. "I  
24 have discussed both with her", and I believe  
25 at this point in time you've asked her to stop

Page 199

1 her Femara. So she's been asked to stop. Why  
2 would she be asked to come off the Femara at  
3 this point in time, what's happening here?

4 DR. SIDDIQUI:

5 A. The CAT scan here, which was done on the 27th  
6 of September, and that had shown disease  
7 progression. Between this and the May  
8 meeting, I think I have seen her one more  
9 time, which was in June, which was to review  
10 another CAT scan, and between that June and  
11 this CAT scan, she had progressed on Femara,  
12 so I spoke with her about different treatment  
13 options. This meeting I remember a little bit  
14 because she was upset, she cried on that day,  
15 and I remember that a little bit.

16 CHAYTOR, Q.C.:

17 Q. And I guess that's because again the disease  
18 had shown some progression?

19 DR. SIDDIQUI:

20 A. Disease had shown progression. It was not  
21 good new for her.

22 CHAYTOR, Q.C.:

23 Q. Yes.

24 DR. SIDDIQUI:

25 A. For this particular meeting, and for the

Page 200

1 meeting of the 30th of April, in the chart  
2 there are notes from the nurses as well. The  
3 nurse whose named I mentioned on the 30th of  
4 April, Cheryl Boone, there is a note in the  
5 chart from that day signed by the nurse, and  
6 there is also a note in the chart from October  
7 18th, 2007, discussing similar events.

8 CHAYTOR, Q.C.:

9 Q. And you've reviewed those notes?

10 DR. SIDDIQUI:

11 A. I have seen those notes.

12 CHAYTOR, Q.C.:

13 Q. And those notes refer to her being upset on  
14 October 18th?

15 DR. SIDDIQUI:

16 A. That's right.

17 CHAYTOR, Q.C.:

18 Q. And do they refer to her being upset on either  
19 May 22nd visit or the April 30th visit?

20 DR. SIDDIQUI:

21 A. On May 22nd, I could not find a note, but on  
22 April 30th, there is a note in there and there  
23 is no mention of being upset on that date.

24 CHAYTOR, Q.C.:

25 Q. Okay. Do you recall in any of your meeting

Page 201	Page 203
<p>1 with Ms. Green that she requested 2 documentation or information from her chart? 3 DR. SIDDIQUI: 4 A. I don't recall a particular event about that, 5 but my patients do ask about that. When I go 6 to the patient's room, I have the chart in my 7 hand, and every chart and Ms. Green's chart 8 the same way. It would have two main 9 components to it. There is one component 10 which I can bring from the computer like blood 11 work, or if there is a CAT scan report. I 12 carry that in my hand. If the patient asks 13 for that, I give it to them. If there is 14 something else in the chart which is a main 15 part of the chart which cannot be removed, I 16 order it up for them to Medical Records to get 17 the rest of the chart photocopied. Did she 18 ask for me on a particular day, I don't 19 remember that. A lot of patients ask, and if I 20 have something in my hand, I just give it to 21 them, which is not from the main chart, that I 22 don't have to tear out from the main chart. 23 CHAYTOR, Q.C.: 24 Q. And do you recall ever having any incident or 25 any words with Ms. Green around the issue of</p>	<p>1 understanding I had 80 to 90 percent chance of 2 survival rate and that's what I've been 3 concentrating on, and he said, well, the 20 4 percent, I guess that's what you'd fall into, 5 the 20 percent". Do you recall any 6 conversation along those lines? 7 MR. BROWNE: 8 Q. Commissioner, sorry to interrupt, is it 9 possible to have that brought up on the 10 screen? 11 CHAYTOR, Q.C.: 12 Q. Yes, sorry, absolutely. I'm sorry, I should 13 have asked for that. It's March 19th, 2008, 14 page 73. Thank you, Mr. Browne. 15 THE COMMISSIONER: 16 Q. What was the page number again? 17 CHAYTOR, Q.C.: 18 Q. 73. 19 THE COMMISSIONER: 20 Q. Thank you. 21 CHAYTOR, Q.C.: 22 Q. There we go, that's it. This is the portion 23 here that I'm reading out to you. 24 THE COMMISSIONER: 25 Q. Starting at line 11, Doctor.</p>
<p>1 her requesting any information from her chart? 2 DR. SIDDIQUI: 3 A. No, I don't remember. On the 30th of February 4 meeting, I don't really remember anything 5 after this all happened. Actually, I spoke 6 with those nurses as well and I requested them 7 that if there was anything that I forgot, and 8 if I misbehave in any way, let me know, and I 9 can come in and just say if that happened if 10 they remembered anything. They did not 11 remember anything on those days either, if I 12 did any such thing. 13 CHAYTOR, Q.C.: 14 Q. Okay, and, Doctor, I just have a little 15 portion then for you to be able to respond to 16 in terms of what Ms. Green said, and this is 17 from her evidence that she gave here before 18 the Commission on March 19th, 2008, and she's 19 quoted at page 73, "Well, what about my 20 charts, and he said, well, there's--I told you 21 there was no cure for this disease, right, 22 like, without even--without anything else, 23 that was the first thing. There is--I told 24 you there is no cure for this disease, and I 25 said, well, you know, I was under the</p>	<p>1 CHAYTOR, Q.C.: 2 Q. Starting at line 11, right here, Doctor. 3 DR. SIDDIQUI: 4 A. Okay. 5 CHAYTOR, Q.C.: 6 Q. And I took you down as far as right here, "the 7 20 percent". 8 DR. SIDDIQUI: 9 A. As you saw in my note from December, that's 10 the note when I had mentioned to her that this 11 is not curable, but treatable. I don't know 12 if she's referring to that. I don't know 13 where these numbers are coming from, and this 14 word "chance of survival rate", I would not 15 really know what that means and where this 16 number is coming from. 17 CHAYTOR, Q.C.: 18 Q. Okay, so you have no recollection -- 19 DR. SIDDIQUI: 20 A. I don't remember saying anything like that. 21 CHAYTOR, Q.C.: 22 Q. Okay, and then, Doctor, it continues on and 23 says that, "And then he said--he just turned 24 around at me and he had the results from my 25 liver biopsy and he took it and he said, is</p>

Page 205

1 this what you want, and he threw it at me,  
 2 threw it at me and he walked out the door, and  
 3 that was pretty much when I was just angry,  
 4 furious. I did not approach anyone on it,  
 5 like, you know, mention to the nurse, all I  
 6 wanted was a copy of my chart". Doctor, I'd  
 7 like to offer you an opportunity to respond to  
 8 that portion as well?  
 9 DR. SIDDIQUI:  
 10 A. Sure. I've never ever thrown anything on an  
 11 patient, never. I have been working in this  
 12 institution for close to eight years now, and  
 13 my colleagues and my other staff, or other  
 14 people who have been working with me, if they  
 15 can identify a single incident that I was  
 16 disrespectful to them, or I did anything which  
 17 was misbehaving in any way, they won't be able  
 18 to find one. I've never ever thrown anything  
 19 on any patient. What I can tell you I usually  
 20 do when I come into the room, usually I don't  
 21 shake hands with the patient, some people  
 22 like, some don't. If somebody initiates, I do  
 23 that. I examine the patient and after that, I  
 24 put the chart on the sink which is just next  
 25 to the door, or sometimes on the table. I

Page 206

1 always wash my hands afterwards. If it's a  
 2 female patient, I will leave the room for a  
 3 minute to let them dress. This is my usual  
 4 routine. I don't think I've done anything  
 5 different than that. I never threw anything  
 6 on anybody. If there is something that she's  
 7 taking in a different way from what I have  
 8 been doing usually which is--again that never  
 9 involves throwing anything in any way. That  
 10 is it.  
 11 CHAYTOR, Q.C.:  
 12 Q. And, Doctor, does Ms. Green continue to be  
 13 your patient?  
 14 DR. SIDDIQUI:  
 15 A. Since this--other thing is that on that date  
 16 she mentioned in the rest of her testimony  
 17 there was a nurse present there, and again  
 18 that nurse has documented a full note which is  
 19 in the chart, and there is no mention of any  
 20 such even in that note as well. From that  
 21 until March 19th when she gave her testimony,  
 22 I have seen her nine times in between that  
 23 time period, and not even once--not even once  
 24 has she brought up any such thing like that,  
 25 that I was disrespectful to her in any way.

Page 207

1 After her testimony, I saw her the very next  
 2 day which was March 20th, and that day I took  
 3 again my nurse with me. She put her own  
 4 patient note in the chart as well. I  
 5 specifically asked Ms. Green do you have  
 6 confidence or do you think you want to follow  
 7 with any of the other medical oncologists. I  
 8 offered her to be seen by any of the other  
 9 medical oncologists, and she just asked me  
 10 that "am I okay". I said that for me there is  
 11 no problem, I'll go with her wishes, and she  
 12 decided to stay with me. She's still my  
 13 patient, I'm still taking care of her.  
 14 CHAYTOR, Q.C.:  
 15 Q. Thank you, Doctor. Those are my questions.  
 16 Thank you, Doctor. Some of my colleagues may  
 17 have questions.  
 18 THE COMMISSIONER:  
 19 Q. Mr. Pritchard.  
 20 MR. PRITCHARD:  
 21 Q. Thank you, Commissioner. I don't have any  
 22 questions for Dr. Siddiqui.  
 23 THE COMMISSIONER:  
 24 Q. Mr. Simmons.  
 25 MR. SIMMONS:

Page 208

1 Q. Thank you, Commissioner.  
 2 DR. JEHAN SIDDIQUI - EXAMINATION BY MR. DAN SIMMONS  
 3 MR. SIMMONS:  
 4 Q. Good afternoon, Dr. Siddiqui.  
 5 DR. SIDDIQUI:  
 6 A. Good afternoon.  
 7 MR. SIMMONS:  
 8 Q. I'm here for Eastern Health, and I had just a  
 9 few points that I wanted to follow up on you  
 10 about. You were asked some questions about  
 11 the arranging of appointments, in particular,  
 12 those questions were asked to you about in the  
 13 context of arranging for appointments for  
 14 people whose test results had changed as part  
 15 of the retesting program, and I was wondering  
 16 if you can tell me, are there circumstances in  
 17 the ordinary care of patients where they have  
 18 to be called back or appointment made for them  
 19 other than the scheduled appointments that may  
 20 be coming up?  
 21 DR. SIDDIQUI:  
 22 A. I would think again if there is something that  
 23 the patient wants to talk about, and this has  
 24 happened, we saw them once and they had  
 25 something in mind that they want to talk

Page 209	Page 211
<p>1 about, they'll call in again and we see them.  2 They will talk to the nurse. If that  3 satisfies, that's fine; otherwise, they'll  4 come back and I'll see them.  5 MR. SIMMONS:  6 Q. Are there ever occasions where you may receive  7 a test result that will cause you to want to  8 have the patient contacted to make--to come in  9 for an appointment? Maybe the patient is  10 scheduled to come in in three months or six  11 months and you want them to come in early,  12 does that sort of thing happen in your  13 ordinary practice?  14 DR. SIDDIQUI:  15 A. That has happened.  16 MR. SIMMONS:  17 Q. In those circumstances, what would the process  18 be for contacting them and making those  19 arrangements?  20 DR. SIDDIQUI:  21 A. I think again it depends on what kind of test  22 is that. If there is something that requires  23 urgent attention, then sometimes my nurse call  24 them, and if it is something that requires an  25 appointment in the next week or two, then we</p>	<p>1 of laboratory tests and diagnostic imaging  2 tests, I presume, for patients?  3 DR. SIDDIQUI:  4 A. Uh-hm.  5 MR. SIMMONS:  6 Q. And what's the normal way in which the results  7 of those tests are communicated to you?  8 DR. SIDDIQUI:  9 A. If there is something really staggering in the  10 test, they should give us a page and let us  11 know.  12 MR. SIMMONS:  13 Q. Otherwise?  14 DR. SIDDIQUI:  15 A. If you are putting in a CAT scan for somebody  16 who is having headache, a CT head, and if they  17 find something in the head, you would expect a  18 call from them and they usually do.  19 Otherwise, it will go to our mailbox. A  20 report would come in and will go to the  21 mailbox.  22 MR. SIMMONS:  23 Q. Right. So having the addenda for the retest  24 results for ER/PR testing come to you by  25 having a report in your mailbox, was that any</p>
<p>1 request for an appointment with the medical  2 record and the other clerk who is taking care  3 of the clinic, and they would make the  4 appointment.  5 MR. SIMMONS:  6 Q. In the cases where you wanted to contact  7 patients whose ER/PR results had changed, did  8 you do anything different than that, or did  9 you follow what would be your ordinary  10 practice for contacting a patient that you  11 needed to bring back in to discuss a test  12 result with?  13 DR. SIDDIQUI:  14 A. I think I've called myself quite a few  15 patients.  16 MR. SIMMONS:  17 Q. So that would be out of the ordinary, but  18 otherwise, the type of contact would be a  19 telephone call to arrange an appointment to  20 come in to discuss a test result?  21 DR. SIDDIQUI:  22 A. Most of the time.  23 MR. SIMMONS:  24 Q. Okay. In the course of your practice, you  25 have occasion to request many different types</p>	<p>1 different than the way that you are notified  2 for all the other types of tests that you do  3 on a routine basis?  4 DR. SIDDIQUI:  5 A. I think a different thing would be if it was  6 on a different colour paper. Most of the time  7 I remember an orange colour paper in my  8 mailbox.  9 MR. SIMMONS:  10 Q. Okay.  11 DR. SIDDIQUI:  12 A. But in terms of calling me if there was a big  13 change, I don't think I ever got a call in  14 terms of that.  15 MR. SIMMONS:  16 Q. But the system that's in place for  17 communicating test results to you normally is  18 to have the report come on a piece of paper  19 into your mailbox which would come to your  20 attention so that you can then act on it, and  21 use it in deciding on the treatment for your  22 patient?  23 DR. SIDDIQUI:  24 A. That's correct.  25 MR. SIMMONS:</p>

Page 213	Page 215
<p>1 Q. And the ER/PR retest results came to you in 2 the same way for you to act on?</p> <p>3 DR. SIDDIQUI:</p> <p>4 A. They did.</p> <p>5 MR. SIMMONS:</p> <p>6 Q. Okay.</p> <p>7 DR. SIDDIQUI:</p> <p>8 A. With the exception of, I think, the last ones 9 that we talked, they were just brought 10 directly to my attention, and the one in 11 December of last year.</p> <p>12 MR. SIMMONS:</p> <p>13 Q. You were asked whether you were aware of any 14 of your patients who had been missed in the 15 retesting process and you told us that when 16 you were at the peripheral clinic in Corner 17 Brook, there were occasions when you saw in 18 charts that there were no retest results, so 19 you put in a consult to have a retest done for 20 those patients. I just want to follow up on 21 that. Do you know in those cases whether 22 there had been a retest already requested for 23 those patients, and it just wasn't back yet?</p> <p>24 DR. SIDDIQUI:</p> <p>25 A. I also said that most of the time they were in</p>	<p>1 best suggestions from a group of expert 2 doctors.</p> <p>3 MR. SIMMONS:</p> <p>4 Q. Did you feel that you were no longer able to 5 bring your own judgment to bear in deciding 6 what was the best course of treatment for your 7 patient?</p> <p>8 DR. SIDDIQUI:</p> <p>9 A. I don't think so. I think you still had the 10 liberty, but I would think that if you're 11 going against it, it's a good idea to talk to 12 them first, make sure that you're not missing 13 a piece of information that they may have.</p> <p>14 MR. SIMMONS:</p> <p>15 Q. Okay. Thank you very much, Dr. Siddiqui. 16 That's all the questions I have for you.</p> <p>17 THE COMMISSIONER:</p> <p>18 Q. Mr. Pritchett.</p> <p>19 MR. PRITCHETT:</p> <p>20 Q. No questions, Commissioner.</p> <p>21 THE COMMISSIONER:</p> <p>22 Q. Ms. Newbury, do you have any questions?</p> <p>23 MS. NEWBURY:</p> <p>24 Q. Yes, I do.</p> <p>25 THE COMMISSIONER:</p>
Page 214	Page 216
<p>1 the pipeline. Most of the time we learned 2 that they were done, and we just did not have 3 those, but they were done, or they were 4 somewhere. I think--I don't know if they were 5 coming to St. John's first and then going, 6 whatever it was, but most of the time they 7 were done.</p> <p>8 MR. SIMMONS:</p> <p>9 Q. So before ordering those consults, you didn't 10 have any investigation done to determine if 11 this patient was already in the pipeline, you 12 went ahead and ordered the consult, anyway, 13 did you?</p> <p>14 DR. SIDDIQUI:</p> <p>15 A. If I had full known that this patient was in 16 the pipeline, I probably might not have.</p> <p>17 MR. SIMMONS:</p> <p>18 Q. Okay. When you received the panel letters 19 from the review panel that looked at the ER/PR 20 results with the recommendations in it, did 21 you feel that you were in any way bound to 22 follow those recommendations?</p> <p>23 DR. SIDDIQUI:</p> <p>24 A. I think it's not completely binding, but 25 tumour board decisions, they are probably the</p>	<p>1 Q. Let's assess how much time we're going to 2 need. Could you give me a ball park?</p> <p>3 MS. NEWBURY:</p> <p>4 Q. About fifteen minutes.</p> <p>5 THE COMMISSIONER:</p> <p>6 Q. Ms. Brocklehurst.</p> <p>7 MS. BROCKLEHURST:</p> <p>8 Q. No questions.</p> <p>9 THE COMMISSIONER:</p> <p>10 Q. Mr. Pike.</p> <p>11 MR. PIKE:</p> <p>12 Q. No questions, Commissioner.</p> <p>13 THE COMMISSIONER:</p> <p>14 Q. Mr. Browne.</p> <p>15 MR. BROWNE:</p> <p>16 Q. About ten minutes. (Inaudible) to go over a 17 couple of points.</p> <p>18 THE COMMISSIONER:</p> <p>19 Q. Okay. Well, let's just find out how 20 inconvenient that's going to be for your 21 witness, or do you know?</p> <p>22 MR. BROWNE:</p> <p>23 Q. I haven't been talking to him. I'm assuming--</p> <p>24 THE COMMISSIONER:</p> <p>25 Q. Well, I'm just wondering whether or not on the</p>

Page 217

1 assumption that our--on the assumption that we  
2 will be finished with this witness.  
3 MR. BROWNE:  
4 Q. I'm not aware if Dr. Siddiqui had a clinic  
5 this afternoon.  
6 DR. SIDDIQUI:  
7 A. No, I'm okay.  
8 THE COMMISSIONER:  
9 Q. You're okay.  
10 DR. SIDDIQUI:  
11 A. Yes.  
12 THE COMMISSIONER:  
13 Q. Well, let's take the luncheon break in that  
14 case. The witness has been on the stand all  
15 morning. He's entitled to have his lunch.  
16 We'll meet again at 2:15.  
17 (LUNCH BREAK)  
18 THE COMMISSIONER:  
19 Q. Ms. Newbury.  
20 MS. NEWBURY:  
21 Q. Thank you.  
22 DR. JEHAN SIDDIQUI - EXAMINATION BY MS. JENNIFER NEWBURY  
23 MS. NEWBURY:  
24 Q. Good afternoon, Dr. Siddiqui. My name is  
25 Jennifer Newbury, and I represent the Canadian

Page 218

1 Cancer Society, Newfoundland and Labrador  
2 Division.  
3 DR. SIDDIQUI:  
4 A. Good afternoon.  
5 MS. NEWBURY:  
6 Q. Upon receipt of the panel letters, and just  
7 speaking about those letters generally, would  
8 you typically review the patient file to  
9 ascertain your own views regarding appropriate  
10 treatment for the patient, and then compare  
11 that with the panel's recommendation?  
12 DR. SIDDIQUI:  
13 A. If the patient is booked on a very near date,  
14 I'll do that on the day when the patient comes  
15 in to see us.  
16 MS. NEWBURY:  
17 Q. Okay. So if a patient wasn't scheduled to come  
18 in for a couple of months time, you would wait  
19 until closer to the actual date of the  
20 appointment?  
21 DR. SIDDIQUI:  
22 A. That would be in case there's no change of  
23 treatment suggested.  
24 MS. NEWBURY:  
25 Q. Okay, and if there was a change in treatment,

Page 219

1 would you immediately upon receipt of the  
2 letter, review the file?  
3 DR. SIDDIQUI:  
4 A. Those patients are booked very soon, so either  
5 the file would be looked at, or usually when  
6 they come in to see us, the file will be  
7 looked at at that time.  
8 MS. NEWBURY:  
9 Q. And would you look at the file with a view to  
10 seeing what your own recommendation or your  
11 own views would be on treatment, independent  
12 of the letter, and then do a comparison, or  
13 were you placing reliance upon the panel's  
14 recommendation?  
15 DR. SIDDIQUI:  
16 A. By that time, you would have the panel letter,  
17 anyway, so you cannot take that out of your  
18 mind.  
19 MS. NEWBURY:  
20 Q. Sure.  
21 DR. SIDDIQUI:  
22 A. You're aware of what they have suggested.  
23 MS. NEWBURY:  
24 Q. Okay.  
25 DR. SIDDIQUI:

Page 220

1 A. So you go to the chart and see if there's any  
2 reason for a discrepancy.  
3 MS. NEWBURY:  
4 Q. So you would conduct your own analysis?  
5 DR. SIDDIQUI:  
6 A. You would.  
7 MS. NEWBURY:  
8 Q. And in terms of those patients whose treatment  
9 was not recommended to be changed, and who you  
10 would not see until the next regularly  
11 scheduled appointment, did you also conduct an  
12 analysis at around the time of that regular  
13 appointment to see if your views coincided  
14 with that of the panel?  
15 DR. SIDDIQUI:  
16 A. I think I'll go through that, yes.  
17 MS. NEWBURY:  
18 Q. Okay.  
19 THE COMMISSIONER:  
20 Q. I'm sorry, sir, I missed what you said.  
21 DR. SIDDIQUI:  
22 A. I will go through that.  
23 MS. NEWBURY:  
24 Q. And how frequent are regular appointments for  
25 patients, generally speaking? What is the

Page 221	Page 223
<p>1 range, I guess, of intervals between 2 appointments for patients? 3 DR. SIDDIQUI: 4 A. It varies in what stage of the treatment a 5 patient is. 6 MS. NEWBURY: 7 Q. Uh-hm. 8 DR. SIDDIQUI: 9 A. If the patient is seen first and the patient 10 is on chemotherapy, then most of the 11 chemotherapy cycles are done every three week; 12 most, not all. 13 MS. NEWBURY: 14 Q. Uh-hm. 15 DR. SIDDIQUI: 16 A. So they would be seen every three weeks for 17 those chemotherapy cycles. After that, if 18 they are on hormonal treatment or no hormonal 19 treatment, the recommendations are to see them 20 every three months for the first two to three 21 years and then every six months for a couple 22 of years following that. 23 MS. NEWBURY: 24 Q. Okay. 25 DR. SIDDIQUI:</p>	<p>1 MS. NEWBURY: 2 Q. And for those patients who were no longer 3 having regularly scheduled appointments who 4 had gone beyond that point in time where they 5 see an oncologist every six months, did you 6 come across any of those cases for those 7 patients for whom you received panel letters? 8 DR. SIDDIQUI: 9 A. The panel letters--there were few which were 10 discharged, the two that we talked about 11 today, the first two were discharged. 12 MS. NEWBURY: 13 Q. Okay. 14 DR. SIDDIQUI: 15 A. I don't know if I answered your question. 16 Those were the discharged one. 17 MS. NEWBURY: 18 Q. Yes, and they were the ones that were handled 19 by the family physician? 20 DR. SIDDIQUI: 21 A. That's right, one of them was sent to family 22 physician, the other one was--letter was sent 23 to me. 24 MS. NEWBURY: 25 Q. Do you know if the patients for whom you</p>
<p>1 A. So I would follow those guidelines. 2 MS. NEWBURY: 3 Q. Okay. So then at most a patient might have to 4 wait perhaps six months or close to six months 5 before the next scheduled appointment to find 6 out his or her results if there's no change of 7 treatment? 8 DR. SIDDIQUI: 9 A. That is the accreditation the oncologist is 10 also following if there are two of us. 11 MS. NEWBURY: 12 Q. If there are two of you. Are there any 13 situations where the patient might be seen 14 less frequently than once a year by either 15 oncologist? 16 DR. SIDDIQUI: 17 A. Less frequently means more than once in one 18 year or less than -- 19 MS. NEWBURY: 20 Q. Less than once in one year--less than twice in 21 one year. 22 DR. SIDDIQUI: 23 A. I would doubt. Usually I don't extend it 24 beyond a year unless there is some request by 25 the patient.</p>	<p>1 received panel letters would have been 2 provided with any other information about the 3 results of their testing or the fact that they 4 were being retested prior to meeting with you, 5 generally speaking? 6 DR. SIDDIQUI: 7 A. If I could think, I would think, and again I 8 won't say always, but I think most of the 9 times they were aware that there's a change in 10 their status or in one of the tests. That's 11 what they are there to talk about. 12 MS. NEWBURY: 13 Q. And how would they become aware of that change 14 prior to meeting with you? 15 DR. SIDDIQUI: 16 A. I think there are different possibilities. 17 One could be that their family physician told 18 them, if a letter went to surgeon, if they met 19 their surgeon. That would be one. Sometimes, 20 and again I'm thinking that one of the options 21 could be that if they got a call from Cancer 22 Clinic, they might have asked why, and they 23 might have been told. I'm just thinking, but 24 I think family physicians and probably 25 surgeons.</p>



Page 225	Page 227
<p>1 MS. NEWBURY:  2 Q. But in the cases that you were the primary  3 recipient of the panel letters, would you have  4 been considered the main treating physician  5 for that particular patient?  6 DR. SIDDIQUI:  7 A. I could be, but again there are exceptions to  8 that, as the first lady that you talked about  9 today--should I say the name?  10 THE COMMISSIONER:  11 Q. If it's not a lady whose name has been  12 mentioned here --  13 DR. SIDDIQUI:  14 A. It's not the lady from Alberta, it's the other  15 one. That lady was discharged from our  16 clinic. She was discharged in 2001, and letter  17 still came in my name in December of 2007. I  18 don't know why that was, but it came to my  19 name, so I had to take action on that.  20 MS. NEWBURY:  21 Q. So you received a letter, even though you were  22 no longer the primary treating physician?  23 DR. SIDDIQUI:  24 A. She was discharged.  25 MS. NEWBURY:</p>	<p>1 Q. Okay. So based upon perhaps that particular  2 incident and maybe any other assumption that  3 you made, was it your belief and understanding  4 that patients were not waiting to see you to  5 be informed of the retest results for their  6 ER/PR status?  7 DR. SIDDIQUI:  8 A. If the letter came to me and there is a  9 change, then I will talk to them, but if the  10 letter was just carbon copied to me and was  11 primarily directed to a different physician,  12 same as I told that if a letter came to me, I  13 think that other physicians would have thought  14 the same way.  15 MS. NEWBURY:  16 Q. Okay. Perhaps I should focus on those  17 patients for whom the panel did not recommend  18 a treatment change and may have to wait  19 upwards of six months to meet with you so that  20 you could discuss those results with them, did  21 you have any firm reason to believe that they  22 would already know the results of their ER/PR  23 retesting?  24 DR. SIDDIQUI:  25 A. Is there any particular patient because --</p>
Page 226	Page 228
<p>1 Q. But, I guess, my question is this, how  2 reliable was your assumption that patients who  3 had not yet had a chance to meet with you to  4 discuss a panel's recommendation, how reliable  5 is your assumption that someone else may have  6 communicated information about their ER/PR  7 test results to those patients?  8 DR. SIDDIQUI:  9 A. Personally, the one patient that I  10 encountered, she was aware of that.  11 MS. NEWBURY:  12 Q. Okay.  13 DR. SIDDIQUI:  14 A. So this is my personal experience.  15 MS. NEWBURY:  16 Q. So that was one particular patient, and do you  17 know if that was something that she learned  18 because the protocol had been set up to advise  19 her accordingly, or was that perhaps just a --  20 DR. SIDDIQUI:  21 A. That I don't know, but according to her, she  22 had learned that, it looks like, within a  23 reasonable time period from the time that the  24 letter was sent to the family physician.  25 MS. NEWBURY:</p>	<p>1 MS. NEWBURY:  2 Q. No, just generally speaking. I personally  3 don't have access to the information, so I'm  4 just wondering if you could tell me what your  5 understanding was, or if you even thought  6 about that issue at all.  7 DR. SIDDIQUI:  8 A. The first thing is that I would not think that  9 if the letter was done, the patient probably  10 would not know for that long, because if it  11 was sent to one physician and was carbon  12 copied to at least one or two others, most of  13 the patients would know.  14 MS. NEWBURY:  15 Q. So you would rely upon perhaps the physicians  16 who had received carbon copies of the letters  17 to notify the patient?  18 DR. SIDDIQUI:  19 A. If it is sent to me, then I will do that. In  20 case of change, I will do that as soon as I  21 could.  22 MS. NEWBURY:  23 Q. Okay.  24 DR. SIDDIQUI:  25 A. In case of no change, I will whenever they are</p>

Page 229	Page 231
<p>1 next seen, either by myself; if they are in a 2 peripheral clinic, then by my colleagues, or 3 one of the radiation doctors. 4 MS. NEWBURY: 5 Q. In some cases, these patients may not have a 6 regularly scheduled appointment for maybe 7 four, five, or six months before they get to 8 see you, and you're the person, the recipient 9 of the letter. Do you have any reason to 10 believe that in those cases that the 11 physicians who have been copied on the letter, 12 if there were any, would have contacted the 13 patient to let them know about the ER/PR test 14 results? 15 DR. SIDDIQUI: 16 A. I would not know about that. I would be 17 speculating if I said one way or the other. 18 MS. NEWBURY: 19 Q. Okay, so there's nothing that--you weren't 20 told by anyone that we've got a system put in 21 place to immediately tell the patients the 22 results and when you get around to seeing 23 them, you know, in their regularly scheduled 24 appointment, you can elaborate on that, but 25 they already know the results? You had no</p>	<p>1 DR. SIDDIQUI: 2 A. What I mean is that if you can identify all 3 the patients and you can get those done on a 4 very priority basis, then get those done very 5 quickly and start talking to people. If it's 6 going to take a year or two to get those done 7 and the patients know from January 1st, 2006, 8 that theirs would be done, but then they are 9 on the edge until December of 2007--I had a 10 patient in December as well. So if you have 11 control on how long would it take for those to 12 get done, get those done very quickly as first 13 priority, and then those should be told to the 14 patients. 15 MS. NEWBURY: 16 Q. But in terms of once certain patients were 17 channelled into the panel review process, some 18 of those patients might ultimately have no 19 change in their treatment, or that's the 20 recommendation of the panel, and did you have 21 any reason to believe that some of those 22 patients might be on edge until they get the 23 call from you or from the Cancer Clinic to 24 come meet with them and to discuss the 25 results, or did you assume that some other</p>
<p style="text-align: right;">Page 230</p> <p>1 reason to believe that that was actually 2 taking place? 3 DR. SIDDIQUI: 4 A. Not that I know of. 5 MS. NEWBURY: 6 Q. Okay. Did you have any reason to be concerned 7 that there are patients who might be anxious 8 to receive the results of their ER/PR 9 retesting? 10 DR. SIDDIQUI: 11 A. I'm sure there are. 12 MS. NEWBURY: 13 Q. Okay. 14 DR. SIDDIQUI: 15 A. And I can understand their point, of course. 16 MS. NEWBURY: 17 Q. And this morning you'd indicated that--I think 18 I understand your evidence this morning in 19 terms of the initial decision now to advise 20 the patient that retesting was going to take 21 place, you didn't take great issue with that 22 so long as the retesting could take place 23 rather quickly, and was that due to your 24 concern about anxiety that patients might 25 experience, not knowing what the results are?</p>	<p style="text-align: right;">Page 232</p> <p>1 process was taking place that would advise 2 them, you know, don't worry, there's no 3 change, or there's going to be no change in 4 your treatment? 5 DR. SIDDIQUI: 6 A. I don't know if there was a process in there, 7 but the letter usually went to family 8 physician as well. 9 MS. NEWBURY: 10 Q. Okay. 11 DR. SIDDIQUI: 12 A. If there is some patient who called and would 13 like to see us earlier, we would do that. I 14 don't remember anything on top of my head, but 15 if it was something that you would ask me to 16 do now or would have asked at that time, I 17 would have done that. 18 MS. NEWBURY: 19 Q. Okay. 20 DR. SIDDIQUI: 21 A. If some patient calls in and they want to see 22 me earlier, I would definitely do that. 23 MS. NEWBURY: 24 Q. But would the patients have any means of 25 knowing that panel letters had actually been</p>

Page 233

1 sent to various physicians? Perhaps they're  
2 just sitting waiting, they don't even know.  
3 DR. SIDDIQUI:  
4 A. It's possible.  
5 MS. NEWBURY:  
6 Q. Okay.  
7 DR. SIDDIQUI:  
8 A. It's possible, just going to their family  
9 physician.  
10 MS. NEWBURY:  
11 Q. And is it fair to say that you left those  
12 types of decisions in terms of deciding when  
13 and who should notify patients to others to  
14 determine, other than your role in contacting  
15 them once you received a panel letter?  
16 DR. SIDDIQUI:  
17 A. I had a small percentage of all those  
18 patients. As I mentioned earlier, my breast  
19 practice is not huge. I had seen a few  
20 patients in my first two or three years, but  
21 in the last four years or so, not a whole lot.  
22 So I had two patients from that time, but it  
23 was not a huge breast practice.  
24 MS. NEWBURY:  
25 Q. Okay.

Page 234

1 DR. SIDDIQUI:  
2 A. So I did what's being done around at that  
3 time.  
4 MS. NEWBURY:  
5 Q. So you basically did what you were asked to do  
6 in terms of contacting patients when you  
7 received a panel letter, but you didn't  
8 question or have any particular concerns in  
9 your mind about those patients who might have  
10 to wait for four or five months before they  
11 met with you, those who didn't require  
12 treatment change, to learn what their results  
13 were? Did that not enter your mind at the  
14 time?  
15 DR. SIDDIQUI:  
16 A. I'm sorry, I didn't get it fully.  
17 MS. NEWBURY:  
18 Q. I'm just wondering if you had any concerns at  
19 all about those patients who may not get to  
20 meet with you for four or five months to learn  
21 what the results are of the retesting? Was  
22 that not in your mind at all?  
23 DR. SIDDIQUI:  
24 A. That is a concern. That is a concern.  
25 MS. NEWBURY:

Page 235

1 Q. Were you thinking about that at the time,  
2 though, is my question?  
3 DR. SIDDIQUI:  
4 A. This would be a concern, and if the patient  
5 were aware that the tests have gone in, if  
6 they call in earlier, I would definitely see  
7 them.  
8 MS. NEWBURY:  
9 Q. Okay. So it would be up then to the patient  
10 to contact them if they have any particular  
11 concerns, contact the Cancer Clinic or one of  
12 their physicians?  
13 DR. SIDDIQUI:  
14 A. If they are very concerned, I would definitely  
15 see them whenever they want to come in.  
16 MS. NEWBURY:  
17 Q. And did you receive any of those calls?  
18 DR. SIDDIQUI:  
19 A. I'm trying to remember. Not that come to my  
20 mind right now.  
21 MS. NEWBURY:  
22 Q. You'd made reference this morning to the value  
23 of the tumour panel, and I believe in giving  
24 your evidence you made reference to the tumour  
25 board and I think you've indicated that that's

Page 236

1 very good information that comes as a result  
2 of a case being reviewed by the tumour board,  
3 and I wonder if you can tell me what your  
4 general practice is if you have a patient  
5 whose treatment or diagnosis is being  
6 considered by a tumour board, would you attend  
7 that particular session and present the case  
8 or observe the case if you might be one of a  
9 group of oncologists involved in that  
10 treatment or diagnosis?  
11 DR. SIDDIQUI:  
12 A. I'll try my best to attend that.  
13 MS. NEWBURY:  
14 Q. And why is that?  
15 DR. SIDDIQUI:  
16 A. Usually at tumour boards, the decisions are a  
17 little bit more complex. That is when you  
18 require a multi-modality approach, you require  
19 input, you have some questions about the  
20 radiology, you have some questions whether the  
21 surgeons would approach this patient or not,  
22 you have questions about radiation or if  
23 that's the best option for that or not. So  
24 there is usually multi-modality and more  
25 complex questions.

Page 237

1 MS. NEWBURY:  
 2 Q. Uh-hm.  
 3 DR. SIDDIQUI:  
 4 A. And you would like to be there to explain  
 5 those, what is the reason of putting a patient  
 6 to the tumour board.  
 7 MS. NEWBURY:  
 8 Q. Okay, and do you think that process might have  
 9 been beneficial for the tumour panel process  
 10 as well? I understand from your evidence this  
 11 morning there might have been some impediments  
 12 to that, it might have been difficult to do,  
 13 but putting those obstacles aside, do you  
 14 think it would have been beneficial for you to  
 15 be present at these panel reviews?  
 16 DR. SIDDIQUI:  
 17 A. I would think that if they have information,  
 18 what they think that they need, and they think  
 19 then that they're going to make a  
 20 recommendation with available information that  
 21 they wanted, it would be reasonable for them  
 22 to go ahead. If they want to involve that  
 23 physician, that would definitely be a good  
 24 idea, I'm not against that.  
 25 MS. NEWBURY:

Page 238

1 Q. So I understand that you're saying that it may  
 2 not be necessary for the panel review to do  
 3 that, but do you think there might be some  
 4 benefit more than just being necessary, but  
 5 actually have some sort of additional value to  
 6 having you present there, maybe in terms of  
 7 communicating with the patient when you  
 8 ultimately meet with them?  
 9 DR. SIDDIQUI:  
 10 A. I would think that probably interview patient  
 11 if somebody has progressed or something has  
 12 happened by that time period. It may be a bit  
 13 helpful, but it's usually in the chart. If  
 14 the notes are in there, usually they can get  
 15 information of what's going on.  
 16 MS. NEWBURY:  
 17 Q. Dr. Siddiqui, in terms of scheduling  
 18 appointments, those who required treatment  
 19 changes and those who didn't, how much time  
 20 was set aside to meet with these patients to  
 21 discuss the results of retesting and any  
 22 impact on treatment?  
 23 DR. SIDDIQUI:  
 24 A. There are two things; what they were booked  
 25 for, and second thing is how much time was

Page 239

1 actually given.  
 2 MS. NEWBURY:  
 3 Q. Uh-hm, yes.  
 4 DR. SIDDIQUI:  
 5 A. Our system books follow-up patients for twenty  
 6 minutes.  
 7 MS. NEWBURY:  
 8 Q. Uh-hm.  
 9 DR. SIDDIQUI:  
 10 A. And new patients for one hour. So I think  
 11 many of them were booked for follow-up, but I  
 12 can speak from my side that I won't be out of  
 13 the room until I say do you have any other  
 14 questions.  
 15 MS. NEWBURY:  
 16 Q. Okay, and --  
 17 DR. SIDDIQUI:  
 18 A. And if they don't, then I leave the room.  
 19 MS. NEWBURY:  
 20 Q. And -  
 21 DR. SIDDIQUI:  
 22 A. So some of my conversations, I remember one or  
 23 two patients lasted for more than an hour.  
 24 MS. NEWBURY:  
 25 Q. Yes, you indicated that this morning that some

Page 240

1 perhaps as long as an hour and a half.  
 2 DR. SIDDIQUI:  
 3 A. Yeah.  
 4 MS. NEWBURY:  
 5 Q. I'm wondering if that opportunity was given to  
 6 all patients or maybe some of them may not  
 7 have expressed a desire to stay a little bit  
 8 longer than the 20 minutes, for example.  
 9 DR. SIDDIQUI:  
 10 A. They're never asked to leave at the end of 20  
 11 minutes. They are there for as long as they  
 12 want to be and for as long, again I can speak  
 13 for myself, as long as if they have any  
 14 questions. I would never ask a patient to  
 15 leave.  
 16 MS. NEWBURY:  
 17 Q. Okay.  
 18 DR. SIDDIQUI:  
 19 A. For as long as--usually it's not just for  
 20 this. Whenever I see a patient, usually my  
 21 first question is "anything new since I last  
 22 saw you?" and the last thing is that "do you  
 23 have any other questions?" It's only when  
 24 that they say no, that I usually leave the  
 25 room.

Page 241

1 MS. NEWBURY:  
 2 Q. And I think you indicated that some patients,  
 3 you discussed this issue on more than one  
 4 occasion in follow up visits. I'm wondering  
 5 if that option was made available to all of  
 6 your patients. Perhaps some of those may not  
 7 even be returning for a regularly scheduled  
 8 follow-up appointment. Would that option have  
 9 been made available to them that "listen, if  
 10 you have any questions -  
 11 DR. SIDDIQUI:  
 12 A. It's entirely up to the patient. I would say  
 13 if they think that they get all the  
 14 information and they were satisfied up to that  
 15 extent, that could be the information that  
 16 they needed. This particular patient that I  
 17 pointed to, she wanted to talk to me again, so  
 18 she was brought in again, whenever she wanted  
 19 to.  
 20 MS. NEWBURY:  
 21 Q. So you feel comfortable then that all of the  
 22 patients that you saw would have realized that  
 23 they could come back and see you if they had  
 24 any other questions?  
 25 DR. SIDDIQUI:

Page 242

1 A. They can still. They can come back any time.  
 2 MS. NEWBURY:  
 3 Q. I just wanted to ask you a couple of questions  
 4 on some of the letters that you received from  
 5 the panel, and that's Exhibit P-2545, please,  
 6 and on page one, I'm not sure to what extent  
 7 you can recall the patient behind this  
 8 particular letter, and obviously nothing  
 9 should be identified in terms of the  
 10 individual there, or even if you could speak  
 11 generally to how you might have proceeded in  
 12 this case here, in terms of your communication  
 13 with the patient, and I'm wondering whether  
 14 the communication with the patient would have  
 15 focused primarily on the information in this  
 16 panel letter or if you would have elaborated  
 17 on other information and, as an example, this  
 18 is a case that you've mentioned this morning  
 19 that the patient had a right breast cancer and  
 20 had initially been diagnosed with left breast  
 21 cancer, and this morning, I don't think you  
 22 were able to say for sure whether there were  
 23 two different primary cancers or whether one  
 24 was -  
 25 DR. SIDDIQUI:

Page 243

1 A. You cannot say that just on the basis of that.  
 2 You have to look at the chart. We're just  
 3 speculating.  
 4 MS. NEWBURY:  
 5 Q. In the event that--and again, this is a bit of  
 6 a hypothetical, but in the event that the  
 7 left--or the right breast cancer was a  
 8 recurrence of the left breast cancer, would  
 9 there have been any sort of general discussion  
 10 about what might have caused that or whether  
 11 there was any impact by having any delay  
 12 treatment with Tamoxifen as an example?  
 13 DR. SIDDIQUI:  
 14 A. First is that this particular patient, I don't  
 15 really remember, so I'll have to look at the  
 16 chart to see what exactly that patient has,  
 17 and second, if you're asking that a delay in  
 18 the treatment of Tamoxifen, would that have  
 19 affected the outcome, that's possible, if it  
 20 is spread over years. However, there are  
 21 other things. It's not as simple as black and  
 22 white. The overall benefit of Tamoxifen, if  
 23 I'm not mistaken, and the breast specialist  
 24 could probably confirm that, is about nine  
 25 percent reduction in overall mortality in five

Page 244

1 years. So this is a number and chemotherapy  
 2 itself has its own value too. So if the  
 3 patient got chemo, Tamoxifen benefit would be  
 4 additive to that. So all those things have to  
 5 be considered before.  
 6 MS. NEWBURY:  
 7 Q. Right, and I can appreciate that they're  
 8 certainly not black and white issues here, but  
 9 I'm just wondering--I'm focusing on the  
 10 communication with the patient and whether  
 11 those types of factors would have been  
 12 discussed with the patient at the time.  
 13 DR. SIDDIQUI:  
 14 A. What I usually--I can tell you what I do when  
 15 I see those patients. What I usually did was  
 16 that I started--I would start from the first  
 17 pathology, that this was the first pathology,  
 18 the treatment, if we did any treatment at that  
 19 time, that this was the treatment that we  
 20 offered to you or not offered, whatever  
 21 happened at that time, and then this is your  
 22 pathology report, which has come in, and then  
 23 this letter, I'll talk about this letter, if I  
 24 refer that with me, that this is the  
 25 recommendations and do I agree with that or

Page 245	Page 247
<p>1 not, which I did most of the times.</p> <p>2 MS. NEWBURY:</p> <p>3 Q. Okay, and would you have recorded, in your</p> <p>4 patient file, all of the issues that you</p> <p>5 discussed with the patient? Perhaps not word</p> <p>6 for word, but at least to cover off all of the</p> <p>7 different categories?</p> <p>8 DR. SIDDIQUI:</p> <p>9 A. I tried to cover as much as I could, but every</p> <p>10 single question that patient asked, did I</p> <p>11 record every single question? Probably not.</p> <p>12 MS. NEWBURY:</p> <p>13 Q. The second letter, page two of that exhibit,</p> <p>14 and I think you indicated this morning that</p> <p>15 this patient would have been treated with</p> <p>16 Tamoxifen initially, and that was based upon</p> <p>17 the PR results that were positive on the</p> <p>18 initial testing back in 2003. I'm just</p> <p>19 wondering if the results of ER, negative ER</p> <p>20 back in 2003, whether that might have impacted</p> <p>21 other aspects of this patient's treatment, in</p> <p>22 terms of whether or not the same chemotherapy</p> <p>23 or radiation would have been provided to that</p> <p>24 patient?</p> <p>25 DR. SIDDIQUI:</p>	<p>1 MS. NEWBURY:</p> <p>2 Q. Okay, and would those variables have been</p> <p>3 discussed with the patient at the time? I'm</p> <p>4 just wondering whether the focus here was on</p> <p>5 the Tamoxifen, whether or not there should be</p> <p>6 any changes there with regard to hormonal</p> <p>7 treatment or whether there would be a</p> <p>8 reevaluation as to whether the initial other</p> <p>9 types of treatment such as chemotherapy and</p> <p>10 radiation was appropriate or not for her, just</p> <p>11 to let her know about it?</p> <p>12 DR. SIDDIQUI:</p> <p>13 A. Again, I'm just sort of hypothesizing.</p> <p>14 MS. NEWBURY:</p> <p>15 Q. Sure.</p> <p>16 DR. SIDDIQUI:</p> <p>17 A. That if there was a patient like that and a</p> <p>18 patient had a question, you would definitely</p> <p>19 address that. That's one thing, and again, if</p> <p>20 you are asking that on the basis of a change</p> <p>21 in hormone receptor was the chemo done or not</p> <p>22 done, I don't know. That would depend on</p> <p>23 individual patients you could talk about.</p> <p>24 MS. NEWBURY:</p> <p>25 Q. Would it be up to the patient to initiate that</p>
<p>Page 246</p> <p>1 A. Again, that I'll have to individualize and</p> <p>2 look at the chart, but I would think, and I</p> <p>3 can talk about the hormonal part over here,</p> <p>4 that if the patient was offered Tamoxifen and</p> <p>5 with this ER/PR of E being zero and P being 80</p> <p>6 to 90 percent and at a later date, she was</p> <p>7 found to be ER at 25 and PR at two, so this is</p> <p>8 the actual report, so whatever benefit she was</p> <p>9 supposed to get, she is getting it because she</p> <p>10 was on the appropriate treatment right from</p> <p>11 the start.</p> <p>12 MS. NEWBURY:</p> <p>13 Q. Okay. So because she was on the proper</p> <p>14 treatment with Tamoxifen, would you say that</p> <p>15 she was also on the proper treatment in terms</p> <p>16 of the type of chemotherapy, if any?</p> <p>17 DR. SIDDIQUI:</p> <p>18 A. That again depends on number of things.</p> <p>19 MS. NEWBURY:</p> <p>20 Q. Okay.</p> <p>21 DR. SIDDIQUI:</p> <p>22 A. How old was the patient, how big was the</p> <p>23 tumour, were there any lymph node involved,</p> <p>24 was she ever offered any chemotherapy at any</p> <p>25 point, so these are a lot of variables.</p>	<p>Page 248</p> <p>1 question as to whether or not the initial</p> <p>2 chemotherapy or radiation treatment was</p> <p>3 appropriate or would you take it upon yourself</p> <p>4 to review that information and advise the</p> <p>5 patient accordingly?</p> <p>6 DR. SIDDIQUI:</p> <p>7 A. I think it depends on patient to patient and</p> <p>8 physician to physician. I had a lot of</p> <p>9 patients who had asked that, and I even have</p> <p>10 patients now who ask that, since this all</p> <p>11 started. So people are more aware of these</p> <p>12 things. They ask those.</p> <p>13 MS. NEWBURY:</p> <p>14 Q. Okay, and those types of discussions, would</p> <p>15 you record that in the patient files, if you</p> <p>16 had a discussion about the other--the</p> <p>17 appropriateness of other treatment?</p> <p>18 DR. SIDDIQUI:</p> <p>19 A. I would record as much as I could, and again,</p> <p>20 if I have one-hour long discussion with the</p> <p>21 patient, description of that would probably</p> <p>22 take 20 pages.</p> <p>23 MS. NEWBURY:</p> <p>24 Q. But just generally to -</p> <p>25 DR. SIDDIQUI:</p>

Page 249	Page 251
<p>1 A. General -</p> <p>2 MS. NEWBURY:</p> <p>3 Q. - to point out the fact that it was discussed</p> <p>4 and perhaps not in detail in your notes, but</p> <p>5 you would at least highlight the fact that</p> <p>6 that type of discussion took place regarding</p> <p>7 appropriateness of other treatment, aside from</p> <p>8 hormonal treatment?</p> <p>9 DR. SIDDIQUI:</p> <p>10 A. Again, I think that would vary from patient to</p> <p>11 patient. If it was a big concern and a big</p> <p>12 discussion happened on that, I probably would.</p> <p>13 MS. NEWBURY:</p> <p>14 Q. Okay. Aside from communicating that</p> <p>15 information that you've just described a few</p> <p>16 minutes earlier to the patients, did you talk</p> <p>17 about some more general issues relating to the</p> <p>18 ER/PR retesting, the reasons for the retesting</p> <p>19 and the causes of problems which led to</p> <p>20 retesting? Did you have a practice of</p> <p>21 discussing that with each of your patients?</p> <p>22 DR. SIDDIQUI:</p> <p>23 A. Most of the time, I told them that there was a</p> <p>24 repeat done and as I said earlier today, if</p> <p>25 somebody asked, some technical difficulties, I</p>	<p>1 MS. NEWBURY:</p> <p>2 Q. Did you advise them what was being done by</p> <p>3 Eastern Health to address the problems?</p> <p>4 DR. SIDDIQUI:</p> <p>5 A. I don't think I really commented on that. I</p> <p>6 commented on my part and the test results and</p> <p>7 the panel letters.</p> <p>8 MS. NEWBURY:</p> <p>9 Q. Okay. So you were focusing on then, in your</p> <p>10 role on the treatment of the patients?</p> <p>11 DR. SIDDIQUI:</p> <p>12 A. Yeah. I don't remember talking to any patient</p> <p>13 about what Eastern Health had done.</p> <p>14 MS. NEWBURY:</p> <p>15 Q. Okay, or about any steps being taken in the</p> <p>16 lab to fix the problems with ER/PR retesting?</p> <p>17 DR. SIDDIQUI:</p> <p>18 A. I don't remember talking to anybody like that.</p> <p>19 MS. NEWBURY:</p> <p>20 Q. Did you offer an apology to your patients, as</p> <p>21 a general rule, either I guess on behalf of</p> <p>22 yourself or the system generally?</p> <p>23 DR. SIDDIQUI:</p> <p>24 A. I do feel sorry for them, but was there</p> <p>25 something that I did, I don't know. I don't</p>
<p>Page 250</p> <p>1 think that's what we had up to so far, and if</p> <p>2 they asked me specifically what technical</p> <p>3 difficulties, I would tell them that because I</p> <p>4 still don't know exactly, we're trying to find</p> <p>5 that out.</p> <p>6 MS. NEWBURY:</p> <p>7 Q. Okay, and did you indicate to those patients</p> <p>8 who were inquiring about the nature of</p> <p>9 technical difficulties whether they would</p> <p>10 ultimately be advised as to the nature of that</p> <p>11 or that their questions would be answered</p> <p>12 somewhere down the road, or did you even have</p> <p>13 that information to give to them?</p> <p>14 DR. SIDDIQUI:</p> <p>15 A. Did I say that? I don't know if I said that</p> <p>16 or not, but I think if somebody is one of</p> <p>17 those patients who are--we are talking about</p> <p>18 today, I'm sure they would be following up</p> <p>19 what's going on.</p> <p>20 MS. NEWBURY:</p> <p>21 Q. Did you advise the patients that you met what</p> <p>22 was being done to address the problems that</p> <p>23 caused the ER/PR retesting?</p> <p>24 DR. SIDDIQUI:</p> <p>25 A. That I have what?</p>	<p>Page 252</p> <p>1 think that there was something that we know</p> <p>2 that what actually happened and where the</p> <p>3 problem was. I really feel sorry for them.</p> <p>4 MS. NEWBURY:</p> <p>5 Q. Sure.</p> <p>6 DR. SIDDIQUI:</p> <p>7 A. But that's what I would feel, and I would say.</p> <p>8 I would empathise with them, which I do. I</p> <p>9 feel sorry for the hardship that they have to</p> <p>10 go through.</p> <p>11 MS. NEWBURY:</p> <p>12 Q. Okay, and you did express that to the</p> <p>13 patients?</p> <p>14 DR. SIDDIQUI:</p> <p>15 A. I would, and I think the one that we discussed</p> <p>16 today and yesterday, Mrs. White, she mentioned</p> <p>17 in her testimony as well that we had a lengthy</p> <p>18 discussion. All the questions were answered.</p> <p>19 All the informations were given.</p> <p>20 MS. NEWBURY:</p> <p>21 Q. And you feel you did that with each of the</p> <p>22 patients that you met with?</p> <p>23 DR. SIDDIQUI:</p> <p>24 A. As much as I could.</p> <p>25 MS. NEWBURY:</p>

Page 253	Page 255
<p>1 Q. Did you offer any information about any 2 supportive resources that might be available 3 through Eastern Health for the patients, if 4 such resources were available? 5 DR. SIDDIQUI: 6 A. I don't know of any specific patient, but I 7 would think, and again I would think that if 8 there were some requirements, my nurses would 9 refer them to a counsellor or a social worker, 10 but it actually happened, I don't remember of 11 any particular patient. 12 MS. NEWBURY: 13 Q. Do you know if anyone else at Eastern Health 14 was given the task of meeting with patients or 15 calling them or communicating with them in any 16 way to advise them, for example, what might be 17 done to address the problems in the lab with 18 the ER/PR retesting or to offer an official 19 apology on behalf of - 20 DR. SIDDIQUI: 21 A. With individual patients? 22 MS. NEWBURY: 23 Q. Yes. 24 DR. SIDDIQUI: 25 A. I don't know of that.</p>	<p>1 A. For pathology, I called Dr. Denic a few times, 2 and he was--I know that he was very swamped 3 with work, but he was always responsive to 4 that. I think I might have spoken with him 5 once or twice. 6 MS. NEWBURY: 7 Q. Okay. How about the communication issues, how 8 to communicate or what to communicate to the 9 patients? 10 DR. SIDDIQUI: 11 A. I just basically told them what I knew. 12 MS. NEWBURY: 13 Q. Okay. 14 DR. SIDDIQUI: 15 A. And most of my conversations were about the 16 treatment related part. Most of the patients, 17 when they would come in, they would say that 18 "we understand that this was not done by you." 19 But since I am the one who is treating them 20 before and I'm the one who is going to take 21 care of them afterwards with this change, so 22 they were a bit angry with me to start with. 23 I had quite a few patients like that. But 24 that, most of the time, was a short-lived 25 thing.</p>
<p>Page 254</p> <p>1 MS. NEWBURY: 2 Q. You didn't know at the time that you were 3 meeting with the patients whether anyone else 4 at Eastern Health - 5 DR. SIDDIQUI: 6 A. I don't know if they ever did. 7 MS. NEWBURY: 8 Q. Okay. Were you provided with any resources 9 yourself, anyone to call to assist you with 10 your dialogue with the patients that you met 11 to discuss the panel review results? 12 DR. SIDDIQUI: 13 A. You mean any prior - 14 MS. NEWBURY: 15 Q. Yes. 16 DR. SIDDIQUI: 17 A. - something in preparation from my part? 18 MS. NEWBURY: 19 Q. Or any time along the way, if you had a 20 question and you weren't sure how to respond 21 to certain inquiries from patients, were you 22 given any resources or the name of an 23 individual you could call for any advice or 24 additional information? 25 DR. SIDDIQUI:</p>	<p>Page 256</p> <p>1 MS. NEWBURY: 2 Q. Dr. Siddiqui, this morning you'd referred to 3 guidelines for follow up and you mentioned it 4 again a few minutes ago. Are these written 5 guidelines for follow up with patients? 6 DR. SIDDIQUI: 7 A. Yeah. There are more than one sources. These 8 guidelines are, the first one there from, I 9 think if I'm not mistaken, from American 10 Society of Clinical Oncology, and that here in 11 our institution, it has been reviewed and 12 updated. 13 MS. NEWBURY: 14 Q. Okay. So Eastern Health has its own - 15 DR. SIDDIQUI: 16 A. We do have our guidelines in terms of follow 17 up and discharge for breast cancer. We are 18 trying to come up with other guidelines as 19 well. 20 MS. NEWBURY: 21 Q. Do you know if there have been any 22 modifications to those guidelines to address 23 patients who were involved in the ER/PR 24 retesting, just to acknowledge that perhaps 25 they didn't receive the treatment in the</p>



Page 257

1 normal course that they would have if their  
2 results had been known from the beginning?

3 DR. SIDDIQUI:

4 A. I don't think that there is any, and I don't  
5 know if they would really need any special  
6 guidelines.

7 MS. NEWBURY:

8 Q. And why is that?

9 DR. SIDDIQUI:

10 A. Say if somebody was picked up six years  
11 afterwards, the guidelines to follow up is  
12 that after five years, for the cancer part,  
13 they should be seen once a year. So right  
14 now, they would be seen more frequently than  
15 once a year anyway, right.

16 MS. NEWBURY:

17 Q. Because they're taking hormone therapy?

18 DR. SIDDIQUI:

19 A. They were picked up, and until they are  
20 settled. Once you start somebody on new  
21 treatment or even a new pill, you see them a  
22 couple of times afterwards to make sure that  
23 everything is fine. You review the blood  
24 work. You go through the toxicity profile.  
25 So those patients would be seen.

Page 258

1 MS. NEWBURY:

2 Q. So in your view then, the existing guidelines  
3 wouldn't have to be altered for any reason to  
4 specifically address those patients who were  
5 involved in ER/PR retesting?

6 DR. SIDDIQUI:

7 A. I think all those patients could be looked at  
8 individually. These guidelines are done as a  
9 general--if some, one particular patient has a  
10 particular need, patients are more important  
11 than the guidelines themselves.

12 MS. NEWBURY:

13 Q. Sure.

14 DR. SIDDIQUI:

15 A. And if one patient has any particular need,  
16 that could be modified for that one. It could  
17 be adjusted.

18 MS. NEWBURY:

19 Q. And is there any--do you think there will be  
20 any consideration as to whether or not there  
21 should be a bit of an analysis there to see  
22 whether or not the cancer clinic should look  
23 at following these patients more frequently,  
24 just to recognize the fact that they didn't  
25 have perhaps the same chemotherapy or hormone

Page 259

1 or radiation treatment program that they might  
2 otherwise have had?

3 DR. SIDDIQUI:

4 A. I don't know of one, but I don't think it  
5 would be a bad idea.

6 MS. NEWBURY:

7 Q. Now Dr. Siddiqui, when you were discussing the  
8 patient, Beverly Green, this morning, and I  
9 think you expressed some, I guess, shock or  
10 frustration because she hadn't accepted  
11 Tamoxifen from the beginning and you had  
12 indicated that you didn't know what was in her  
13 mind at the time, her reasons for refusing the  
14 Tamoxifen back in around 2002, would that have  
15 made it perhaps even more important to have  
16 met with Ms. Green right away, to let her know  
17 about the new results from Mount Sinai, given  
18 that you don't know what her reasons were for  
19 refusing it back in 2002, perhaps the new  
20 results might have had some impact upon her  
21 decision to reconsider that decision?

22 DR. SIDDIQUI:

23 A. I did that, and I offered her treatment and  
24 she refused again in November of 2006.

25 MS. NEWBURY:

Page 260

1 Q. Okay, but that, I think the meeting with her  
2 was some months after you received the letter  
3 from the panel. Do you think it might have  
4 been perhaps useful to have met with her  
5 earlier, in case that she wanted to reconsider  
6 the decision at that time?

7 DR. SIDDIQUI:

8 A. I mean, we can think about it in a different  
9 way now, but if she has refused in November,  
10 I'm not sure if she would have a different  
11 decision a bit earlier.

12 MS. NEWBURY:

13 Q. Right, but you didn't know that at the time?

14 DR. SIDDIQUI:

15 A. I did not know that at that time.

16 MS. NEWBURY:

17 Q. Okay. Thank you, Dr. Siddiqui. Those are all  
18 the questions I have for you.

19 THE COMMISSIONER:

20 Q. Mr. Browne?

21 MR. BROWNE:

22 Q. Thank you, Commissioner.

23 CROSBIE, Q.C.:

24 Q. I do have some questions, Commissioner.  
25 (inaudible) be in order.

1 THE COMMISSIONER:  
2 Q. Ms. Brocklehurst told me this morning there  
3 were no questions.  
4 CROSBIE, Q.C.:  
5 Q. That's before she spoke to me at lunch time.  
6 THE COMMISSIONER:  
7 Q. Mr. Browne, I'm afraid you're going to be  
8 delayed a bit. Come forward, Mr. Crosbie.  
9 CROSBIE, Q.C.:  
10 Q. Thank you.  
11 DR. JEHAN SIDDIQUI, EXAMINATION BY CHESLEY CROSBIE, Q.C.  
12 CROSBIE, Q.C.:  
13 Q. Good afternoon, Dr. Siddiqui.  
14 DR. SIDDIQUI:  
15 A. Good afternoon.  
16 CROSBIE, Q.C.:  
17 Q. Ches Crosbie, I represent the members of the  
18 Breast Cancer Testing Class Action.  
19 DR. SIDDIQUI:  
20 A. Um-hm.  
21 CROSBIE, Q.C.:  
22 Q. Sir, I had some items of clarification from  
23 what you talked about this morning. Could I  
24 ask that document P-0113 be brought up,  
25 please, and page 8 of that? Here, sir, you'll

1 DR. SIDDIQUI:  
2 A. We can look at the dates again. I think the  
3 first meeting of the committee was on April  
4 15th, 2003. And as you can see that this  
5 document was, I think, sent mostly towards  
6 pathologists. It would say probably on top of  
7 this document whom did that go to.  
8 Committee's first met, two pathologists -  
9 CROSBIE, Q.C.:  
10 Q. To pathologists. (phonetic)  
11 DR. SIDDIQUI:  
12 A. Yeah. And the committees member, basically  
13 there were two pathologists in that committee,  
14 if you look at the attendance in there.  
15 Myself, Dr. Tennant, Dr. Dawson and Dr.  
16 Battcock is another pathologist.  
17 CROSBIE, Q.C.:  
18 Q. I'm sorry, Doctor?  
19 DR. SIDDIQUI:  
20 A. The five names that I said, myself, Dr.  
21 Tennant, Dr. Dawson, Dr. Battcock and there  
22 were two other surgical members initially, Dr.  
23 Thava and Dr. Kwan.  
24 CROSBIE, Q.C.:  
25 Q. Yes.

1 note this is the surgical pathology review  
2 committee minutes of meeting, September 23,  
3 2003, and your name is listed as present?  
4 DR. SIDDIQUI:  
5 A. Yes.  
6 CROSBIE, Q.C.:  
7 Q. And so obviously you were a member of that  
8 committee. When did you become a member of  
9 the committee?  
10 DR. SIDDIQUI:  
11 A. That was in April of 2003. And that was when,  
12 Doctor, would it be from--if we go to page 1  
13 of that same document or same exhibit, that I  
14 think is the earliest in the chain of this  
15 exhibit, April 4th. In this memorandum Dr.  
16 Ejeckam, you can see it's signed by him. If  
17 you just bring it down there, is announcing  
18 the closing of the service. And you'll notice  
19 around line 3 he's talking about "Certain  
20 tests, including for ER and PR have remained  
21 unreliable, erratic and therefore unhelpful  
22 for diagnostic purposes." And saying that the  
23 staining with these antibodies will stop until  
24 the problem is sorted out. Were you a member-  
25 -was the committee in existence at that point?

1 DR. SIDDIQUI:  
2 A. They are not pathologists, so that memo would  
3 not have gone to them.  
4 CROSBIE, Q.C.:  
5 Q. Okay. Now that we're looking at page 8, you  
6 are, in fact, the only medical oncologist  
7 listed there?  
8 DR. SIDDIQUI:  
9 A. Yeah.  
10 CROSBIE, Q.C.:  
11 Q. So you're the only medical oncologist member  
12 for that committee?  
13 DR. SIDDIQUI:  
14 A. That's right.  
15 CROSBIE, Q.C.:  
16 Q. Did you see the memo that we just looked at  
17 from Dr. Ejeckam in which he announced  
18 suspension of the testing?  
19 DR. SIDDIQUI:  
20 A. I saw this first time when I was interviewed  
21 in March of this year.  
22 CROSBIE, Q.C.:  
23 Q. Just keep this straight now. In this exhibit  
24 it's page 1. This memo of April 4th, 2003 you  
25 say you only saw recently this year?

Page 265	Page 267
<p>1 DR. SIDDIQUI: 2 A. March of this year. 3 CROSBIE, Q.C.: 4 Q. What about if we go to page 2, there's another 5 memo dated May 2nd, 2003 from Dr. Ejeckam, 6 it's addressed to pathologists, do you recall 7 reading this memorandum back in 2003? 8 DR. SIDDIQUI: 9 A. No. I also saw this for the first time in 10 March of this year. 11 CROSBIE, Q.C.: 12 Q. And if we go ahead to page 5, there's another 13 memo from Dr. Ejeckam addressed to Mr. 14 Gulliver. 15 DR. SIDDIQUI: 16 A. I'm sorry, there's one correction. 17 CROSBIE, Q.C.: 18 Q. Yes. 19 DR. SIDDIQUI: 20 A. I saw both of those memos when I was 21 interviewed. I think it was March, but I'll 22 have to check the exact date whenever I was 23 interviewed. It was just before that that I 24 saw those. 25 CROSBIE, Q.C.:</p>	<p>1 presented on that committee. 2 CROSBIE, Q.C.: 3 Q. They weren't tabled or discussed at any 4 committee meeting which you attended, is that 5 what you say? 6 DR. SIDDIQUI: 7 A. Dr. Ejeckam I think in the first meeting he 8 had mentioned that they were--they had some 9 technical difficulties, and that is my 10 recollection of that. In the first meeting I 11 think we can look at, confirm the dates again, 12 that was, I think, in April of 2003, and 13 that's when she had mentioned that there are 14 some technical difficulties. And that would 15 be my--that's what I would remember from that 16 meeting. 17 CROSBIE, Q.C.: 18 Q. Just looking at the page we have in front of 19 us which is page 7 in the exhibit, page 3 of 20 that memo from June from Dr. Ejeckam, when he 21 talks about "surely jeopardize patient care" 22 it would seem that we're talking about more 23 than really technical problems, would you 24 agree? 25 DR. SIDDIQUI:</p>
<p>Page 266</p> <p>1 Q. Okay. My main point, though, or what I want 2 to understand from you, is were you privy to 3 these documents back in 2003 when the 4 suspension occurred and then testing was 5 reinstated, also the one at page 5, the June 6 19th, 2003 memo which is in front of you 7 there, were you privy to this? 8 DR. SIDDIQUI: 9 A. No. 10 CROSBIE, Q.C.: 11 Q. All right. So this is the one which, of 12 course, at page 7, if we can advance to page 13 7, finishes up under paragraph 6 by saying, 14 halfway down paragraph 6, "Diagnosis based on 15 inappropriate immunostain will surely 16 jeopardize patient care and may even expose 17 the hospital to litigation." You didn't see 18 that one before this year? 19 DR. SIDDIQUI: 20 A. No. 21 CROSBIE, Q.C.: 22 Q. Despite being on the committee as of April, 23 2003? 24 DR. SIDDIQUI: 25 A. I don't remember that these memos are</p>	<p>Page 268</p> <p>1 A. I think it is technical problem that would 2 eventually do that. 3 CROSBIE, Q.C.: 4 Q. Would eventually do that but not yet? 5 DR. SIDDIQUI: 6 A. I don't know. 7 CROSBIE, Q.C.: 8 Q. Was it discussed at your committee whether 9 there was an issue of actual patient care live 10 at that time, in 2003? 11 DR. SIDDIQUI: 12 A. And as I said on Friday, as well, what I 13 remember from this committee is basically from 14 what is in the minutes and I can look at the 15 minute of each one of those and then I can 16 answer your question, as well. And the minute 17 of the--sorry, the April, 2003 one, Doctor, I 18 think, Ejeckam, he had mentioned of that 19 problem, that there's a technical problem. 20 And I think in the follow-up one, which was in 21 September he had mentioned that the technical 22 problem is corrected. 23 CROSBIE, Q.C.: 24 Q. I gather from what you've said you didn't 25 develop a concern that there was an issue</p>

Page 269	Page 271
<p>1 about the reliability of ER/PR status testing</p> <p>2 in 2003?</p> <p>3 DR. SIDDIQUI:</p> <p>4 A. I would have to wait for them to let me know</p> <p>5 or actually let my department know. I get</p> <p>6 technical problems, as well, when we are</p> <p>7 making call schedules or some other things and</p> <p>8 sometimes I discuss with my colleagues as well</p> <p>9 about that. But we get those things done and</p> <p>10 it doesn't mean that they have to start coming</p> <p>11 and asking me every single day about that. I</p> <p>12 would think that these are the appropriate</p> <p>13 people who know the problem. And he had</p> <p>14 mentioned that sometime that they know how far</p> <p>15 the problem goes, that these are the ones that</p> <p>16 have to look at, to address the and to solve</p> <p>17 the issue. So if they know the problem, they</p> <p>18 know what exactly is wrong, they're looking at</p> <p>19 it, so my expectation and understanding would</p> <p>20 be that they'll take care of it. And if some</p> <p>21 point they feel it is up to such extent that</p> <p>22 patient care is directly affected, there is a</p> <p>23 way to do that and that would be that they</p> <p>24 would send a letter to our department or to</p> <p>25 individual oncologists and would ask them not</p>	<p>1 the medical oncologist or gyne or radiation</p> <p>2 oncologists.</p> <p>3 CROSBIE, Q.C.:</p> <p>4 Q. Again, you didn't get information coming to</p> <p>5 your attention as a member of the committee</p> <p>6 that said to you there is a patient care</p> <p>7 issue? That's what I'm taking from this?</p> <p>8 DR. SIDDIQUI:</p> <p>9 A. What I can say is that I was never asked to</p> <p>10 stop considering the results of those reports</p> <p>11 or not to take them into account when I'm</p> <p>12 treating patients or making decisions.</p> <p>13 CROSBIE, Q.C.:</p> <p>14 Q. What was your function on the committee as the</p> <p>15 sole medical oncologist?</p> <p>16 DR. SIDDIQUI:</p> <p>17 A. There were seven things in the mandate all</p> <p>18 what the committee wanted to do. Among</p> <p>19 others, my main concern would be a</p> <p>20 standardized reporting system. That is</p> <p>21 something which is very dear to us, all of us.</p> <p>22 And the second thing would be the discussion</p> <p>23 of important cases. Plus, there were others</p> <p>24 and of course, I would like to put my input</p> <p>25 into those, as well, but these two would be</p>
Page 270	Page 272
<p>1 to follow-up on those test results.</p> <p>2 CROSBIE, Q.C.:</p> <p>3 Q. What I'm getting from this is that you were</p> <p>4 depending on the pathologists to let you know</p> <p>5 as an oncologist whether there was a patient</p> <p>6 care issue?</p> <p>7 DR. SIDDIQUI:</p> <p>8 A. I'm sorry?</p> <p>9 CROSBIE, Q.C.:</p> <p>10 Q. You were depending on the pathologists to let</p> <p>11 you know if there's a patient care issue?</p> <p>12 DR. SIDDIQUI:</p> <p>13 A. I'm depending on the pathologists for the</p> <p>14 report.</p> <p>15 CROSBIE, Q.C.:</p> <p>16 Q. For a report?</p> <p>17 DR. SIDDIQUI:</p> <p>18 A. For the report and want the pathologist to</p> <p>19 take responsibility of their report. And if</p> <p>20 they are sending me a report, my understanding</p> <p>21 would be that they know about this problem, if</p> <p>22 they are sending me a report, they have looked</p> <p>23 at those things and if they are still sending</p> <p>24 it to me, they have considered all those</p> <p>25 things before it is coming to the surgeon or</p>	<p>1 the most important to me.</p> <p>2 CROSBIE, Q.C.:</p> <p>3 Q. And again, what I'm taking from this is no</p> <p>4 pathologist or anyone else, for that matter,</p> <p>5 brought it squarely to your attention and</p> <p>6 consideration, here are the issues we've been</p> <p>7 facing in the lab, now as a person who works</p> <p>8 with that information to make treatment</p> <p>9 decisions and recommendations to patients on</p> <p>10 treatment, are you concerned about the</p> <p>11 reliability or accuracy of the testing? No</p> <p>12 one squarely brought that issue to your</p> <p>13 attention, is that what you're saying?</p> <p>14 DR. SIDDIQUI:</p> <p>15 A. I would be definitely concerned. But at the</p> <p>16 same time I know that the people who are</p> <p>17 eventually going to solve that issue, they</p> <p>18 know that and if he is still sending a report</p> <p>19 to he is aware of the problem, he has</p> <p>20 considered all those things before a report</p> <p>21 has come to me or to any of the other</p> <p>22 oncologists.</p> <p>23 CROSBIE, Q.C.:</p> <p>24 Q. And you got no information that would have</p> <p>25 given you a concern about quality of patient</p>

Page 273

1 care in this context, as a member of the  
2 committee, that's what you're saying?  
3 DR. SIDDIQUI:  
4 A. My information was basically what is in the  
5 minutes of the committee, that on the first  
6 time he said that there are some technical  
7 problems and but they did not say of that  
8 should we stop seeing patients for that, no.  
9 In September they said that those technical  
10 problems had been solved.  
11 CROSBIE, Q.C.:  
12 Q. Had you, for example, been given a copy of  
13 this memorandum there and you see page 3 of  
14 that, would you have looked differently at the  
15 lab testing suspension and then reinstatement,  
16 would you have had more concern about quality  
17 of care issues?  
18 DR. SIDDIQUI:  
19 A. Again, the concern would definitely be there.  
20 But the second thing is that these are the  
21 same people which are looking into it right  
22 now and which would have--I would have asked  
23 the pathologists and Dr. Ejeckam would have  
24 been the best person to look into that. And  
25 he is the one who is aware of the issue,

Page 274

1 because I think the bigger problem would be  
2 that are they aware of the issue, is the  
3 diagnosis of the issue made. It looks like  
4 that they knew something about that. So I  
5 would be definitely concerned, that's for  
6 sure, but I would also know and would be  
7 somewhat reassured that the appropriate  
8 person, they know about that and they are  
9 working on that.  
10 CROSBIE, Q.C.:  
11 Q. And you'd be guided by Dr. Ejeckam,  
12 principally?  
13 DR. SIDDIQUI:  
14 A. By all the pathologists, but I just brought up  
15 his name because he's the one who looks like  
16 who is writing memos over here and he's  
17 following up on those.  
18 CROSBIE, Q.C.:  
19 Q. It never came up for discussion or in your  
20 mind the issue of doing a sample look back to  
21 make sure that the testing was reliable, as  
22 you had hoped?  
23 DR. SIDDIQUI:  
24 A. Again, in every department they have their own  
25 quality assurance means and their own quality

Page 275

1 assurance measures and I would not know that.  
2 They have to keep all those things standard on  
3 their own.  
4 CROSBIE, Q.C.:  
5 Q. Okay, I'd like to switch to another topic.  
6 And you spent some time discussing the case of  
7 Mr. Green this morning. And as you just  
8 mentioned, she was offered by you as the  
9 treater, you were here treater, her treating  
10 oncologist in 2002, sorry?  
11 DR. SIDDIQUI:  
12 A. That is correct.  
13 CROSBIE, Q.C.:  
14 Q. She was offered Tamoxifen then?  
15 DR. SIDDIQUI:  
16 A. That's correct.  
17 CROSBIE, Q.C.:  
18 Q. And that was on the basis of what kind of a  
19 reading, do you recall her report for hormone  
20 receptor status, what the values were?  
21 DR. SIDDIQUI:  
22 A. She had two different reports at that time.  
23 The first one, which was the biopsy which was  
24 from January of 2001, I think that was read as  
25 ER negative and PR positive. And the second

Page 276

1 one, which was a mastectomy specimen, which  
2 was from February, I think, 22nd, I'm not sure  
3 about the date, 2001, that was read as ER  
4 negative and I think PR were 80 to 90 percent,  
5 if I'm not mistaken. And for treatment  
6 purposes, as I had said earlier, as well, we  
7 take one or the other or both if they are  
8 both.  
9 CROSBIE, Q.C.:  
10 Q. For treatment purposes, just so I understand  
11 that, if you had a high PR, then that could  
12 justify a treatment recommendation to take  
13 Tamoxifen, is that what you're saying?  
14 DR. SIDDIQUI:  
15 A. If either one of them is considered positive,  
16 by the prevailing criteria.  
17 CROSBIE, Q.C.:  
18 Q. Yes.  
19 DR. SIDDIQUI:  
20 A. We would treat them, whether it's ER or PR.  
21 CROSBIE, Q.C.:  
22 Q. Was there at that time a cut off for the PR  
23 value?  
24 DR. SIDDIQUI:  
25 A. For both we use similar cut offs, which were

Page 277	Page 279
<p>1 about 30 percent or so.</p> <p>2 CROSBIE, Q.C.:</p> <p>3 Q. So if PR was greater than 30 percent but ER</p> <p>4 negative, then it was your practice to make a</p> <p>5 recommendation for Tamoxifen therapy?</p> <p>6 DR. SIDDIQUI:</p> <p>7 A. That's right.</p> <p>8 CROSBIE, Q.C.:</p> <p>9 Q. And that was your practice in 2002?</p> <p>10 DR. SIDDIQUI:</p> <p>11 A. That's right.</p> <p>12 CROSBIE, Q.C.:</p> <p>13 Q. And that guideline came from where, from the</p> <p>14 practice from our lab or from other standards</p> <p>15 or where?</p> <p>16 DR. SIDDIQUI:</p> <p>17 A. The Strickman Guideline has been that if even</p> <p>18 one of them is positive, that has been the</p> <p>19 traditional teaching and we have been doing</p> <p>20 that. I had eight or nine other patients in a</p> <p>21 similar scenario who were ER negative and PR</p> <p>22 positive and they were offered treatment and</p> <p>23 the majority of them had accepted that.</p> <p>24 CROSBIE, Q.C.:</p> <p>25 Q. Um-hm. In discussing a situation with a</p>	<p>1 from the metastatic setting, in metastatic</p> <p>2 setting, that is the case. But in the</p> <p>3 adjuvant setting, I'm not sure if this</p> <p>4 question is fully answered. But I would think</p> <p>5 that that's what I had done even in late '90s,</p> <p>6 when I was a fellow, that even if one of them</p> <p>7 is positive, offer treatment, and that's what</p> <p>8 I have always done.</p> <p>9 CROSBIE, Q.C.:</p> <p>10 Q. Are you telling the Commission that your</p> <p>11 recommendation for treatment in a patient with</p> <p>12 positive PR but negative ER is no stronger</p> <p>13 than it would be or approximately of the same</p> <p>14 strength, let's put it that way, as it would</p> <p>15 be for a patient with a positive ER and a</p> <p>16 negative PR?</p> <p>17 DR. SIDDIQUI:</p> <p>18 A. The treatment would be Tamoxifen, would be the</p> <p>19 same dose of Tamoxifen and would be taken the</p> <p>20 same way.</p> <p>21 CROSBIE, Q.C.:</p> <p>22 Q. And you don't make a stronger recommendation</p> <p>23 in one case or the other?</p> <p>24 DR. SIDDIQUI:</p> <p>25 A. We are talking about one particular patient.</p>
<p>Page 278</p> <p>1 patient like Ms. Green where you have a</p> <p>2 negative ER and a positive PR, do you tell</p> <p>3 them that that weakens the case for taking</p> <p>4 Tamoxifen with a negative ER?</p> <p>5 DR. SIDDIQUI:</p> <p>6 A. As I'd said earlier today, that I do my own</p> <p>7 discretion and I tell them that there is</p> <p>8 benefit and the benefit is more than zero.</p> <p>9 Obvious there is benefit even if the PR is</p> <p>10 positive. I have done the same discussion for</p> <p>11 the other eight or nine patients that</p> <p>12 mentioned who had accepted the treatment. I</p> <p>13 have never said and I would not say that it's</p> <p>14 not beneficial. I've always said that it is</p> <p>15 beneficial even if one of them is positive.</p> <p>16 CROSBIE, Q.C.:</p> <p>17 Q. Sir, surely you'll have to tell us, but if</p> <p>18 you've got a strong positive in ER as well as</p> <p>19 PR, that must strengthen the case for</p> <p>20 Tamoxifen?</p> <p>21 DR. SIDDIQUI:</p> <p>22 A. Again, I think if we are talking about in</p> <p>23 terms of the available data, in the adjuvant</p> <p>24 setting I am not sure if this question is</p> <p>25 fully answered. We have some data available</p>	<p>Page 280</p> <p>1 CROSBIE, Q.C.:</p> <p>2 Q. Um-hm.</p> <p>3 DR. SIDDIQUI:</p> <p>4 A. And in her case the information that we had</p> <p>5 that she was ER negative and PR positive, so</p> <p>6 that is the case that I had to discuss, and in</p> <p>7 that particular situation I had to tell her</p> <p>8 that you are ER positive so this is your</p> <p>9 positive point, which would benefit you.</p> <p>10 CROSBIE, Q.C.:</p> <p>11 Q. So again, this may seem repetitive, but do you</p> <p>12 stress the case for Tamoxifen any more highly,</p> <p>13 as a rule, if there's a positive ER than--and</p> <p>14 a negative PR than if there's a positive PR</p> <p>15 and a negative ER?</p> <p>16 DR. SIDDIQUI:</p> <p>17 A. If any one of them is positive and any one of</p> <p>18 them is more than the acceptable rate of</p> <p>19 positive at that time, I will stress the case</p> <p>20 for Tamoxifen even if a single one of them is</p> <p>21 positive. I will tell them that it is</p> <p>22 beneficial for you.</p> <p>23 CROSBIE, Q.C.:</p> <p>24 Q. I see. Do you know whether your colleagues at</p> <p>25 our institution approach the matter in the</p>

Page 281	Page 283
<p>1 same way?</p> <p>2 DR. SIDDIQUI:</p> <p>3 A. I think that would be the general--if one of</p> <p>4 the two is positive, I think we do offer</p> <p>5 treatment.</p> <p>6 CROSBIE, Q.C.:</p> <p>7 Q. Um-hm. Thank you, sir.</p> <p>8 THE COMMISSIONER:</p> <p>9 Q. Mr. Browne.</p> <p>10 DR. JEHAN SIDDIQUI, EXAMINATION BY MR. PETER BROWNE</p> <p>11 MR. BROWNE:</p> <p>12 Q. I guess you're wishing I would have not broke</p> <p>13 for lunch, are you, Dr. Siddiqui? Go back to</p> <p>14 Ms. Green. She has been the topic of</p> <p>15 conversation of questioning both this</p> <p>16 afternoon and this morning. And I want to ask</p> <p>17 some general questions and specific questions</p> <p>18 around her and her treatment. Going back to,</p> <p>19 first of all, the type of tumour that Ms.</p> <p>20 Green had. Can you tell the Commissioner what</p> <p>21 type of tumour she had?</p> <p>22 DR. SIDDIQUI:</p> <p>23 A. Ms. Green had infiltrating ductal carcinoma</p> <p>24 with some areas of lobular.</p> <p>25 MR. BROWNE:</p>	<p>1 says that I mentioned to her that this is not</p> <p>2 curable.</p> <p>3 MR. BROWNE:</p> <p>4 Q. Right.</p> <p>5 DR. SIDDIQUI:</p> <p>6 A. So I don't know where exactly those numbers</p> <p>7 are coming from.</p> <p>8 MR. BROWNE:</p> <p>9 Q. Right. And again, just to go back to the</p> <p>10 general topic, tumours, we've heard about</p> <p>11 various types of tumours and some tumours are</p> <p>12 more aggressive than others. What sort of</p> <p>13 considerations--and Ms. Chaytor asked you</p> <p>14 about in terms of, I think, considerations for</p> <p>15 hormonal therapy what sort of things you</p> <p>16 consider. What sort of considerations you</p> <p>17 mentioned, for instance, age and so on. What</p> <p>18 are the considerations for aggressiveness of a</p> <p>19 tumour?</p> <p>20 DR. SIDDIQUI:</p> <p>21 A. In terms of deciding, in terms of treatment</p> <p>22 and also helping somewhat in their</p> <p>23 aggressiveness age is one important thing.</p> <p>24 MR. BROWNE:</p> <p>25 Q. Okay.</p>
Page 282	Page 284
<p>1 Q. Okay. And I guess there's infiltrating and</p> <p>2 non-infiltrating ductals. The prognosis of</p> <p>3 infiltrating, can you explain that to the</p> <p>4 Commissioner, please?</p> <p>5 DR. SIDDIQUI:</p> <p>6 A. In terms of different infiltrating cancers</p> <p>7 like infiltrating we use the word</p> <p>8 "infiltrating" or "invasive" one or the other.</p> <p>9 So invasive ductal carcinoma as opposed to</p> <p>10 invasive lobular carcinoma, invasive lobular</p> <p>11 would have a better long-term prognosis.</p> <p>12 MR. BROWNE:</p> <p>13 Q. Okay. And you were shown, and I don't think</p> <p>14 it's necessary, you were shown a portion by</p> <p>15 Ms. Chaytor this morning of Ms. Green's</p> <p>16 transcript from her testimony back in March,</p> <p>17 on March 19th, where she references, and I</p> <p>18 think it's in relation to a conversation with</p> <p>19 you about the fact that you had mentioned an</p> <p>20 80 to 90 percent chance for survival. Would</p> <p>21 that, given the type of tumour she had, would</p> <p>22 that be something you would have said to Ms.</p> <p>23 Green?</p> <p>24 DR. SIDDIQUI:</p> <p>25 A. In my note from December of 2006 that note</p>	<p>1 DR. SIDDIQUI:</p> <p>2 A. Usually in younger patients they tend to be,</p> <p>3 not always, but there are a few other things</p> <p>4 that you can look at under microscopic, there</p> <p>5 are things like tumour grade and they are</p> <p>6 important -</p> <p>7 MR. BROWNE:</p> <p>8 Q. If you go back--can I stop you right there?</p> <p>9 The age, what's the significance of the age?</p> <p>10 DR. SIDDIQUI:</p> <p>11 A. Usually the younger ones, they tend to be a</p> <p>12 bit more aggressive.</p> <p>13 MR. BROWNE:</p> <p>14 Q. Okay.</p> <p>15 DR. SIDDIQUI:</p> <p>16 A. Nuclear grade is an important thing, tumour</p> <p>17 who are poorly differentiated or high nuclear</p> <p>18 grade, they tend to behave badly. Tumour size</p> <p>19 and T &amp; M staging and lymph node, these are</p> <p>20 other features. ER/PR are also traditional</p> <p>21 teaching had been they have been important</p> <p>22 things. They have more of a predictive value,</p> <p>23 they would let you know if the patient would</p> <p>24 be a candidate for hormone.</p> <p>25 MR. BROWNE:</p>

Page 285	Page 287
<p>1 Q. Okay. And in--Mr. Crosbie asked you about 2 this this afternoon, as well. In Ms. Green's 3 case you had a discussion with her about the 4 benefits of Tamoxifen based on her PR 5 positivity? 6 DR. SIDDIQUI: 7 A. That's correct. 8 MR. BROWNE: 9 Q. And her PR positivity was quite high, it was 10 actually between 80 and 90 percent? 11 DR. SIDDIQUI: 12 A. That is right. 13 MR. BROWNE: 14 Q. Okay. And you were asked about, I think, both 15 by Ms. Chaytor and Ms. Newbury, about, you 16 know, later on in 2006 when you got the 17 results back, about the time that you--that 18 sort of occurred between the time you got the, 19 I guess, the panel letter in May and the 20 meeting - 21 DR. SIDDIQUI: 22 A. June, it actually came to us - 23 MR. BROWNE: 24 Q. June, sorry, that's right. 25 DR. SIDDIQUI:</p>	<p>1 about the occasions when you spoke to Ms. 2 Green about Tamoxifen, the second occasion 3 being again in November of 2006 and there's a 4 note to your chart to that effect, and then on 5 that occasion she was, indicated she was not 6 interested in going on Tamoxifen. Since that 7 time have you had any other occasion to 8 discuss the issue of Tamoxifen with Ms. Green? 9 DR. SIDDIQUI: 10 A. The second time when she had chemotherapy 11 around, which was from October until February 12 of--October of 2007 until February of 2008, 13 and at the end of that chemotherapy I had 14 discussed her again in the tumour board and 15 the board's suggestion was to offer her a 16 hormone treatment if the CAT scan is stable. 17 So I saw her on the 20th and the CAT scan was 18 stable. The board had suggested with the 19 options of Tamoxifen or Aromisin but the board 20 thought more towards Tamoxifen because she had 21 an Aromatase Inhibitor a few months ago. So I 22 had told her about that, that the board has 23 given these two options, but the board has 24 talked of using Tamoxifen first, but she 25 decided for Aromisin.</p>
Page 286	Page 288
<p>1 A. - June 14th - 2 MR. BROWNE: 3 Q. It was dated May but you did not, you didn't 4 receive it until June, and the meeting in 5 November. In that case given that you had a 6 discussion with Ms. Green, the converse of 7 that, had you not had a previous discussion 8 with the patient, say Ms. Green in this case, 9 and you had a change in result and in Ms. 10 Green's case the ER went from zero to 20, is 11 that correct? 12 DR. SIDDIQUI: 13 A. That's correct. 14 MR. BROWNE: 15 Q. And you had not offered Tamoxifen, would you 16 have acted differently? 17 DR. SIDDIQUI: 18 A. If it was not previously discussed with her, 19 yeah, because if that case, that would be a 20 change of treatment. Just as the other two 21 patients that we have talked about that I 22 called, I would have done that. 23 MR. BROWNE: 24 Q. Okay. Now, there in--Ms. Chaytor took you 25 through a number of instances this morning</p>	<p>1 MR. BROWNE: 2 Q. So, Doctor, there were--and we heard, I think, 3 again, it's not necessary to go to the 4 transcript, but Ms. Green testified, I think, 5 initially back in 2002 if she had known she 6 was ER positive, she would have taken 7 Tamoxifen. Since that time you had two 8 occasions, both November, 2006 and 2008 to 9 discuss Tamoxifen with her, and at both of 10 those occasions she knew her PR was positive? 11 DR. SIDDIQUI: 12 A. She did, in November, 2006 she did and again 13 in March of 2008, she knew it by all accounts. 14 MR. BROWNE: 15 Q. And on both those occasions she still did not 16 wish to take Tamoxifen? 17 DR. SIDDIQUI: 18 A. That's right. 19 MR. BROWNE: 20 Q. In terms of placing a patient on Tamoxifen, we 21 saw an example again using--we can use Ms. 22 Green as an illustration, unfortunately the 23 next visit in December of 2006 it was evident 24 that Ms. Green had a recurrence of her cancer. 25 And at that time, I think at that visit or the</p>



Page 289	Page 291
<p>1 next one there was a discussion about placing 2 her on chemo? 3 DR. SIDDIQUI: 4 A. That's correct. 5 MR. BROWNE: 6 Q. Is that correct? What about the notion of 7 having a patient who is on chemo and having 8 them take Tamoxifen at the same time, would 9 that occur, does it occur? 10 DR. SIDDIQUI: 11 A. No, we don't do both things at the same time. 12 MR. BROWNE: 13 Q. Is there a reason for not doing that? 14 DR. SIDDIQUI: 15 A. Usually for soft tissue disease such as lung 16 involvement or other soft tissue or liver 17 involvement we tend to go with chemotherapy 18 first. If there is more of a bony disease, 19 disease which is not a threat to life, we tend 20 to go with hormone therapy first. And since 21 she had quite a bit of disease in the liver, 22 so I decided to go and treat her with chemo 23 first. 24 MR. BROWNE: 25 Q. Okay. And then afterwards it was -</p>	<p>1 MR. BROWNE: 2 Q. Again then, this morning Ms. Chaytor asked you 3 about, again, referring to Ms. Green, as to 4 whether or not--and you heard and have read 5 Ms. Green's testimony about an incident that 6 she alleges occurred about her asking for a 7 report and you throwing some papers. Do you 8 ever recall an incident where Ms. Green did 9 ask you for a report and, if so, what your 10 response was to her? 11 DR. SIDDIQUI: 12 A. That too has two things that I would like to 13 say. The first one is that that is one that I 14 remember very vividly and that one I had taken 15 her to the monitor and shown her the CAT scan, 16 she wanted to look at some CAT scan pictures, 17 and printed a report for her. And the second 18 is that as I said earlier, as well - 19 MR. BROWNE: 20 Q. Can I stop you there? When, do you recall 21 when that particular occasion occurred? 22 DR. SIDDIQUI: 23 A. That was somewhere in 2008, I think. 24 MR. BROWNE: 25 Q. 2008, okay.</p>
Page 290	Page 292
<p>1 DR. SIDDIQUI: 2 A. That's the problem with chemo, you can only 3 give a number of cycles and after that once 4 the side effects start to come up and the 5 patient cannot tolerate, then you give a trial 6 with hormone and that's what I did. From May 7 22nd, 2007 until somewhere in October she was 8 on hormone. 9 MR. BROWNE: 10 Q. Right. And that was Femara? 11 DR. SIDDIQUI: 12 A. That was Femara. 13 MR. BROWNE: 14 Q. Did you go the full course of Femara with Ms. 15 Green? 16 DR. SIDDIQUI: 17 A. This was about four months, I would say, three 18 and a half to four months of Femara. And then 19 she had a CAT scan done towards the end of 20 September that had shown disease progression 21 and at that time I had to change her from 22 Femara and she was restarted on chemotherapy 23 and on that she was on until I would say she 24 had seven cycles of that, that would be toward 25 the end of February or early March.</p>	<p>1 DR. SIDDIQUI: 2 A. Eight, yeah. 3 MR. BROWNE: 4 Q. Sorry, I didn't mean to interrupt you. 5 DR. SIDDIQUI: 6 A. And the second is that, as I said earlier, 7 that a lot of patients they ask for reports 8 and it happens quite frequently and what I 9 would do is that again if I have something in 10 my hand that I can just print in my clinic--in 11 our clinics we do not have a photocopy 12 machine, we basically have fax machines and 13 printers. If it's a CAT scan report or blood 14 work that I can print, again, if I have it in 15 my hand, I'll give it to the patients and 16 there are so many other patients who ask for 17 it and I give it to them. She might have asked 18 for it and I might have given it to her. But 19 if she is asking for something from the chart, 20 that is something that I cannot--the chart is 21 a permanent record, I'll have to direct her or 22 whichever patient is asking for that, to go 23 for medical records and get a copy from there. 24 MR. BROWNE: 25 Q. Now, Doctor, I know you've done some analysis</p>

Page 293

1 of the patients that you believe, and again,  
 2 it's not a precise analysis, I think you've  
 3 told me, but total patients you had involved  
 4 in the retest. Do you know the number of  
 5 those patients?  
 6 DR. SIDDIQUI:  
 7 A. There was a list given to me at one time, I  
 8 would say in 2006, and that had 18 patients on  
 9 there. That's not an exhaustive list.  
 10 MR. BROWNE:  
 11 Q. No.  
 12 DR. SIDDIQUI:  
 13 A. I think I found probably a few more patients  
 14 afterwards. But that list was of 18 patients.  
 15 MR. BROWNE:  
 16 Q. Um-hm. And how many of those were on  
 17 Tamoxifen already at the time?  
 18 DR. SIDDIQUI:  
 19 A. Out of those patients there were nine such  
 20 patients who were initially considered to be  
 21 ER negative, PR positive, in similar situation  
 22 as this other patient, and they were offered  
 23 Tamoxifen, other hormonal treatment and they  
 24 were already on that.  
 25 MR. BROWNE:

Page 294

1 Q. Okay. And what about there were others who  
 2 were not on adjunctive--adjuvant treatment?  
 3 DR. SIDDIQUI:  
 4 A. There were five patients in that who had a  
 5 real change, which was that they were not on  
 6 any treatment and we had to put them on  
 7 something new. And there were, I think, two  
 8 or three remaining who had refuse, including  
 9 Ms. Green.  
 10 MR. BROWNE:  
 11 Q. Okay. Of the five that you had a real change  
 12 in treatment you described in, you discussed  
 13 adjuvant therapy with them, what was their  
 14 response?  
 15 DR. SIDDIQUI:  
 16 A. One of the ones was that, I just forgot,  
 17 somebody had asked me about that patient, I  
 18 had said that I had a meeting for about an  
 19 hour who had come back again.  
 20 MR. BROWNE:  
 21 Q. Um-hm.  
 22 DR. SIDDIQUI:  
 23 A. One of them was that, that I had a meeting a  
 24 couple of times. I just explained to them  
 25 what I knew and I offered my services for

Page 295

1 future treatments and they are all of them are  
 2 still with me.  
 3 MR. BROWNE:  
 4 Q. Okay. And you mentioned Ms. Green was of the  
 5 group. How many actually refused to -  
 6 DR. SIDDIQUI:  
 7 A. I think there were a total of three.  
 8 MR. BROWNE:  
 9 Q. Okay. And that gives us, I think, rough  
 10 calculation of 17. Was there another patient  
 11 who had a unique sent of circumstances?  
 12 DR. SIDDIQUI:  
 13 A. Oh, there was one more patient who was  
 14 diagnosed with another breast cancer on the  
 15 other side and she was already on treatment  
 16 for the second breast cancer when the change  
 17 happened to the first one.  
 18 MR. BROWNE:  
 19 Q. Okay. Now, Doctor, you were asked a number of  
 20 questions about the physician review panel and  
 21 I think Ms. Chaytor asked you were you  
 22 consulted prior to the creation of this body  
 23 about your thoughts as to the role and purpose  
 24 of this body. I think you indicated you

Page 296

1 weren't. But were you--would you have had any  
 2 objections to what you understood its purpose  
 3 was?  
 4 DR. SIDDIQUI:  
 5 A. No. I think it was a good exercise. I think  
 6 that was helpful.  
 7 MR. BROWNE:  
 8 Q. Okay. Now, Dr. Siddiqui, it has been the  
 9 practice of the Commissioner to invite  
 10 witnesses to make any comments,  
 11 recommendations or observations at this point  
 12 in time, which means I'm finished questioning  
 13 you, you'll be glad to know. Now, Ms. Chaytor  
 14 may have some questions in follow-up, but this  
 15 would be your opportunity, if you wish, to  
 16 make any comments to the Commissioner or  
 17 recommendations?  
 18 DR. SIDDIQUI:  
 19 A. Can I read it, something I've written?  
 20 THE COMMISSIONER:  
 21 Q. If you wish to do so, yes.  
 22 DR. SIDDIQUI:  
 23 A. Thank you. I'm thankful for giving me this  
 24 opportunity to explain myself and to give my  
 25 opinion. The treatment of cancer, as a whole,

Page 297	Page 299
<p>1 has improved significantly in the last few 2 years. This field of medicine has seen 3 unprecedented growth in the last decade, 4 especially in the treatment of some of the 5 common cancers such as breast and colon. All 6 this growth and research also demands that we 7 have to be aware of these new trends and 8 treatments, and also should have the desire 9 and means to bring it to our patients. To 10 take advantage of these new developments, we 11 need to expand our resources, both human and 12 material. We need more professionals, 13 including oncology nurses, pharmacists, and 14 physicians. Pharmacists and nurses who are 15 oncology dedicated are precious resources. We 16 need to have more oncologists, both medical 17 and radiation, as currently the new caseload 18 is increasing at a steady pace and the number 19 of patients that medical and radiation 20 oncologists are following will lead to burn 21 outs. My hopes are that with the recent 22 changes in the compensation packages, we 23 should be able to attract and retain more of 24 them. Currently Corner Brook does not have a 25 staff oncologist for eight years, as they are</p>	<p>1 able to do so. I still think that in Canada 2 we have one of the better health systems. 3 However, there is always room for improvement. 4 I am sure that at the end of the day this 5 Commission will be able to identify gaps in 6 the system and will suggest ways to fill them. 7 In the end, I am humbled by the support that 8 my patients have shown to me during this 9 difficult time, and I want to tell them that 10 they're the reason that I'm here for, and I 11 also want to let them know that I will be 12 here. Thank you. 13 THE COMMISSIONER: 14 Q. Ms. Chaytor, is there anything arising? 15 DR. JEHAN SIDDIQUI - RE-EXAMINATION BY MS. SANDRA 16 CHAYTOR, Q.C.: 17 CHAYTOR, Q.C.: 18 Q. Thank you, Dr. Siddiqui. Just one question. 19 You mentioned that you were given a list of 20 your patients that you had met with after the 21 review. Who provided you with that list? 22 DR. SIDDIQUI: 23 A. I think that was faxed to me by Nancy Parsons. 24 CHAYTOR, Q.C.: 25 Q. And what was the purpose in providing you with</p>
<p>1 not able to attract one since the last one 2 left. I would think that eventually on my 3 wishlist, not just Corner Brook, but other 4 larger centres such as Gander and Grand Falls 5 should also have staff oncologists. We also 6 need more resources for the delivery of 7 chemotherapy and expansion of chemo suites. I 8 can understand the mental, physical, and the 9 financial difficulty through which a patient 10 and his or her family goes through. I know 11 that firsthand because I have gone through it 12 myself twice. My father died of metastatic 13 pancreatic cancer, and my wife's mother died 14 of metastatic breast cancer. I have and I 15 will continue to do my best to minimize those 16 hardships for my patients. I'm extremely 17 thankful to my colleagues in and out of Cancer 18 Centre, the staff at the Cancer Centre, and 19 especially the administration of the Cancer 20 Centre for their support and I cannot thank 21 them enough for that. I am an immigrant 22 Canadian and Newfoundland is my chosen home. 23 I have been here for about eight years and I 24 consider myself a Newfoundlander, even though 25 I still cannot talk like one and may never be</p>	<p>1 such a list? 2 DR. SIDDIQUI: 3 A. I think they were just going through -- they 4 may have a list somewhere, and these were the 5 patients that might have been in my name. So I 6 think that was meant to be that way, that I 7 just follow-up on this list and make sure, and 8 as I said, this is not an exhaustive list 9 because there were a few other patients that I 10 identified afterwards. 11 CHAYTOR, Q.C.: 12 Q. So were you being asked to take that list and 13 compare it with your own knowledge of your 14 patients and see if there was anyone who may 15 have been overlooked? 16 DR. SIDDIQUI: 17 A. To compare -- to take that list and make sure 18 that the recommendations were followed 19 through. 20 CHAYTOR, Q.C.: 21 Q. And to make sure that -- 22 DR. SIDDIQUI: 23 A. Recommendations are followed through. 24 CHAYTOR, Q.C.: 25 Q. And to make sure that?</p>

1 DR. SIDDIQUI:  
 2 A. Recommendations are followed through.  
 3 CHAYTOR, Q.C.:  
 4 Q. Okay, and do you know when you were given that  
 5 list?  
 6 DR. SIDDIQUI:  
 7 A. That would be -- I have to look a the date,  
 8 probably September of '06.  
 9 CHAYTOR, Q.C.:  
 10 Q. And do you still have a copy of that list?  
 11 DR. SIDDIQUI:  
 12 A. I can look for that.  
 13 CHAYTOR, Q.C.:  
 14 Q. And if you find it, would you mind passing it  
 15 along to Mr. Browne?  
 16 DR. SIDDIQUI:  
 17 A. Sure.  
 18 CHAYTOR, Q.C.:  
 19 Q. Thank you. Do you know were all oncologists  
 20 given such a list?  
 21 DR. SIDDIQUI:  
 22 A. I'm not aware of that.  
 23 CHAYTOR, Q.C.:  
 24 Q. Okay, thank you. That's it, Commissioner.  
 25 THE COMMISSIONER:

1 A. Kara Elizabeth Taggert-Laing, K-A-R-A E-L-I-  
 2 Z-A-B-E-T-H T-A-G-G-A-R-T L-A-I-N-G.  
 3 CHAYTOR, Q.C.:  
 4 Q. Commissioner, there are a number of new  
 5 exhibits that I would ask, please, to have  
 6 entered this afternoon. C-0229, C-0231 through  
 7 to C-0242 inclusive, P-2543, P-2550 to P-2559  
 8 inclusive, except for P-2566 and P-2587, and  
 9 there's also P-2610.  
 10 THE COMMISSIONER:  
 11 Q. Okay, and there's -- 2510?  
 12 CHAYTOR, Q.C.:  
 13 Q. No, there's -- no, we're not down as low as  
 14 2510.  
 15 THE COMMISSIONER:  
 16 Q. I have 2599. What happens after that?  
 17 CHAYTOR, Q.C.:  
 18 Q. Yes, there is a 2610. That's a new exhibit.  
 19 THE COMMISSIONER:  
 20 Q. 2610.  
 21 CHAYTOR, Q.C.:  
 22 Q. Yes, that's a PowerPoint presentation that the  
 23 doctor is going to take us through.  
 24 THE COMMISSIONER:  
 25 Q. All right then, entered.

1 Q. Thank you very much, Dr. Siddiqui, for adding  
 2 your perspective to this rather grand and  
 3 large, very large problem. I do appreciate  
 4 you coming along.  
 5 DR. SIDDIQUI:  
 6 A. Thank you.  
 7 THE COMMISSIONER:  
 8 Q. Would you like to take the afternoon break  
 9 before we begin with the next.  
 10 CHAYTOR, Q.C.:  
 11 Q. Yes, thank you.  
 12 THE COMMISSIONER:  
 13 Q. All right.  
 14 (BREAK)  
 15 THE COMMISSIONER:  
 16 Q. Ms. Chaytor.  
 17 CHAYTOR, Q.C.:  
 18 Q. Thank you, Commissioner. The next witness is  
 19 Dr. Kara Laing.  
 20 DR. KARA ELIZABETH TAGGERT-LAINING (SWORN) EXAMINATION BY  
 21 SANDRA CHAYTOR, Q.C.  
 22 REGISTRAR:  
 23 Q. Would you please state and spell your complete  
 24 name for the Commission.  
 25 DR. LAING:

1 EXHIBIT ENTERED AND MARKED AS C-0229  
 2 EXHIBIT ENTERED AND MARKED AS C-0231 THROUGH TO C-0242  
 3 EXHIBIT ENTERED AND MARKED AS P-2543  
 4 EXHIBIT ENTERED AND MARKED AS P-2550 THROUGH TO P-2559  
 5 EXHIBIT ENTERED AND MARKED AS P-2610  
 6 CHAYTOR, Q.C.:  
 7 Q. Good afternoon, Doctor.  
 8 DR. LAING:  
 9 A. Good afternoon.  
 10 CHAYTOR, Q.C.:  
 11 Q. Perhaps we could begin with you taking us  
 12 through your education and professional  
 13 background.  
 14 DR. LAING:  
 15 A. Certainly. I attended Memorial University in  
 16 my undergraduate years from 1987 to 1989, at  
 17 which point I started my medical education at  
 18 Memorial University of Newfoundland. I  
 19 graduated fifteen years ago in 1993, and  
 20 following that, I completed an internal  
 21 medicine residency program at Memorial as  
 22 well, and that brought me up to 1996. At that  
 23 time, I went to the University of British  
 24 Columbia with the BC Cancer Agency, and did a  
 25 subspecialty fellowship training in medical

Page 305	Page 307
<p>1 oncology. I completed that in 1998, and then 2 I did a research year with the National Cancer 3 Institute of Canada as clinical trials group, 4 and that was a research year in Phase III 5 clinical trials. Then in August of 1999, I 6 came back home to Newfoundland and started 7 working as a medical oncologist at the then 8 Newfoundland Cancer Treatment and Research 9 Foundation. I still am a medical oncologist 10 and practising there. In late 2001, I started 11 in my role as Acting Director of Medical 12 Oncology with the NCTRF. That position became 13 a permanent position in October of 2002, and I 14 stayed in that position until I took the role 15 as Clinical Chief of the Cancer Care Program 16 in January of 2006.</p> <p>17 CHAYTOR, Q.C.:</p> <p>18 Q. Okay, and actually we have P-2550, please, 19 Registrar. You didn't need this, but we do 20 have your CV that's an exhibit here, and I 21 think you've taken us through the highlights 22 certainly from 1993 onwards. Doctor, during 23 your -- would it be called a subspecialty 24 training in medical oncology?</p> <p>25 DR. LAING:</p>	<p>1 and then a -- most of the -- the way that our 2 training was set up would be that while we 3 were doing one of the major sites, we would 4 also work alongside medical oncologists on 5 some of the minor sites, such as the head and 6 neck clinic, and the brain tumour clinic, and 7 those sorts of less common malignancies.</p> <p>8 CHAYTOR, Q.C.:</p> <p>9 Q. Okay, and is it an option to go on for an 10 extra year -- like the fellowship year that 11 you did at the National Cancer Institute, is 12 there an option that you could do an extra 13 year and specialize in a particular disease 14 site?</p> <p>15 DR. LAING:</p> <p>16 A. There certainly is. There are a number of 17 opportunities for a third year, and it really 18 just depends on what the individual is 19 interested in. At that time, I was interested 20 in Phase III clinical trials research, which 21 is why I chose to go with the National Cancer 22 Institute of Canada group, but certainly there 23 are fellows who finish their subspecialty 24 training in oncology who may do a year looking 25 specifically at breast cancer, they may do a</p>
<p>1 A. A fellowship, we usually refer to it as.</p> <p>2 CHAYTOR, Q.C.:</p> <p>3 Q. Fellowship, okay.</p> <p>4 DR. LAING:</p> <p>5 A. Yes.</p> <p>6 CHAYTOR, Q.C.:</p> <p>7 Q. Did you complete any subspecialty in terms of 8 any particular site of disease, for example, 9 breast cancer?</p> <p>10 DR. LAING:</p> <p>11 A. Certainly. So during those two years, the core 12 training of a medical oncology resident would 13 include spending time working in all the 14 various major tumour sites, so I would have 15 spent three months in breast cancer, three 16 months in gastrointestinal malignancies, three 17 months with lymphoma, and so on. So most of 18 the major sites, we would have spent three 19 months training specifically in those areas.</p> <p>20 CHAYTOR, Q.C.:</p> <p>21 Q. And it would be an equal amount, equal three 22 months on each disease -- the major disease 23 sites?</p> <p>24 DR. LAING:</p> <p>25 A. It would be equal on the major disease sites,</p>	<p>1 year looking at lung cancer. Most often, 2 though, that year would be tied to a specific 3 project, so they may work on research 4 particularly pertaining to breast cancer, and 5 they would have someone who was their 6 supervisor and mentor, and a lot of that 7 funding comes through things like -- the 8 Canadian Association of Medical Oncology has 9 funding that comes through the pharmaceutical 10 companies and it's passed down to the 11 residents. So most of them, I guess what I'm 12 trying to say, are attached to a specific 13 project.</p> <p>14 CHAYTOR, Q.C.:</p> <p>15 Q. And the oncologists currently practising here 16 in the province, did any of the current 17 oncologists do the extra year in breast 18 oncology?</p> <p>19 DR. LAING:</p> <p>20 A. No.</p> <p>21 CHAYTOR, Q.C.:</p> <p>22 Q. And in terms of your exposure, you had your 23 three months, the same as all medical 24 oncologists would have?</p> <p>25 DR. LAING:</p>

Page 309

1 A. Yes.  
 2 CHAYTOR, Q.C.:  
 3 Q. And otherwise you've had exposure, I take it,  
 4 through your practice?  
 5 DR. LAING:  
 6 A. Right. So even though during our training we  
 7 have a set amount of exposure, we, of course,  
 8 would have things like longitudinal clinics  
 9 where you would look after patients through  
 10 the entire two years, we did on call, we  
 11 attended teaching rounds, conferences. So  
 12 although we spent three months specifically  
 13 assigned to the breast cancer team, we would  
 14 have had exposure in various discipline  
 15 aspects through our entire two years of our  
 16 training.  
 17 CHAYTOR, Q.C.:  
 18 Q. Okay, and did you have any exposure during  
 19 your training or your medical education to  
 20 laboratory medicine?  
 21 DR. LAING:  
 22 A. No.  
 23 CHAYTOR, Q.C.:  
 24 Q. Would you have spent any time at all in the  
 25 lab?

Page 310

1 DR. LAING:  
 2 A. No.  
 3 CHAYTOR, Q.C.:  
 4 Q. And at the BC Cancer Agency where you did your  
 5 two years of your residency, and we've heard  
 6 from Dr. Banerjee as well, and I believe he's  
 7 associated with the BC Cancer Agency --  
 8 DR. LAING:  
 9 A. Yes.  
 10 CHAYTOR, Q.C.:  
 11 Q. I understand that organization is responsible  
 12 for all of the cancer care within the province  
 13 of British Columbia?  
 14 DR. LAING:  
 15 A. That's correct.  
 16 CHAYTOR, Q.C.:  
 17 Q. How does that compare to the situation in  
 18 Newfoundland?  
 19 DR. LAING:  
 20 A. Certainly the BC Cancer Agency, which was  
 21 initially the Cancer Control Agency of British  
 22 Columbia when I was working there, is one of  
 23 the oldest, if you will, formal cancer --  
 24 provincial cancer programs in this country,  
 25 and it really has acted as a model for the

Page 311

1 rest of the country. If I look back, for  
 2 example, at our provincial systemic therapy  
 3 program, we model that after BC's program  
 4 because of their successful outcomes. We have  
 5 a provincial mandate within our Cancer Care  
 6 Program as does the BC Cancer Agency. So that  
 7 would be similar. We are responsible for all  
 8 the delivery of systemic therapy across the  
 9 province, so that would be the same. The  
 10 difference would be that within the BC Cancer  
 11 Agency where I trained in Vancouver, we were a  
 12 separate standalone entity. So we had our own  
 13 in-patient unit, we had our own radiology, we  
 14 had our own pathology, all of that was housed  
 15 under the one institution and in the one  
 16 umbrella. Since that time in British  
 17 Columbia, there are several other cancer  
 18 centres that have opened. There's one in  
 19 Fraser Valley, there's one in Kelowna, and now  
 20 there's one in Abbotsford. So they're a  
 21 slightly different model in that although  
 22 they're attached to host hospitals, they're  
 23 not necessarily all under the same roof, but  
 24 it's more of a virtual connectivity, if you  
 25 want. So I think that many of our programs now

Page 312

1 are similar to what's there in the BC Cancer  
 2 Agency Program, but there are certainly things  
 3 that they have that we do not have, and would  
 4 like to, for example, a database. They  
 5 probably have one of the largest and longest  
 6 follow-up database of breast cancer patients  
 7 in the country.  
 8 CHAYTOR, Q.C.:  
 9 Q. And would there be anything comparable here in  
 10 Newfoundland and Labrador?  
 11 DR. LAING:  
 12 A. No.  
 13 CHAYTOR, Q.C.:  
 14 Q. And so we've heard talk about the Cancer  
 15 Registry -  
 16 DR. LAING:  
 17 A. Yes.  
 18 CHAYTOR, Q.C.:  
 19 Q. Would that be a similar type of database; if  
 20 not, how is it different from what they're  
 21 doing in British Columbia?  
 22 DR. LAING:  
 23 A. We have a Cancer Registry here in this  
 24 province, and over the last few years there's  
 25 really been a move to improve the quality of

Page 313

1 the data in the registry and there are  
 2 national committees and national linkages to  
 3 try and ensure that the basic data that's  
 4 being collected across the country is the same  
 5 because that's how we'll be able to do  
 6 appropriate outcomes research on a national  
 7 basis. The data that's in the -- so BC does  
 8 have a registry, but the breast cancer dataset  
 9 has a lot more information in it than would be  
 10 in our registry. Most of the cancer  
 11 registries collect information such as date of  
 12 diagnosis, stage of disease, and we try and  
 13 have that -- we follow the collaborative  
 14 staging, so that we're collecting the same  
 15 sorts of information so we can make cross  
 16 country comparisons. We're continuously  
 17 improving that. For example, we've just added  
 18 a section that very clearly gathers the  
 19 percent staining for estrogen/progesterone,  
 20 and all the different possibilities for HER2  
 21 testing results so that we'll be able to go  
 22 back and look at that more carefully. Also  
 23 within the registry we've in the last couple  
 24 of years spent a lot of time looking at death  
 25 clearance, so that we can be sure of the

Page 314

1 outcome of patients within the registry. We  
 2 also have something called "E" pathology. So  
 3 as soon as a diagnosis is made, that  
 4 information gets put right into our registry  
 5 so that we think that we're capturing a lot  
 6 more of the cancers diagnosed, and we're  
 7 trying to improve the quality of that.  
 8 CHAYTOR, Q.C.:  
 9 Q. Is there anything else from the BC Cancer  
 10 Agency or otherwise that you're aware of  
 11 across the country that you think would be a  
 12 good idea to adopt here?  
 13 DR. LAING:  
 14 A. Well, yes.  
 15 CHAYTOR, Q.C.:  
 16 Q. That's a broad question.  
 17 DR. LAING:  
 18 A. Yes, there certainly is. I mean, some of the  
 19 things that come to mind right away would be a  
 20 breast cancer database. My hope is that  
 21 through this whole process that we will put  
 22 the information that we have learned so far  
 23 into a database, and as you know, that work  
 24 has been started with the Newfoundland and  
 25 Labrador Centre for Health Information.

Page 315

1 They've asked the clinicians, including myself  
 2 and Dr. McCarthy, for some input into the data  
 3 to be collected in that, and I think that  
 4 that's important. They have a very good  
 5 comprehensive cancer drug coverage program,  
 6 and right now in this province our government  
 7 gives us funding for the intravenous cancer  
 8 drugs, but not for the oral drugs and in  
 9 British Columbia, if you're diagnosed with  
 10 cancer, all of your IV drugs are covered, as  
 11 they are here in Newfoundland and Labrador,  
 12 but not all of your oral medications. In BC,  
 13 they're all entirely covered, so if somebody  
 14 needs an aromatase inhibitor for their breast  
 15 cancer, then they get that, prescription is  
 16 filled and it's covered. So they really have  
 17 one of the most comprehensive drug coverage  
 18 programs. We've modelled our IV program after  
 19 theirs and we look to them and work with them  
 20 on an annual basis, looking at planning and  
 21 forecasting for drug expenditure. We're about  
 22 one-eighth the size of them, so we tend to  
 23 sort of look at that, and we've had very  
 24 similar growths in our drug budgets as BC has  
 25 had in the last several years.

Page 316

1 They have an excellent pharmacy program.  
 2 In fact, we use their pharmacy expertise quite  
 3 a lot. They're a very generous group. We use  
 4 their website, their drug information, their  
 5 drug information handouts for patients, and  
 6 you know, so I think that that's important.  
 7 They do quite a lot of tumour board and I was  
 8 involved with that as a resident and we're  
 9 doing a lot of that now here, and you know,  
 10 there's certainly a lot of interaction in that  
 11 with the radiologists, pathologists,  
 12 oncologists, surgeons, and we've certainly  
 13 modelled ourselves after their approach.  
 14 They have a provincial tumour board, as do we.  
 15 So you know, there's certainly a lot of  
 16 things, and I think a lot of it comes from the  
 17 fact that they've been around for so long, and  
 18 that they've been very successful in attaining  
 19 quite a lot of funding from the government to  
 20 run their cancer program, because they've been  
 21 very successful and because they have such a  
 22 great database, they are actually able to show  
 23 improvements in outcomes related to, you know,  
 24 their experience. They can look and say,

Page 317

1 "let's look and see what happened since we've  
2 introduced adjuvant Herceptin, for example,  
3 and let's see how our breast cancer patients  
4 are doing." So they can look at a one-time  
5 period and then compare it to another one. So  
6 they do a lot of outcomes research and publish  
7 a lot of that, which is quite good.

8 CHAYTOR, Q.C.:

9 Q. Okay, are they also involved in prevention and  
10 screening?

11 DR. LAING:

12 A. They are. They certainly are involved with  
13 screening, as are we, and the whole idea of  
14 cancer prevention is something that's been  
15 recognized nationally through the Canadian  
16 Partnership Against Cancer as a priority, but  
17 of course, cancer prevention starts way  
18 outside the doors of our traditional, you  
19 know, cancer clinics and cancer agencies, but  
20 certainly they are involved and they do--  
21 they're involved with the breast cancer  
22 screening as are we, and are looking at  
23 setting up and coordinating colorectal cancer  
24 screening, which is the next big national  
25 effort for screening programs.

Page 318

1 CHAYTOR, Q.C.:

2 Q. The change that happened institutionally, I  
3 guess, with Eastern Health's formation and the  
4 old then NCTRF coming under the umbrella of  
5 Eastern Health, did that change the way in  
6 which you go about your job or in terms of the  
7 delivery of cancer care within the province?

8 DR. LAING:

9 A. Not a whole lot. That change with, I guess,  
10 the big transition year for us was 2005, and  
11 it was towards the end of that year that our  
12 program director, Ms. Sharon Smith, was  
13 appointed. It was earlier the next year that  
14 I was appointed as clinical chief, and really,  
15 you know, if you look at the day-to-day  
16 activities in the Cancer Centre, there really  
17 hasn't been a huge change. For example, we  
18 still have the same charts that we had,  
19 because we're moving towards an electronic  
20 health record. There's some very minor  
21 changes, but you know, that full transition,  
22 in terms of, you know, unions and all that  
23 sort of stuff, of course, hasn't happened yet,  
24 but from the day-to-day point of view, things  
25 are very similar.

Page 319

1 I guess one of the things that we've been  
2 trying to continue to do as we go along is to  
3 maintain a provincial cancer program and a  
4 provincial identity while being housed in one  
5 of the regional integrated health authorities,  
6 albeit the largest in the province.

7 CHAYTOR, Q.C.:

8 Q. Yes, okay. So in terms of the delivery of  
9 care then to the patients in the other regions  
10 -

11 DR. LAING:

12 A. Yes.

13 CHAYTOR, Q.C.:

14 Q. - while it's no longer--while they may  
15 actually come from Western or Central or  
16 Labrador Grenfell, the only oncologists in the  
17 province are situate, as of right now, within  
18 Eastern Health?

19 DR. LAING:

20 A. That's correct. However, that's the way that  
21 it was when we were the NCTRF, but we do have  
22 regional clinics. So the regional clinics in  
23 Gander, in Grand Falls and in Corner Brook are  
24 actually fall now under the Cancer Care  
25 Program. So the employees report through to

Page 320

1 us and to the Cancer Care Program and we do  
2 regional clinics. So once a month, there's a  
3 medical oncologist and a radiation oncologist  
4 who travel from St. John's to do about a week-  
5 long clinic in each of those regions, and we  
6 all participate in that, all the radiation  
7 oncologists and medical oncologists. So  
8 that's what we call our peripheral clinics.  
9 So we do--and that hasn't changed with the new  
10 structure. We continue to do that work.

11 CHAYTOR, Q.C.:

12 Q. Okay, and in terms of yourself then, who is  
13 your employer or do you have one?

14 DR. LAING:

15 A. I do. So I'm actually considered to be an  
16 employee of Memorial University. That's  
17 because I have a full-time university  
18 appointment. So as a GFT, my employer is  
19 Memorial University. I belong to a consortium  
20 of physicians called the Medical Practice  
21 Associates. So I'm considered actually to be  
22 a fee-for-service physician and the MPA bills  
23 a fixed fee on my behalf to the government,  
24 which is similar to what a salary would be for  
25 someone who's not a full-time geographical



Page 321

1 person, and but I also, of course, am a member  
 2 of the staff at Eastern Health and as clinical  
 3 chief, I am an employee of Eastern Health, and  
 4 I have privileges in Central Newfoundland  
 5 because I do the clinics there.  
 6 CHAYTOR, Q.C.:  
 7 Q. Okay, and so as clinical chief, you'd be  
 8 considered an employee of Eastern Health, but  
 9 otherwise, your employment relationship is  
 10 with Memorial University?  
 11 DR. LAING:  
 12 A. That's correct.  
 13 CHAYTOR, Q.C.:  
 14 Q. Okay, and your association, the Medical  
 15 Practice Associates, does that involve  
 16 physicians other than medical oncologists or  
 17 other than oncologists?  
 18 DR. LAING:  
 19 A. Yes. It's all the geographical full-time  
 20 physicians at Memorial University. So there's  
 21 over 100 members and they're from all  
 22 different disciplines, family physicians,  
 23 other specialists.  
 24 CHAYTOR, Q.C.:  
 25 Q. Okay, and that's the route that would actually

Page 322

1 bill MCP for your services?  
 2 DR. LAING:  
 3 A. Yes.  
 4 CHAYTOR, Q.C.:  
 5 Q. Okay. Your university position -  
 6 DR. LAING:  
 7 A. Yes.  
 8 CHAYTOR, Q.C.:  
 9 Q. - what's involved with that? How much of your  
 10 time would be spent in your university  
 11 position?  
 12 DR. LAING:  
 13 A. So I've been a faculty member since I came  
 14 back in 1999, and so in that position, I've  
 15 involved with teaching and research. So in  
 16 terms of teaching, I do undergraduate teaching  
 17 within the medical school, so clinical skills  
 18 teaching of all the different years, and I  
 19 also am involved with teaching when I'm  
 20 looking after the in-patients. We belong to a  
 21 clinical teaching unit, the medical  
 22 oncologists do, and so we teach in that  
 23 capacity. We also do post graduate teaching  
 24 for the internal medicine program, as well as  
 25 for the surgery program and the obstetrics and

Page 323

1 gynecology program, and so that keeps us  
 2 fairly busy. So when things are, you know,  
 3 now sort of starting up again in September, I  
 4 would probably teach about twice a month. So  
 5 that would be two half days a month, and then  
 6 of course, there's a preparation and that  
 7 around that.  
 8 In terms of research, we, of course, have  
 9 an active clinical trials department. We do a  
 10 lot of education, so I do a lot of continuing  
 11 medical education for family physicians. I've  
 12 done courses with, designed and been a contact  
 13 expert on courses with the university as well.  
 14 CHAYTOR, Q.C.:  
 15 Q. Okay, and in terms of your own continuing  
 16 education, how do you keep abreast of what's  
 17 happening in medical oncology, and in  
 18 particular in breast oncology?  
 19 DR. LAING:  
 20 A. So there's a number of different ways. We're  
 21 expected to--it's a Royal College requirement  
 22 that we have a maintenance of certification  
 23 program, and each year, we report our number  
 24 of hours through to the Royal College who logs  
 25 that and keeps track of it. In that, there's

Page 324

1 a certain amount of conference attendance,  
 2 attendance of our regular tumour board rounds,  
 3 journal clubs, those sorts of events that  
 4 count. There's self-directed learning and  
 5 learning and research projects that we have to  
 6 conclude. I attend probably one or two  
 7 international conferences per year, which  
 8 include the American Society of Clinical  
 9 Oncology Conference and the San Antonio Breast  
 10 Cancer Conference, because I don't -  
 11 CHAYTOR, Q.C.:  
 12 Q. So you would be--sorry, you'd be a regular  
 13 attendee at those conferences?  
 14 DR. LAING:  
 15 A. Yes, at those conferences, and if I don't  
 16 attend, because of various pregnancies and  
 17 babies and that sort of thing, we usually get  
 18 the virtual meeting or there's usually one of  
 19 us who attends, and now, all of that meeting,  
 20 you know, the abstracts, even oral  
 21 presentations, you can see it all online now.  
 22 So it's quite good.  
 23 We have an Atlantic Canada Oncology Group  
 24 and we meet annually, and we've been doing it  
 25 now for 11 years, and it's a conference and

Page 325	Page 327
<p>1 every third year, it's breast cancer. So it's 2 lung, colorectal and breast that we rotate. I 3 co-chair that. So that's really a great 4 educational event for our local health care 5 professionals in Atlantic Canada, but we have 6 national and international speakers who come. 7 I attend a number of advisory boards and 8 in that capacity, interact on a regular basis 9 with my national counterparts, who have 10 expertise in the area of breast cancer and CNS 11 malignancies, which is my other major tumour 12 site. Do a lot of journal reading and that 13 sort of thing, and that's how I stay up to 14 date. 15 CHAYTOR, Q.C.: 16 Q. Okay, and in terms of attendance at 17 conferences, is there any requirement for 18 anybody who would attend a conference to come 19 back and do an in-house for the other 20 oncologists? 21 DR. LAING: 22 A. Yes. So for the last couple of years, we've 23 tended to have what we call a pro-ASCO, our 24 post San Antonio. So we've been doing that 25 now, I guess, for about four years or so,</p>	<p>1 Q. Since you started in 1999? 2 DR. LAING: 3 A. Yes. 4 CHAYTOR, Q.C.: 5 Q. Okay, and what, how much is that? 6 DR. LAING: 7 A. So as a medical or radiation oncologist, you 8 get a--it's called a professional allowance, 9 and of that, you're required to pay your 10 various fees, which include the Canadian 11 Medical Protective Association, American 12 Society of Clinical Oncology, that sort of 13 stuff. It's \$9,000 a year and if you have to 14 pay those fees, that usually takes about close 15 to \$6,000. 16 CHAYTOR, Q.C.: 17 Q. So the remainder then would be available for 18 any - 19 DR. LAING: 20 A. Sure. 21 CHAYTOR, Q.C.: 22 Q. - conferences that you need to attend or any 23 other continuing education endeavours? 24 DR. LAING: 25 A. Yes. Now because I belong to the Medical</p>
<p>Page 326</p> <p>1 where when we come back from that conference, 2 those who attended would be asked to give, you 3 know, 10 or 15 minute presentation that really 4 kind of highlights what was new at those 5 meetings. So we certainly would do that. We 6 do have some limited funding to attend 7 conferences. Sometimes we have to look to 8 industry for unrestricted educational grants, 9 and usually--well, not usually, always a 10 stipulation of that would be that you would 11 come back and present the new knowledge that 12 you gained at these meetings to your 13 colleagues. 14 CHAYTOR, Q.C.: 15 Q. Okay, and in terms of the funding, has that 16 changed over time? Has it increased over 17 time? Has it increased over time? 18 DR. LAING: 19 A. No. 20 CHAYTOR, Q.C.: 21 Q. So it's still the same amount paid towards 22 your continuing education as - 23 DR. LAING: 24 A. Since I started in '99. 25 CHAYTOR, Q.C.:</p>	<p>Page 328</p> <p>1 Practice Associates, through my funding 2 mechanism, they pay those other fees for me. 3 So I tend to have--I tend to not necessarily 4 always spend the money that's in that. But we 5 can use it for other educational things. We 6 can use it for computers, subscriptions to 7 medical journals, which can be quite 8 expensive, subscriptions to Up to Date, those 9 sorts of things. 10 CHAYTOR, Q.C.: 11 Q. Okay, and Doctor, I know I asked you about 12 formal training in terms of doing the extra 13 year in breast oncology, but do you otherwise 14 consider yourself to be a subspecialist in 15 breast oncology? 16 DR. LAING: 17 A. Once we attained a full complement of medical 18 oncologists, I would say that was in about 19 2005, we started to really look at sort of 20 subspecializing. So that each one of us has 21 two major sites and a minor site that we focus 22 on, and so really I would say since about 23 2005, you know, I would say, if someone said 24 to me "would you consider yourself to have 25 special interest" that sort of thing, in</p>

Page 329	Page 331
<p>1 breast oncology, I would certainly say yes.</p> <p>2 CHAYTOR, Q.C.:</p> <p>3 Q. It's one of your two major sites that you -</p> <p>4 DR. LAING:</p> <p>5 A. Right.</p> <p>6 CHAYTOR, Q.C.:</p> <p>7 Q. - have chosen to concentrate on.</p> <p>8 DR. LAING:</p> <p>9 A. So I used to do colorectal cancer as well, but</p> <p>10 when I took over as clinical chief, I've</p> <p>11 stopped seeing new patients in colorectal</p> <p>12 cancer, although I still do have some patients</p> <p>13 in my practice. So my two major sites are</p> <p>14 breast and CNS or brain. That said, many of</p> <p>15 us, for example, when we do our peripheral</p> <p>16 clinics, when we look after the in-patients,</p> <p>17 when we're on call, we would see patients with</p> <p>18 all disease sites. But in terms of new</p> <p>19 referrals and the types of new patients that</p> <p>20 we would see in our practice, then we're</p> <p>21 certainly subspecialized, although there are</p> <p>22 some of my colleagues who still see, you know,</p> <p>23 three, four major sites.</p> <p>24 CHAYTOR, Q.C.:</p> <p>25 Q. Okay, and what percentage of your practice</p>	<p>1 Zulfiqar, Dr. Zaidi, but he's left, Dr.</p> <p>2 Siddiqui still sees some breast, and Dr.</p> <p>3 Ahmad. Dr. David Saltman is our new medical</p> <p>4 oncologist and he doesn't see breast. His</p> <p>5 major site is GI, and Dr. Stewart Rorke is one</p> <p>6 of our medical oncologists and breast is not</p> <p>7 his major site.</p> <p>8 CHAYTOR, Q.C.:</p> <p>9 Q. Okay, and Dr. Siddiqui has told us that he's</p> <p>10 now concentrated more on GI.</p> <p>11 DR. LAING:</p> <p>12 A. GI and GU, yeah.</p> <p>13 CHAYTOR, Q.C.:</p> <p>14 Q. Okay, and Dr. Zaidi, is he left permanently?</p> <p>15 DR. LAING:</p> <p>16 A. He is. He went back to Pakistan to resume a</p> <p>17 practice there.</p> <p>18 CHAYTOR, Q.C.:</p> <p>19 Q. So it's yourself and Dr. Zulfiqar and Dr.</p> <p>20 McCarthy, Dr. Ahmad?</p> <p>21 DR. LAING:</p> <p>22 A. Yeah.</p> <p>23 CHAYTOR, Q.C.:</p> <p>24 Q. Are the people currently concentrating on</p> <p>25 breast?</p>
Page 330	Page 332
<p>1 then would be breast cancer patients</p> <p>2 currently?</p> <p>3 DR. LAING:</p> <p>4 A. About 80 percent.</p> <p>5 CHAYTOR, Q.C.:</p> <p>6 Q. About 80 percent, okay.</p> <p>7 DR. LAING:</p> <p>8 A. Yeah, yeah.</p> <p>9 CHAYTOR, Q.C.:</p> <p>10 Q. And that, how would that compare to, say, in</p> <p>11 2002-2003?</p> <p>12 DR. LAING:</p> <p>13 A. Oh, back then it was much smaller, even</p> <p>14 probably about a third of my practice.</p> <p>15 CHAYTOR, Q.C.:</p> <p>16 Q. Okay, and in terms of the oncologists at</p> <p>17 Eastern Health who are currently doing breast</p> <p>18 cancer as their major sites, how many would</p> <p>19 there be?</p> <p>20 DR. LAING:</p> <p>21 A. Five, I would say.</p> <p>22 CHAYTOR, Q.C.:</p> <p>23 Q. And who would they be?</p> <p>24 DR. LAING:</p> <p>25 A. So it would be myself, Dr. McCarthy, Dr.</p>	<p>1 DR. LAING:</p> <p>2 A. Yes.</p> <p>3 CHAYTOR, Q.C.:</p> <p>4 Q. And in terms of your continuing education</p> <p>5 requirements for the Royal College, is there</p> <p>6 any requirement that a certain percentage of</p> <p>7 the hours have to correspond with the type of</p> <p>8 practice or the area that you've chosen to</p> <p>9 concentrate your practice?</p> <p>10 DR. LAING:</p> <p>11 A. No, they don't specify exactly what you need</p> <p>12 to do, but they do--but there is a certain</p> <p>13 amount, I guess it's a type of learning. So</p> <p>14 it can't all be conference. It can't all be</p> <p>15 journal reading. It can't all be teaching.</p> <p>16 There's five different categories that you can</p> <p>17 put credits under and there's a certain</p> <p>18 maximum in some of those categories.</p> <p>19 CHAYTOR, Q.C.:</p> <p>20 Q. Okay, and in terms of what was available to</p> <p>21 you, if you think back in 1999 when you first</p> <p>22 came here, would you have had Pub-med</p> <p>23 available to you then?</p> <p>24 DR. LAING:</p> <p>25 A. I would say, yes. I can't remember when I</p>

Page 333

1 didn't have Pub-med.  
 2 CHAYTOR, Q.C.:  
 3 Q. And I take it, it would always have been your  
 4 practice to subscribe to journals?  
 5 DR. LAING:  
 6 A. Yes, so we, as members of the--so as medical  
 7 oncologists, most of us would be members of  
 8 the American Society of Clinical Oncology. So  
 9 as a result of that membership, we would get  
 10 the Journal of Clinical Oncology, and still  
 11 do.  
 12 CHAYTOR, Q.C.:  
 13 Q. Okay, and then you've told us that you were  
 14 the director of medical oncology, I believe  
 15 that began in 2002?  
 16 DR. LAING:  
 17 A. Yes.  
 18 CHAYTOR, Q.C.:  
 19 Q. And you stayed then--well you were acting  
 20 although the year before that, 2001-2002. You  
 21 stayed in that position then until you became  
 22 clinical chief in 2006?  
 23 DR. LAING:  
 24 A. Yes.  
 25 CHAYTOR, Q.C.:

Page 334

1 Q. January 2006, I believe, from the records  
 2 we've seen.  
 3 DR. LAING:  
 4 A. So it was actually late in 2001. It was  
 5 December of 2001 that I took over as acting  
 6 director of medical oncology.  
 7 CHAYTOR, Q.C.:  
 8 Q. Okay.  
 9 DR. LAING:  
 10 A. And then about not quite a year later, took it  
 11 back as a permanent.  
 12 CHAYTOR, Q.C.:  
 13 Q. You became the director permanently?  
 14 DR. LAING:  
 15 A. Yes.  
 16 CHAYTOR, Q.C.:  
 17 Q. Okay. What are the duties of the clinical  
 18 chief, and is it the clinical chief of  
 19 oncology, is that--or of cancer care?  
 20 DR. LAING:  
 21 A. So currently in my role now?  
 22 CHAYTOR, Q.C.:  
 23 Q. Yes, what's your title, first of all?  
 24 DR. LAING:  
 25 A. It's clinical chief, Cancer Care Program.

Page 335

1 CHAYTOR, Q.C.:  
 2 Q. Okay.  
 3 DR. LAING:  
 4 A. Eastern Health.  
 5 CHAYTOR, Q.C.:  
 6 Q. Okay, so tell us what it is, what your current  
 7 duties would be.  
 8 DR. LAING:  
 9 A. So within Eastern Health, there's program  
 10 management. So the large clinical areas, such  
 11 as cancer, cardiac care, have a physician lead  
 12 who's a clinical chief and then a program  
 13 director. So I'm that physician and the  
 14 program director is Ms. Sharon Smith. So we  
 15 work very closely together in the running, if  
 16 you will, of the Cancer Care Program. It's a  
 17 dual role. We work very closely together. We  
 18 have a very good working relationship and we  
 19 have, right from when I started in 2006. We  
 20 have various responsibilities. We report  
 21 through to the VP of Medical Affairs. We  
 22 report through to the chief operating officer  
 23 for cancer, and really our primary goal, of  
 24 course, is to provide quality cancer care to  
 25 the patients of this province and to do so on

Page 336

1 a provincial basis. In that role, of course,  
 2 we look at things like quality improvement.  
 3 We look at our relations with our patients.  
 4 We try and build an environment in which our  
 5 staff enjoy coming to work and enjoy looking  
 6 after our cancer patients, because as you can  
 7 imagine, that can sometimes be a stressful  
 8 job.  
 9 We're responsible for financial things  
 10 and really when I think about the finances of  
 11 the Cancer Care Program, there's three big  
 12 parts to that. There's an operating budget  
 13 and there's capital equipment budget, and in  
 14 oncology, most of our capital equipment is  
 15 related to our radiation treatment and most of  
 16 that capital equipment is extremely expensive  
 17 and so we're always working with our  
 18 Foundation and with government to continue to  
 19 grow and expand our radiation treatment. And  
 20 of course, a third part of it is our  
 21 provincial systemic therapy budget. So we  
 22 have the drug budget for the IV systemic  
 23 therapy treatments for the entire province,  
 24 and I lose track but it's somewhere around 11  
 25 million dollars or something now. It's always

Page 337	Page 339
<p>1 increasing, so we're responsible for that 2 budget.</p> <p>3 We're responsible for resource planning, 4 both that sort of resource planning, but of 5 course, very important, the human resources, 6 not only within physicians but within all the 7 other members of the health care team that are 8 very important. Some of those include nurses, 9 our other allied health care professionals, 10 our therapists. There's a large team, if you 11 will, that provides cancer care. We promote a 12 multi-disciplinary approach to cancer care, 13 which includes not only those within our 14 program, but those on the outside in our 15 regional cancer centres, but across the 16 province that help us to provide the 17 continuing of cancer care to our patients.</p> <p>18 We're involved with research, promoting 19 research, anything that happened within our 20 cancer centre, liaising with the University 21 for education, but also the education of our 22 staff, the continuing education of our staff, 23 the education of our patients. And again, 24 having to do that on a provincial basis is, 25 you know, is a challenge, but we try and do</p>	<p>1 somebody, but, you know, so that's sort of our 2 senior team.</p> <p>3 Both Ms. Smith and I, of course, report 4 through with the clinical chiefs and program 5 directors. We meet on a monthly basis with 6 Dr. Howell and that group. I report through 7 to MAC, and we've only just hired a discipline 8 chair for the discipline of oncology, who 9 started work just a few months ago, Dr. David 10 Saltman. So we're in the planning stages of 11 really, you know, working out how--because 12 it's the first time we've actually had a 13 discipline chair. So we're working on that as 14 well to -</p> <p>15 CHAYTOR, Q.C.:</p> <p>16 Q. Figuring out where he fits in?</p> <p>17 DR. LAING:</p> <p>18 A. - set up the--yes.</p> <p>19 CHAYTOR, Q.C.:</p> <p>20 Q. Yes, okay, and do you report then directly to 21 Dr. Howell or do -</p> <p>22 DR. LAING:</p> <p>23 A. Yes.</p> <p>24 CHAYTOR, Q.C.:</p> <p>25 Q. You report directly to Dr. Howell, and the COO</p>
Page 338	Page 340
<p>1 that. And I think that's--that keeps us busy.</p> <p>2 CHAYTOR, Q.C.:</p> <p>3 Q. Yes, in addition to your day job, and in terms 4 of the--do you surround yourself then with a 5 senior management team or an executive team to 6 help assist get all of that done?</p> <p>7 DR. LAING:</p> <p>8 A. Yes. So within--so I guess within the Cancer 9 Care program itself, we do have a senior 10 management team. So there would be Ms. Smith 11 and I. We have a divisional chief of medical 12 oncology, who is Dr. Siddiqui. We have a 13 divisional chief of radiation oncology, who is 14 Dr. Ganguly. We have a director of clinical 15 trials, who is Dr. McCarthy. We have a leader 16 in nursing, who is Ms. Chris Power. One of 17 the changes with the restructuring has been 18 that our pharmacy now reports through to 19 Eastern Health, but we still maintain a very 20 close relationship with our pharmacy 21 directors, and we have our head radiation 22 treatment therapist as part of that group, our 23 head medical physicist is part of that group. 24 The head of our breast screening program is 25 part of that group and I'm probably forgetting</p>	<p>1 of Cancer Care, I guess that's Ms. Pat 2 Pilgrim?</p> <p>3 DR. LAING:</p> <p>4 A. That is.</p> <p>5 CHAYTOR, Q.C.:</p> <p>6 Q. Ms. Smith, I guess, would report through to 7 her?</p> <p>8 DR. LAING:</p> <p>9 A. Yes. However, you know, we do meet with Ms. 10 Pilgrim on a regular basis, Ms. Smith and I, 11 to talk about issues related to our program.</p> <p>12 CHAYTOR, Q.C.:</p> <p>13 Q. Okay, and you say you have a very good working 14 relationship. So the program management type 15 of structure works well for the oncology 16 service or for the Cancer Care program?</p> <p>17 DR. LAING:</p> <p>18 A. Program management is new for us, within the 19 Cancer Care Program. You'll recall that prior 20 to having program management, we were a 21 separate stand-alone entity.</p> <p>22 CHAYTOR, Q.C.:</p> <p>23 Q. Yes.</p> <p>24 DR. LAING:</p> <p>25 A. So, you know, there have been, you know,</p>

Page 341

1 growing pains settling in, but for the--in  
 2 terms of working well together and having  
 3 very, you know, good working relationships,  
 4 strong goals and really--you know, it's a  
 5 great team, I really have to say that.  
 6 CHAYTOR, Q.C.:  
 7 Q. Okay, and so in terms of any--in terms of,  
 8 we've heard some issues, as I'm sure you've  
 9 heard through this process, about in the  
 10 Laboratory Medicine Program, about there being  
 11 really two separate tiers and at times over  
 12 the years, the medical side not sure what the  
 13 management side was doing. You haven't--since  
 14 2005-2006, when you've become part of the  
 15 program, it hasn't--those issues haven't  
 16 arisen for you?  
 17 DR. LAING:  
 18 A. No. I mean, in the previous structure, with  
 19 the NCTRF, there certainly were those issues.  
 20 I really started in their senior management in  
 21 2002, and it was shortly after that that we  
 22 knew that we were going to transition into  
 23 Eastern Health. So most of the problems that  
 24 had come with administration and physicians in  
 25 the days of the NCTRF were before my time

Page 342

1 there, and certainly before my role there as  
 2 director of medical oncology.  
 3 CHAYTOR, Q.C.:  
 4 Q. And so what were the issues, do you know? Are  
 5 you familiar with what the issues were, what  
 6 the problems were at that time?  
 7 DR. LAING:  
 8 A. In the old days of the NCTRF?  
 9 CHAYTOR, Q.C.:  
 10 Q. Yes.  
 11 DR. LAING:  
 12 A. I think that there were some issues in terms  
 13 of difference, if you will, of opinion and how  
 14 to run a cancer care program, between  
 15 physician leads and the then various CEOs of  
 16 the cancer program. I wasn't part of it and,  
 17 you know, I just know the stories and that  
 18 sort of thing. That was my understanding of  
 19 it at the time.  
 20 CHAYTOR, Q.C.:  
 21 Q. And I'm sorry, you probably already told me  
 22 this, but how many medical oncologists do you  
 23 currently have?  
 24 DR. LAING:  
 25 A. So currently, there are seven of us. But if

Page 343

1 you look at our FTE equivalents, there's six.  
 2 Now a while ago, I mentioned that in 2005, we  
 3 had our full complement. We now could very  
 4 easily have ten medical oncologists and we're  
 5 actively recruiting two more who will join us  
 6 in 2009 and in 2010.  
 7 CHAYTOR, Q.C.:  
 8 Q. So do you have two people lined up for the  
 9 next -  
 10 DR. LAING:  
 11 A. Yes, we do.  
 12 CHAYTOR, Q.C.:  
 13 Q. - year and next two years?  
 14 DR. LAING:  
 15 A. Yeah.  
 16 CHAYTOR, Q.C.:  
 17 Q. And there are currently two or three  
 18 vacancies?  
 19 DR. LAING:  
 20 A. Well, if you look at the number of physicians  
 21 that we have approved through the salaried  
 22 physician advisory committee, it's seven,  
 23 maybe eight, depending on how you look at it,  
 24 because many years ago, there was actually a  
 25 medical oncologist in Corner Brook, and when

Page 344

1 that position became vacant, it sort of came  
 2 back into the pool of medical oncologists, if  
 3 you will, so could say that there is eight.  
 4 If you look at our FTEs, we really only have  
 5 six. So we have two vacancies, for sure. We  
 6 have done human resource planning extensively  
 7 with Dr. Howell and have submitted that to  
 8 government. So we're hoping as the next  
 9 couple of years go by that we will have  
 10 increased positions to actually recruit even  
 11 more people than the two that we have.  
 12 CHAYTOR, Q.C.:  
 13 Q. So you're hoping to get beyond eight and  
 14 perhaps have as much as ten?  
 15 DR. LAING:  
 16 A. Yeah, and we're also very active in our  
 17 recruiting in radiation oncology. So we're  
 18 short two radiation oncologists, but we have  
 19 a new radiation oncologist starting just in  
 20 the next few weeks. We have another slated to  
 21 start in 2009, and hopefully someone else to  
 22 come, and we've just hired someone on a locum  
 23 basis. So we've been doing well, in terms of  
 24 our recruitment in the last couple of years.  
 25 CHAYTOR, Q.C.:

<p style="text-align: right;">Page 345</p> <p>1 Q. And would you look to try and recruit people 2 for other areas, geographical areas within the 3 province? 4 DR. LAING: 5 A. To be stand-alone medical oncologists outside 6 of here, no. 7 CHAYTOR, Q.C.: 8 Q. That's not part of the plan? 9 DR. LAING: 10 A. That's not part of the plan. We will, 11 however, continue to--with our increased 12 capacity, continue to be able to really, you 13 know, ensure that our peripheral clinics are 14 fully functional and we'll continue to operate 15 those as we are. 16 CHAYTOR, Q.C.: 17 Q. Okay. And so the current situation, in terms 18 of you have really six FTEs and you could have 19 as many as eight, how does that compare to 20 when you first arrived in 1999? Was there a 21 problem at that time with turnover of 22 oncologists? 23 DR. LAING: 24 A. There was a very big problem at that time. So 25 when I started in August of 1999, in the two</p>	<p style="text-align: right;">Page 347</p> <p>1 DR. LAING: 2 A. But I'm not the oldest. 3 CHAYTOR, Q.C.: 4 Q. Fair enough, and so what happened then to 5 stabilize things, what happened in 2003, that 6 time period? What happened to make things a 7 little more stable for you? 8 DR. LAING: 9 A. I think that -- I think we had a good group of 10 people that really, you know, came together 11 and we work extremely well together. You 12 know, I think that if you have turnover and 13 people are chronically understaffed, that it 14 doesn't take a whole lot for you to give up 15 and to move on, and I think once we got a good 16 group of people who worked well together, and 17 we built that early group of the four of us 18 and then added on with excellent, very 19 competent, and wonderful physicians, that, you 20 know, this became a place where people wanted 21 to come and practise. So I really think that, 22 you know, that was the turning point in about 23 2002/2003, once we built the group of the 24 seven of us. 25 CHAYTOR, Q.C.:</p>
<p style="text-align: right;">Page 346</p> <p>1 months before I came back, three medical 2 oncologists resigned their positions within 3 the NCTRF. So that when I came back, instead 4 of being the sixth medical oncologist, I was 5 the third, and then subsequent to that time, 6 we continued to have quite a lot of turnover. 7 In fact, at one point, we estimated that 8 perhaps there were 20 something, both medical 9 and radiation oncologists who had come and 10 gone from the NCTRF from the mid 1990s to 11 2002. Dr. Siddiqui came shortly after I did, 12 and Dr. McCarthy and Dr. Rorke came that year, 13 and we, you know, continued to build the team 14 with Dr. Ahmad, Dr. Zulfiqar and Dr. Zaidi, 15 and really the only person that's left since 16 2002 was Dr. Zaidi, and that was for family 17 reasons, to return to practice in Pakistan. 18 CHAYTOR, Q.C.: 19 Q. So even though you only started in 1999, I 20 don't mean "only", but you're the senior 21 member? 22 DR. LAING: 23 A. I am. 24 CHAYTOR, Q.C.: 25 Q. Yes, okay.</p>	<p style="text-align: right;">Page 348</p> <p>1 Q. And was there anything else -- other than the 2 people and the personalities around you, was 3 there anything else that happened to improve 4 the situation? 5 DR. LAING: 6 A. I think that our -- there were some issues 7 with the previous Director of Medical 8 Oncology, and I think when he left, it made a 9 big difference, to be quite honest with you, 10 and then I think that in -- I can't remember 11 what year, maybe it was in 2003 when we had a 12 change in our compensation package, that that 13 helped, and -- but I think that the biggest 14 driving force was really to have that -- get 15 rid of that swinging door policy and really 16 have a group of people that were committed to 17 staying and working together and, you know, 18 having removal of somebody who caused a lot of 19 stress and anxiety for people and made it 20 difficult to come to work, obviously, makes 21 things better, and then, you know, to have a 22 competitive package to be able to recruit and 23 to retain physicians helps as well. 24 CHAYTOR, Q.C.: 25 Q. And when did that package increase, when did</p>

Page 349

1 your -- we've heard about an oncology stipend,  
 2 for example.  
 3 DR. LAING:  
 4 A. Right.  
 5 CHAYTOR, Q.C.:  
 6 Q. When was that introduced for oncologists?  
 7 DR. LAING:  
 8 A. The physician job action would have been in  
 9 2002, and then we would have had a new  
 10 memorandum of understanding in 2003, so it  
 11 would have been then.  
 12 CHAYTOR, Q.C.:  
 13 Q. Okay, and so -- and that increase then, your  
 14 oncology stipend was how much per annum at  
 15 that point?  
 16 DR. LAING:  
 17 A. It would have been \$50,000.00 for step one,  
 18 \$55,000.00 for step two, and \$60,000.00 for  
 19 step three, and it still remains that.  
 20 CHAYTOR, Q.C.:  
 21 Q. Okay. So by the of that, the end of 2002/2003,  
 22 whenever you received the oncology stipend,  
 23 how did your remuneration compare to your  
 24 counterparts in the rest of the country?  
 25 DR. LAING:

Page 350

1 A. It's still lower, still significantly lower  
 2 than other people, but the gap was narrowed.  
 3 CHAYTOR, Q.C.:  
 4 Q. So that assisted in your ability to be able to  
 5 recruit people and keep people?  
 6 DR. LAING:  
 7 A. And keep the people that were here, yes.  
 8 CHAYTOR, Q.C.:  
 9 Q. So the gap was narrowed, but it was still --  
 10 DR. LAING:  
 11 A. Significant.  
 12 CHAYTOR, Q.C.:  
 13 Q. Significantly lower, okay, and how does that  
 14 compare to today? We've heard, of course,  
 15 that there has been additional compensation  
 16 for pathologists and medical and radiation  
 17 oncologists?  
 18 DR. LAING:  
 19 A. That's correct.  
 20 CHAYTOR, Q.C.:  
 21 Q. So how in terms of competitive is your package  
 22 now today?  
 23 DR. LAING:  
 24 A. Now I would say that we have probably the best  
 25 competitive salary that we have had. It

Page 351

1 really was modelled after the current salary  
 2 in Ontario, and Ontario, British Columbia, and  
 3 Nova Scotia, really have been the ones that  
 4 we've been watching and keeping our eye on  
 5 over the last few years. So when we had  
 6 discussions with government, we had as part of  
 7 that, prepared and found out what our  
 8 counterparts were getting across the country,  
 9 because, of course, when you're looking at  
 10 recruitment, you really have to have a  
 11 competitive salary, and that was probably  
 12 never more important than in this last year or  
 13 two in terms of attracting oncologists and  
 14 pathologists.  
 15 CHAYTOR, Q.C.:  
 16 Q. Okay. So you've been involved yourself, in  
 17 particularly, I would take it, as Clinical  
 18 Chief in those discussions with government  
 19 around that?  
 20 DR. LAING:  
 21 A. Yes. There's a Canadian Association of  
 22 Medical Oncologists, which you may have heard  
 23 us talk about before. They having a Human  
 24 Resource Planning Committee that's really  
 25 looking at things like what's going to happen

Page 352

1 when -- there's going to be a large number of  
 2 medical oncologists retire within, I would  
 3 say, the next five to ten years. Medical  
 4 oncology has only been a subspecialty since  
 5 the mid 1980s. Prior to that, medical  
 6 oncologists were hematologists that turned to  
 7 treating solid tumours, and so there's quite a  
 8 number of late 50 and early 60 year olds who  
 9 were sort of grandfathered over from  
 10 hematologists to medical oncologists, and  
 11 there's a lot of concern about what's going to  
 12 happen because there's going to be a large  
 13 void in the workforce for that. We liaise  
 14 often with our colleagues across the country.  
 15 The medical oncology community in Canada is  
 16 quite small, so there's always people saying,  
 17 you know, can you send us along information  
 18 about your retention or your payment package  
 19 and those sorts of things. So there's -- we  
 20 keep all that together within CAMO, and CAMO  
 21 sets the standard, if you will, for how many  
 22 medical oncologists are needed and over the  
 23 years have looked at the number of new  
 24 patients, although there's some thought now to  
 25 look at not only the number of new patients,



Page 353

1 but the number of follow-up patients that an  
 2 oncologist should be seeing to define workload  
 3 and to plan the human resources planning,  
 4 recruitment, those sorts of things.  
 5 CHAYTOR, Q.C.:  
 6 Q. Okay, and when you talk about competition or  
 7 competitive salary, there's also an  
 8 alternative payment plan for oncologists  
 9 within Newfoundland?  
 10 DR. LAING:  
 11 A. Right.  
 12 CHAYTOR, Q.C.:  
 13 Q. So in terms of having your salary competitive,  
 14 does that include the alternative payment  
 15 plan?  
 16 DR. LAING:  
 17 A. That's what makes it competitive.  
 18 CHAYTOR, Q.C.:  
 19 Q. That's what makes it competitive?  
 20 DR. LAING:  
 21 A. That's what makes it competitive.  
 22 CHAYTOR, Q.C.:  
 23 Q. Okay, and when was the alternative payment  
 24 plan introduced for oncologists?  
 25 DR. LAING:

Page 354

1 A. I would say 2005. Yes, 2005.  
 2 CHAYTOR, Q.C.:  
 3 Q. And there's been some recent changes, though,  
 4 I take it, to that in this past few months?  
 5 DR. LAING:  
 6 A. So when we had a change, there was two  
 7 options. One was to have an increase in the a  
 8 additional workload for case funding, and one  
 9 was to take an increase in the base salary. So  
 10 those were the options that were given to the  
 11 oncologists and they could choose whichever  
 12 one of those seemed to be more appropriate and  
 13 viable for them.  
 14 CHAYTOR, Q.C.:  
 15 Q. Okay, and so then it's an individual choice as  
 16 to which --  
 17 DR. LAING:  
 18 A. That's right.  
 19 CHAYTOR, Q.C.:  
 20 Q. People would prefer, okay, and then that makes  
 21 -- that's the current package which was  
 22 offered makes your total package among the  
 23 best within the country?  
 24 DR. LAING:  
 25 A. Yes, because many of us derive income from

Page 355

1 various different sources.  
 2 CHAYTOR, Q.C.:  
 3 Q. And in 2005, though, the alternative payment  
 4 that you were receiving then --  
 5 DR. LAING:  
 6 A. Yes.  
 7 CHAYTOR, Q.C.:  
 8 Q. How did that bring your salaries in terms of  
 9 comparison within the rest of the country?  
 10 DR. LAING:  
 11 A. It varied because, of course, you have to  
 12 realize that how the alternate payment plan  
 13 works is that in order to generate the extra  
 14 income, you need to see more patients than is  
 15 recommended by either the Canadian Association  
 16 of Medical Oncology, or the radiation  
 17 oncology, which is the Canadian Association of  
 18 Radiation Oncology. So the threshold over  
 19 which physicians receive payment is based on  
 20 those numbers. So in medical oncology, it's  
 21 140, and in radiation oncology now it's around  
 22 190. So although our physicians were able to  
 23 generate this extra income, in order to do  
 24 that they had to work twice as hard, if you  
 25 will, than a oncologist who was getting a

Page 356

1 straight salary of that amount of money, for  
 2 example, in Ontario.  
 3 CHAYTOR, Q.C.:  
 4 Q. Mr. Ritter testified that you were involved,  
 5 of course, in the meetings and the  
 6 discussions, and also with respect to the  
 7 pathologist's remuneration and the recent  
 8 increases?  
 9 DR. LAING:  
 10 A. Yes.  
 11 CHAYTOR, Q.C.:  
 12 Q. And he also said that you had individual  
 13 meetings or visit to your office by Minister  
 14 Wiseman?  
 15 DR. LAING:  
 16 A. Yes.  
 17 CHAYTOR, Q.C.:  
 18 Q. Was that in relation to the salaries for  
 19 oncologists?  
 20 DR. LAING:  
 21 A. Yes.  
 22 CHAYTOR, Q.C.:  
 23 Q. And what was the purpose of -- I take it, it  
 24 would be unusual to have such a visit.  
 25 DR. LAING:

Page 357

1 A. It was.  
 2 CHAYTOR, Q.C.:  
 3 Q. And perhaps you could tell us then about that  
 4 and what was discussed, and whether anything  
 5 else relevant to the ER/PR issue was discussed  
 6 in that meeting?  
 7 DR. LAING:  
 8 A. So prior to that meeting, we had requested an  
 9 opportunity for the oncologists and the  
 10 pathologists to sit down with the Premier. So  
 11 that would have happened -- whenever that was.  
 12 I think it was a Thursday. So that a week or  
 13 so before. Subsequent to that -- in fact, I  
 14 should clarify that at that meeting with the  
 15 Premier, we discussed several issues that we  
 16 felt were very important, which included  
 17 pharmacy services, remuneration package,  
 18 information technology support, and -- amongst  
 19 other things. Subsequent to that, I had a  
 20 meeting with Louise Jones because she wanted  
 21 to know what exactly I had presented because I  
 22 was the one who, on behalf of the oncologists,  
 23 presented to the Premier.  
 24 CHAYTOR, Q.C.:  
 25 Q. She wasn't in attendance, I take it, at the

Page 358

1 meeting?  
 2 DR. LAING:  
 3 A. No, no. So I provided her with a copy of my  
 4 PowerPoint presentation and went over the  
 5 various things that we discussed at that  
 6 meeting, and later that afternoon, she showed  
 7 up at my office door and said I'm really glad  
 8 we have this meeting because guess who's here,  
 9 and that's when Minister Wiseman was there. So  
 10 he came in with a member of his staff, and one  
 11 of the -- I guess, several of the discussion  
 12 points that we had around our compensation  
 13 package was related to the fact that for some  
 14 true alternate funding packages, what happens  
 15 is you -- the group of physicians are given a  
 16 lump sum of money and then they decide how to  
 17 divide that up. That, for example, was done  
 18 in Ontario and it took quite some time, in the  
 19 order of about two years for them to sort out  
 20 things like medical coverage and those sorts  
 21 of things. So we felt, as a group, that we  
 22 had to be very careful because the salaried  
 23 physicians had medical coverage and a pensions  
 24 plan and all those sorts of issues. As a  
 25 university person, I had those -- you know,

Page 359

1 medical coverage and all those sorts of things  
 2 through the university. So we really were  
 3 trying to think about how we might have some  
 4 time to sort things out. When Minister  
 5 Wiseman came to see me that day, he indicated  
 6 that they were prepared to offer an increase  
 7 in the salary to the pathologists. That was  
 8 something that we were told was not an option  
 9 because, of course, all of us, the medical  
 10 oncologists, radiation oncologists,  
 11 pathologists, and several other specialists in  
 12 this province, are paid on a salaried  
 13 physician's scale. So when he said that they  
 14 were going to make that available for  
 15 pathologists and what did I think of that, I  
 16 asked him if he had thought about making that  
 17 an option for oncologists as well, and he  
 18 said, well, they hadn't really thought that  
 19 through and then he left. Almost as quickly  
 20 as he showed up, he left, and it wasn't until  
 21 maybe a week or so later we all got individual  
 22 letters outlining this offer for the increase  
 23 in the base salary versus an increase in the  
 24 per case funding for the additional workload.  
 25 We then went to the Newfoundland and Labrador

Page 360

1 Medical Association and had meetings with them  
 2 to try and decide how we were going to -- you  
 3 know, how this was going to play itself out,  
 4 and then subsequently each individual  
 5 physician chose which compensation package  
 6 they wanted, and we communicated that back to  
 7 government.  
 8 CHAYTOR, Q.C.:  
 9 Q. Okay, and if we could look at, please, P-1286,  
 10 and this is a -- not what I was expecting, but  
 11 it might be in here. No, I think I have the  
 12 wrong exhibit number. That's okay. It was a  
 13 letter -- what I was trying to --  
 14 DR. LAING:  
 15 A. It's attached to this, I believe.  
 16 CHAYTOR, Q.C.:  
 17 Q. Is it attached to this? Okay, maybe I didn't  
 18 go far enough. It's a letter that you and Dr.  
 19 Ganguly--yes, here it is.  
 20 DR. LAING:  
 21 A. There it is.  
 22 CHAYTOR, Q.C.:  
 23 Q. There is it, yes, okay. Thank you. It's July  
 24 19th, 2005. And it's actually page 11 of the  
 25 exhibit, that you wrote to Dr. Williams?

Page 361	Page 363
<p>1 DR. LAING:  2 A. Yes.  3 CHAYTOR, Q.C.:  4 Q. Signed by you and Dr. Ganguly and you're the  5 director of medical oncology, of course, at  6 that point in time?  7 DR. LAING:  8 A. Yes.  9 CHAYTOR, Q.C.:  10 Q. And it's in support of the pathologists of  11 this province?  12 DR. LAING:  13 A. Yes.  14 CHAYTOR, Q.C.:  15 Q. And you write that, "The quality of oncology  16 treatment is entirely dependent on the quality  17 of the pathology report. As technology  18 progresses in both the diagnosis and treatment  19 of many malignancies it is becoming more and  20 more challenging to deliver an expert high  21 quality pathological diagnosis. This has  22 resulted in the development of tumour-specific  23 multidisciplinary teams to manage various  24 malignancies. This has already occurred in  25 many areas of the country and is now occurring</p>	<p>1 know, working in the lab and, you know, in the  2 basement of the hospital and not integral to  3 patient care. The pathologist is not the one  4 who's necessarily going to be sitting in the  5 room with the cancer patient, but what they  6 tell us determines so importantly right from  7 the diagnosis, what the prognosis of the  8 cancer is and in many instances now and  9 becoming increasingly important in terms of  10 predictive markers. So really, this was the  11 start of our support. This was in 2005, but  12 this was after, you know, discussions long  13 before this with the pathologists. Subsequent  14 to this I did go and meet with the  15 pathologists, with Treasury Board, and really,  16 you know, worked with them and lobbied with  17 them for better compensation. And the end  18 result of this is that they did eventually  19 receive the oncology bonus as part of their  20 remuneration, which made their salary more  21 competitive.  22 CHAYTOR, Q.C.:  23 Q. So you were involved in that lobby effort back  24 in mid 2005 onwards, you've been involved -  25 DR. LAING:</p>
Page 362	Page 364
<p>1 in Newfoundland and Labrador, as well.  2 Specialized pathologists sit on these tumour  3 boards and routinely review cases specific to  4 that tumour site. We believe it is imperative  5 that remuneration offered to pathologists in  6 this province be competitive with the rest of  7 the country. We need to maintain and build  8 our current mix of experienced pathologists to  9 keep pace with the rest of Canada in terms of  10 the overall quality of oncology care." So,  11 Dr. Laing, what was the purpose of you and Dr.  12 Ganguly in July of 2005 in writing this letter  13 to Dr. Williams?  14 DR. LAING:  15 A. So we wrote this letter in support of our  16 pathology colleagues. At that time we had  17 started our tumour board rounds and the  18 expertise of the pathologists being there was  19 obviously quite important. And they really  20 came to us and said that they were trying to  21 build as much support within the medical  22 community for them to be recognized as  23 subspecialists, as important physicians, so  24 that people could see their role. Often they  25 were looked upon as the people that were, you</p>	<p>1 A. Or even, you know, even before that.  2 CHAYTOR, Q.C.:  3 Q. Even before?  4 DR. LAING:  5 A. Yeah.  6 CHAYTOR, Q.C.:  7 Q. Doctor, the reference to the tumour-specific  8 multidisciplinary teams, I take it that's  9 referring to tumour board rounds?  10 DR. LAING:  11 A. That's right.  12 CHAYTOR, Q.C.:  13 Q. Okay. And it says, "This has already occurred  14 in many areas of the country and is now  15 occurring in Newfoundland and Labrador, as  16 well." What's your recollection as to when  17 those tumour board rounds began here in the  18 province?  19 DR. LAING:  20 A. We started a very preliminary tumour board  21 round for breast oncology in 2001. That was  22 shelved by the then director of medical  23 oncology. And in towards the end of 2001 we  24 had an external review done by Dr. Susan  25 O'Reilly from the BC Cancer Agency and part of</p>

Page 365	Page 367
<p>1 that review recommended reinstatement or the 2 establishment, if you will, of 3 multidisciplinary tumour rounds, so it would 4 have been in about 2002 that we started that. 5 We used to do breast and something on one week 6 and GI on the other and it was sort of back 7 and forth. Since then it's grown. We 8 continue to do a weekly tumour board round on 9 Wednesday mornings from eight to nine, which 10 is attended by medical oncologists, radiation 11 oncologists, surgeons, radiologists and 12 pathologists.</p> <p>13 CHAYTOR, Q.C.:</p> <p>14 Q. And when did it become weekly?</p> <p>15 DR. LAING:</p> <p>16 A. It's been weekly since the beginning.</p> <p>17 CHAYTOR, Q.C.:</p> <p>18 Q. Okay.</p> <p>19 DR. LAING:</p> <p>20 A. And there's also a separate tumour board round 21 for GU, for genitourinary malignancies that 22 meets once a month. There's a tumour board 23 round for hematology that meets once a week. 24 There's tumour board round for lung cancer 25 that's had a little bit of a hiatus but is</p>	<p>1 with our new patient referral system. We 2 called it a tumour board round but it really 3 was, I guess, the beginning of that and we 4 spent a lot of time reviewing patients and 5 saying, okay, this person had their surgery 6 then and need to come whenever. But it was 7 stopped. And it wasn't until after the then 8 director, Dr. Tang, left that we were able to 9 reestablish those, and that would have been in 10 2002.</p> <p>11 CHAYTOR, Q.C.:</p> <p>12 Q. And why was it stopped at the time?</p> <p>13 DR. LAING:</p> <p>14 A. I'm not certain.</p> <p>15 CHAYTOR, Q.C.:</p> <p>16 Q. Okay. You used the word, I think initially in 17 telling about that, you said it was "shelved". 18 So was there some conscious decision not to 19 continue with those rounds?</p> <p>20 DR. LAING:</p> <p>21 A. I went on maternity leave and when I came 22 back, they weren't doing them any more and, 23 yeah, so.</p> <p>24 CHAYTOR, Q.C.:</p> <p>25 Q. Okay. So maybe someone else who was still</p>
<p>1 planning to get back up and active. And we've 2 just started a new GI specific tumour board 3 round which will likely start now within 4 probably early October. And I think that's 5 all of them, so -</p> <p>6 CHAYTOR, Q.C.:</p> <p>7 Q. And what happened in 2001? So you had 8 initiated a tumour board round specific for 9 breast -</p> <p>10 DR. LAING:</p> <p>11 A. We started, what we had started was almost 12 like a breast triage.</p> <p>13 CHAYTOR, Q.C.:</p> <p>14 Q. And who was responsible for initiating that, 15 who took the initiative?</p> <p>16 DR. LAING:</p> <p>17 A. We had concerns about the timeliness of seeing 18 patients with breast cancer because they have 19 to be, for patients who receive adjuvant 20 treatment, it's imperative that are seen and 21 started on their therapy within 12 weeks of 22 their definitive surgery. And it really 23 started as a way to look at the referrals and 24 sort of see who needed to come, you know, 25 sooner or later. We did it in combination</p>	<p>1 there during your leave might know what 2 happened?</p> <p>3 DR. LAING:</p> <p>4 A. Sure, yeah.</p> <p>5 CHAYTOR, Q.C.:</p> <p>6 Q. Yes, okay. And you said there was a review 7 done by Dr. Susan O'Reilly from BC Cancer back 8 in 2002?</p> <p>9 DR. LAING:</p> <p>10 A. Yeah. And a radiation oncologist from the 11 Cross Cancer Institute who, I'm sorry, I 12 cannot remember his name right now.</p> <p>13 CHAYTOR, Q.C.:</p> <p>14 Q. Okay. And one of the things they recommended 15 was to reinstitute tumour board rounds?</p> <p>16 DR. LAING:</p> <p>17 A. Yes.</p> <p>18 CHAYTOR, Q.C.:</p> <p>19 Q. Okay. And was there anything else, any other 20 recommendations that came out of that review 21 that were advantageous?</p> <p>22 DR. LAING:</p> <p>23 A. There were several recommendations. When we 24 got the report, many of them were optimate 25 with those same things that we had started to</p>

<p style="text-align: right;">Page 369</p> <p>1 act upon. One of her recommendations was that  2 remuneration for oncologists be made  3 competitive in order to be able to recruit and  4 retain people. And tumour board rounds was  5 another recommendation. A provincial drug  6 budget so that--because prior to that each of  7 the smaller health regions, and recall in  8 those days there were several health regions,  9 had a very individual drug budget, so if  10 somebody, for example, in Labrador, needed to  11 have Herceptin for metastatic disease, you  12 could spend all of the Labrador budget, you  13 know, in three lumps. So that was one of her  14 recommendations, that we have a provincial  15 systemic therapy program, which we did. She  16 recommended that we look at guideline  17 development, that we increase our  18 participation in clinical trials, those sorts  19 of things, as well.  20 CHAYTOR, Q.C.:  21 Q. Okay, and guideline development around what in  22 particular, what kind of guidelines was she  23 talking about?  24 DR. LAING:  25 A. For tumour disease sites, so in terms of</p>	<p style="text-align: right;">Page 371</p> <p>1 guidelines a little later on when I ask you  2 about the current situation.  3 DR. LAING:  4 A. Sure.  5 CHAYTOR, Q.C.:  6 Q. Doctor, I'd like to just turn now then to  7 ER/PR and your knowledge and background in  8 ER/PR testing. At the time -  9 THE COMMISSIONER:  10 Q. Ms. Chaytor, it's about 5:00. Do want to  11 start on ER/PR route for the next five minutes  12 or would you rather start in the morning?  13 CHAYTOR, Q.C.:  14 Q. Actually, two quick questions, perhaps.  15 THE COMMISSIONER:  16 Q. Sure.  17 CHAYTOR, Q.C.:  18 Q. And then tomorrow morning perhaps we'll start  19 with your PowerPoint presentation.  20 THE COMMISSIONER:  21 Q. Okay.  22 DR. LAING:  23 A. That would be fine, yes.  24 CHAYTOR, Q.C.:</p>
<p style="text-align: right;">Page 370</p> <p>1 treatment guidelines.  2 CHAYTOR, Q.C.:  3 Q. And has that since happened, have those  4 guidelines been developed?  5 DR. LAING:  6 A. We are--we have done some guideline  7 development and continue to do so, yeah. We  8 have a breast disease site group, which I  9 think you may be aware of.  10 CHAYTOR, Q.C.:  11 Q. Yes.  12 DR. LAING:  13 A. And we've also had meetings where, you know,  14 the lung people and the GI people and that  15 have gotten together and we've all been given  16 a task to sort of go and look at a particular  17 area and we've made some recommendations. We  18 don't have the necessary support, if you will,  19 to have all those guidelines finalized and  20 published. We're now working with Eastern  21 Health to try and find out how they want us to  22 post and to disseminated the guidelines that  23 we have done so far in breast cancer.  24 CHAYTOR, Q.C.:  25 Q. Okay, and I will refer you to some of those</p>	<p style="text-align: right;">Page 372</p> <p>1 Q. So at the time that you did your residency  2 training what method was being used then to  3 carry out ER and PR testing?  4 DR. LAING:  5 A. So I started my training in 1996 and so  6 initially when I was training, we had the  7 older method, so the--we would get a  8 quantitative report from the Ligand Binding  9 assay. And then during my time in BC is when  10 there was the switch over to  11 immunohistochemistry.  12 CHAYTOR, Q.C.:  13 Q. Okay. So you learned in terms of reading the  14 reports, you learned both methods?  15 DR. LAING:  16 A. So when we would get the reports in at the BC  17 Cancer Agency, we would get a number and then  18 there would be, under that there would be a  19 range, so you would have a negative, an  20 equivocal and a positive test for both ER and  21 PR. And that's how I learned in the  22 beginning.  23 CHAYTOR, Q.C.:  24 Q. And then when the switch over to the IHC and  25 you're still at the BC Cancer Agency at that</p>

Page 373

1 point, what was used at that point for cutoff  
2 for positivity?

3 DR. LAING:

4 A. I'm not certain. We would just simply get a  
5 result, in those days it said, once we went to  
6 the immunohistochemical method, if it was  
7 positive or negative. You know, that would be  
8 the -

9 CHAYTOR, Q.C.:

10 Q. So no percentages were given?

11 DR. LAING:

12 A. No, I don't recall having percentages at that  
13 time.

14 CHAYTOR, Q.C.:

15 Q. Okay. And we've seen here that in the late  
16 '90s when the switch happened in Newfoundland,  
17 that there was a 30 percent given.

18 DR. LAING:

19 A. That's right.

20 CHAYTOR, Q.C.:

21 Q. Which was thought to correlate or correspond  
22 with the old method?

23 DR. LAING:

24 A. With the old positive, yes.

25 CHAYTOR, Q.C.:

Page 374

1 Q. Yes, the old biomedical assay method. Was  
2 there any such comparison, do you know, done  
3 in BC at the time or was there anything  
4 indicated on the pathology reports that you  
5 would receive to make such a correlation?

6 DR. LAING:

7 A. Not that I recall, no, no.

8 CHAYTOR, Q.C.:

9 Q. And you weren't given anything in the way of  
10 percentage, it would come, the pathology  
11 report would come at that time would come and  
12 say either negative or positive?

13 DR. LAING:

14 A. That's what I remember. Now you have to  
15 understand, too, in those days I was a fellow,  
16 so I would always be seeing these patients  
17 alongside an attending oncologist, so--but we  
18 would get positive or negative results. And  
19 prior to that, a I said, you would actually  
20 get a number, you know, 275, I can't even  
21 remember what the unit was, I believe it was  
22 picomoles per litre and nanomoles per litre,  
23 it's been so long since I've seen. And even,  
24 you know, in my practice when I took over,  
25 some of my patients who had metastatic disease

Page 375

1 would have had their initial ER/PR  
2 determination on their primary tumour done by  
3 the old quantitative method.

4 CHAYTOR, Q.C.:

5 Q. Yes, when you started here in St. John's?

6 DR. LAING:

7 A. Yeah.

8 CHAYTOR, Q.C.:

9 Q. Okay.

10 DR. LAING:

11 A. But our new patients coming through then would  
12 have had immunohistochemistry testing done.

13 CHAYTOR, Q.C.:

14 Q. Okay. Thank you. Okay, thank you,  
15 Commissioner.

16 THE COMMISSIONER:

17 Q. All right, then, we'll meet in the morning at  
18 9:30. Thank you.

19 Upon conclusion.

Page 376

1 CERTIFICATE

2 I, Judy Moss, hereby certify that the foregoing is  
3 a true and correct transcript in the matter of the  
4 Commission of Inquiry on Hormone Receptor Testing,  
5 heard on the 8th day of September, A.D., 2008  
6 before the Honourable Justice Margaret A. Cameron,  
7 Commissioner, at the Commission of Inquiry, St.  
8 John's, Newfoundland and Labrador and was  
9 transcribed by me to the best of my ability by  
10 means of a sound apparatus.

11 Dated at St. John's, Newfoundland and Labrador  
12 this 8th day of September, A.D., 2008

13 Judy Moss

<p><b>-\$-</b></p> <p><b>\$50,000.00</b> [1] 349:17  <b>\$55,000.00</b> [1] 349:18  <b>\$6,000</b> [1] 327:15  <b>\$60,000.00</b> [1] 349:18  <b>\$9,000</b> [1] 327:13</p> <hr/> <p><b>-&amp;-</b></p> <p><b>&amp;</b> [1] 284:19</p> <hr/> <p><b>-'-</b></p> <p><b>'04</b> [2] 177:21 179:1  <b>'06</b> [1] 301:8  <b>'08</b> [2] 80:3,5  <b>'90s</b> [2] 279:5 373:16  <b>'96</b> [1] 139:17  <b>'97</b> [2] 139:17 144:23  <b>'99</b> [2] 127:4 326:24</p> <hr/> <p><b>---</b></p> <p><b>-at</b> [1] 140:13  <b>-was</b> [1] 262:25</p> <hr/> <p><b>-0-</b></p> <p><b>0</b> [3] 104:15,20 107:23  <b>0001</b> [1] 134:14  <b>0002</b> [1] 136:21  <b>0015</b> [1] 180:1  <b>0017</b> [1] 190:8  <b>002</b> [1] 136:20  <b>0113</b> [1] 8:23</p> <hr/> <p><b>-1-</b></p> <p><b>1</b> [4] 105:17 196:7 262:12 264:24  <b>10</b> [5] 80:10,12 100:6 105:16 326:3  <b>100</b> [2] 58:14 321:21  <b>10th</b> [2] 114:19 115:2  <b>11</b> [5] 203:25 204:2 324:25 336:24 360:24  <b>11-12</b> [1] 144:15  <b>11th</b> [1] 154:11  <b>12</b> [3] 68:20 79:22 366:21  <b>12th</b> [2] 114:22 194:2  <b>13</b> [2] 185:24 186:3  <b>140</b> [1] 355:21  <b>14th</b> [12] 68:21 80:16 81:2 170:24 171:1,8,18 171:21 183:16 190:20 193:19 286:1  <b>15</b> [2] 25:14 326:3  <b>15th</b> [1] 263:4  <b>16th</b> [3] 153:16,22,25  <b>17</b> [1] 295:10  <b>17th</b> [11] 68:23 69:2 80:17 81:4,6 107:20 175:22 184:19 185:23</p>	<p>186:10,16  <b>18</b> [3] 3:1 293:8,14  <b>18th</b> [3] 198:18 200:7,14  <b>190</b> [1] 355:22  <b>1980s</b> [1] 352:5  <b>1987</b> [1] 304:16  <b>1989</b> [1] 304:16  <b>1990s</b> [1] 346:10  <b>1993</b> [2] 304:19 305:22  <b>1996</b> [3] 144:23 304:22 372:5  <b>1998</b> [1] 305:1  <b>1999</b> [8] 68:2 305:5 322:14 327:1 332:21 345:20,25 346:19  <b>19th</b> [7] 9:3 202:18 203:13 206:21 266:6 282:17 360:24  <b>1st</b> [1] 231:7</p> <hr/> <p><b>-2-</b></p> <p><b>2</b> [2] 104:18 265:4  <b>20</b> [22] 7:9 25:14 74:17 80:11 101:1 107:23 118:25 137:10 169:23 185:15 186:22,22 188:18 198:5 203:3,5 204:7 240:8,10 248:22 286:10 346:8  <b>200</b> [1] 185:12  <b>2000</b> [3] 100:1 105:12 106:13  <b>2001</b> [42] 21:20 68:7,11 68:12,15 106:13 107:21 113:20 126:8 135:24 137:23 138:14,24 139:7 144:19 147:22,22,25 148:10 154:7 162:19,21 162:24 169:19 170:14 173:22 180:5 181:14,17 186:16,20 191:20 193:3 225:16 275:24 276:3 305:10 334:4,5 364:21 364:23 366:7  <b>2001-2002</b> [1] 333:20  <b>2002</b> [31] 82:4 114:4 118:19 122:11 123:18 147:23 148:2,3 150:14 154:1,20 162:25 163:1 175:16 178:4 187:5 192:3 259:14,19 275:10 277:9 288:5 305:13 333:15 341:21 346:11,16 349:9 365:4 367:10 368:8  <b>2002-2003</b> [1] 330:11  <b>2002/2003</b> [2] 347:23 349:21  <b>2003</b> [32] 9:1,3,20 11:11 14:13 15:7 21:20 23:25 104:15 118:22 162:25 163:13 177:21 178:5 245:18,20 262:3,11 263:4 264:24 265:5,7 266:3,6 266:23 267:12 268:10,17 269:2 347:5 348:11 349:10</p>	<p><b>2004</b> [10] 16:2,3 82:7,12 163:16 178:7,8,17 179:20 179:20  <b>2005</b> [48] 8:9 25:23 27:19 27:20,23 28:1,15,18 32:4 32:13,18 40:17 41:25 42:4 99:23 100:8 137:8 154:2,11,14,17 156:2 157:18 158:13 159:4,6 165:20 170:1,2 178:22 178:24 179:1,7,14,17,21 179:22 318:10 328:19,23 343:2 354:1,1 355:3 360:24 362:12 363:11,24  <b>2005-2006</b> [1] 341:14  <b>2006</b> [56] 25:23 82:17 83:6,19 87:11,15,18,19 89:7 107:20 112:11 114:2 114:19,23 136:8 155:15 161:2,10 165:23 169:10 169:16 170:18 171:2,18 171:21,25 174:6 175:5,8 175:22 176:6,7,19 177:6 180:2,10 182:23,25 184:19 185:23 186:10 190:11,21 231:7 259:24 282:25 285:16 287:3 288:8,12,23 293:8 305:16 333:22 334:1 335:19  <b>2007</b> [22] 43:3,4 68:18 68:20,22 79:22 83:22 85:1,9,10 86:11 91:17 113:21 194:2,15 197:9 198:18 200:7 225:17 231:9 287:12 290:7  <b>2008</b> [15] 1:4 3:1 69:22 81:2 85:22 86:1 202:18 203:13 287:12 288:8,13 291:23,25 376:5,12  <b>2009</b> [2] 343:6 344:21  <b>2010</b> [1] 343:6  <b>207</b> [2] 2:3,4  <b>20th</b> [4] 137:8 159:6 207:2 287:17  <b>217</b> [2] 2:4,5  <b>22nd</b> [15] 87:15 154:2,14 157:18 159:4,12 160:14 178:21 186:20 189:2 197:9 200:19,21 276:2 290:7  <b>23</b> [1] 262:2  <b>23rd</b> [2] 11:11 14:13  <b>25</b> [2] 104:18 246:7  <b>2510</b> [2] 303:11,14  <b>2548</b> [1] 91:14  <b>2599</b> [1] 303:16  <b>25th</b> [1] 137:22  <b>26</b> [1] 87:19  <b>261</b> [2] 2:5,6  <b>2610</b> [2] 303:18,20  <b>26th</b> [7] 89:7 161:2 169:9 180:2,10 182:23 183:12  <b>27</b> [1] 86:11  <b>275</b> [1] 374:20  <b>27th</b> [2] 89:3 199:5  <b>281</b> [2] 2:6,7</p>	<p><b>299</b> [2] 2:7,8  <b>29th</b> [5] 32:4 87:18 135:24 139:6 150:19  <b>2:15</b> [1] 217:16  <b>2nd</b> [2] 14:21 265:5</p> <hr/> <p><b>-3-</b></p> <p><b>3</b> [3] 262:19 267:19 273:13  <b>30</b> [6] 80:11 122:16 185:16 277:1,3 373:17  <b>302</b> [2] 2:8,10  <b>303</b> [3] 3:3,4,5  <b>304</b> [2] 3:7,8  <b>30th</b> [6] 194:14 200:1,3 200:19,22 202:3  <b>31st</b> [1] 85:8  <b>375</b> [1] 2:10  <b>39</b> [1] 146:21  <b>3rd</b> [4] 100:8 136:8 161:10 165:23</p> <hr/> <p><b>-4-</b></p> <p><b>4</b> [1] 2:3  <b>4.3</b> [1] 16:7  <b>40</b> [2] 100:6 185:10  <b>47</b> [1] 81:1  <b>4:30</b> [1] 97:20  <b>4th</b> [5] 99:23 138:13,24 262:15 264:24</p> <hr/> <p><b>-5-</b></p> <p><b>5</b> [4] 104:24 105:13 265:12 266:5  <b>50</b> [4] 114:7 119:2 151:2 352:8  <b>5:00</b> [1] 371:10</p> <hr/> <p><b>-6-</b></p> <p><b>6</b> [4] 97:22 114:1 266:13 266:14  <b>60</b> [2] 114:7 352:8  <b>68.8</b> [1] 127:4  <b>6th</b> [4] 87:11 112:11 114:2 115:7</p> <hr/> <p><b>-7-</b></p> <p><b>7</b> [5] 97:22 118:15 266:12 266:13 267:19  <b>70</b> [5] 119:3 137:13 169:23 186:23 198:6  <b>70s</b> [1] 106:7  <b>73</b> [5] 127:6,7 202:19 203:14,18  <b>7th</b> [2] 91:17 150:14</p> <hr/> <p><b>-8-</b></p> <p><b>8</b> [4] 1:4 97:19 261:25 264:5  <b>80</b> [11] 7:8 104:16 149:1</p>	<p>151:1 203:1 246:5 276:4 282:20 285:10 330:4,6  <b>85</b> [5] 137:2,14 138:9 169:20 186:20  <b>8:30</b> [1] 97:19  <b>8th</b> [6] 126:8 169:16 170:18 182:25 376:5,12</p> <hr/> <p><b>-9-</b></p> <p><b>90</b> [13] 80:10 104:16 118:25 122:18 137:2,15 138:9 186:21 203:1 246:6 276:4 282:20 285:10  <b>95</b> [1] 169:20  <b>9:30</b> [1] 375:18  <b>9th</b> [1] 16:2</p> <hr/> <p><b>-A-</b></p> <p><b>A.D</b> [2] 376:5,12  <b>Abbotsford</b> [1] 311:20  <b>abdomen</b> [1] 154:10  <b>abdominal</b> [1] 177:22  <b>ability</b> [3] 44:10 350:4 376:9  <b>able</b> [31] 4:19 34:16 35:7 71:4,9,11,15 72:1 108:19 109:15 130:20 132:16 142:2 160:9 202:15 205:17 215:4 242:22 297:23 298:1 299:1,5 313:5,21 316:22 345:12 348:22 350:4 355:22 367:8 369:3  <b>abreast</b> [1] 323:16  <b>absence</b> [1] 113:9  <b>absolutely</b> [2] 105:3 203:12  <b>abstracts</b> [1] 324:20  <b>acceptable</b> [1] 280:18  <b>accepted</b> [4] 146:14 259:10 277:23 278:12  <b>access</b> [1] 228:3  <b>accommodate</b> [1] 97:9  <b>accommodated</b> [1] 97:18  <b>accounting</b> [14] 15:19 82:9 83:3 84:5 91:2 101:25 136:14 181:5 182:3 186:2,13 187:21 198:2 226:21  <b>accordingly</b> [2] 226:19 248:5  <b>account</b> [1] 271:11  <b>accounts</b> [1] 288:13  <b>accreditation</b> [1] 222:9  <b>accumulation</b> [1] 84:11  <b>accuracy</b> [3] 130:4 131:10 272:11  <b>accurate</b> [1] 188:1  <b>acknowledge</b> [1] 256:24  <b>acknowledged</b> [1] 158:25  <b>act</b> [3] 212:20 213:2 369:1</p>
--	---	--	--	---

<b>acted</b> [3] 48:22 286:16 310:25	<b>afraid</b> [1] 261:7	237:22 265:12	<b>Antonio</b> [2] 324:9 325:24	<b>arrangements</b> [1] 209:19
<b>acting</b> [3] 305:11 333:19 334:5	<b>afternoon</b> [14] 208:4,6 217:5,24 218:4 261:13 261:15 281:16 285:2 302:8 303:6 304:7,9 358:6	<b>Ahmad</b> [4] 45:11 331:3 331:20 346:14	<b>anxiety</b> [2] 230:24 348:19	<b>arranging</b> [2] 208:11,13
<b>action</b> [4] 1:13 225:19 261:18 349:8	<b>afterward</b> [3] 154:8,18 191:23	<b>al</b> [1] 1:9	<b>anxious</b> [1] 230:7	<b>arrive</b> [2] 26:13 55:23
<b>active</b> [9] 39:4 93:22 140:23,25 148:23 149:21 323:9 344:16 366:1	<b>afterwards</b> [18] 5:10 23:23 25:12 42:10 77:23 104:4 138:20 171:16 172:4 191:5,15 206:1 255:21 257:11,22 289:25 293:14 300:10	<b>albeit</b> [1] 319:6	<b>anyhow</b> [1] 183:11	<b>arrived</b> [4] 60:7 115:13 171:5 345:20
<b>actively</b> [5] 17:17 61:25 62:19 92:25 343:5	<b>again</b> [127] 8:22,25 14:16 15:19,25 16:14 19:13 28:10 30:12 32:16 34:20 36:14,18 43:17 50:9 61:21 65:22 68:25 70:6 73:5 75:7 77:9,21 78:7 78:18 82:16,17 83:17,22 83:23 95:11 96:18 103:23 106:24 108:23 111:16 115:25 116:17 118:18 119:11 121:3,6 122:9 131:20 132:22 133:3,6 134:1 137:5 152:12 155:9 156:7,13 157:5 158:17 168:20 173:16 174:19 175:8 176:6,8 182:23 184:1 186:7,25 187:2,21 193:18,20 196:2,9 197:9 197:10,11,23 198:2,6,11 198:18,21 199:17 203:16 206:8,17 207:3 208:22 209:1,21 217:16 224:7 224:20 225:7 240:12 241:17,18 243:5 246:1 246:18 247:13,19 248:19 249:10 253:7 256:4 259:24 263:2 267:11 271:4 272:3 273:19 274:24 278:22 280:11 283:9 287:3,14 288:3,12 288:21 291:2,3 292:9,14 293:1 294:19 323:3 337:23	<b>Alberta</b> [6] 81:16 83:24 85:24 86:2 89:23 225:14	<b>anyway</b> [4] 83:2 214:12 219:17 257:15	<b>ascertain</b> [1] 218:9
<b>activities</b> [1] 318:16	<b>again</b> [127] 8:22,25 14:16 15:19,25 16:14 19:13 28:10 30:12 32:16 34:20 36:14,18 43:17 50:9 61:21 65:22 68:25 70:6 73:5 75:7 77:9,21 78:7 78:18 82:16,17 83:17,22 83:23 95:11 96:18 103:23 106:24 108:23 111:16 115:25 116:17 118:18 119:11 121:3,6 122:9 131:20 132:22 133:3,6 134:1 137:5 152:12 155:9 156:7,13 157:5 158:17 168:20 173:16 174:19 175:8 176:6,8 182:23 184:1 186:7,25 187:2,21 193:18,20 196:2,9 197:9 197:10,11,23 198:2,6,11 198:18,21 199:17 203:16 206:8,17 207:3 208:22 209:1,21 217:16 224:7 224:20 225:7 240:12 241:17,18 243:5 246:1 246:18 247:13,19 248:19 249:10 253:7 256:4 259:24 263:2 267:11 271:4 272:3 273:19 274:24 278:22 280:11 283:9 287:3,14 288:3,12 288:21 291:2,3 292:9,14 293:1 294:19 323:3 337:23	<b>Alidina</b> [3] 68:2,6 128:25	<b>apology</b> [2] 251:20 253:19	<b>ASCO</b> [1] 148:1
<b>actual</b> [4] 55:16 218:19 246:8 268:9	<b>again</b> [127] 8:22,25 14:16 15:19,25 16:14 19:13 28:10 30:12 32:16 34:20 36:14,18 43:17 50:9 61:21 65:22 68:25 70:6 73:5 75:7 77:9,21 78:7 78:18 82:16,17 83:17,22 83:23 95:11 96:18 103:23 106:24 108:23 111:16 115:25 116:17 118:18 119:11 121:3,6 122:9 131:20 132:22 133:3,6 134:1 137:5 152:12 155:9 156:7,13 157:5 158:17 168:20 173:16 174:19 175:8 176:6,8 182:23 184:1 186:7,25 187:2,21 193:18,20 196:2,9 197:9 197:10,11,23 198:2,6,11 198:18,21 199:17 203:16 206:8,17 207:3 208:22 209:1,21 217:16 224:7 224:20 225:7 240:12 241:17,18 243:5 246:1 246:18 247:13,19 248:19 249:10 253:7 256:4 259:24 263:2 267:11 271:4 272:3 273:19 274:24 278:22 280:11 283:9 287:3,14 288:3,12 288:21 291:2,3 292:9,14 293:1 294:19 323:3 337:23	<b>alike</b> [1] 106:2	<b>apparatus</b> [1] 376:10	<b>aside</b> [5] 55:7 237:13 238:20 249:7,14
<b>add</b> [1] 65:2	<b>again</b> [127] 8:22,25 14:16 15:19,25 16:14 19:13 28:10 30:12 32:16 34:20 36:14,18 43:17 50:9 61:21 65:22 68:25 70:6 73:5 75:7 77:9,21 78:7 78:18 82:16,17 83:17,22 83:23 95:11 96:18 103:23 106:24 108:23 111:16 115:25 116:17 118:18 119:11 121:3,6 122:9 131:20 132:22 133:3,6 134:1 137:5 152:12 155:9 156:7,13 157:5 158:17 168:20 173:16 174:19 175:8 176:6,8 182:23 184:1 186:7,25 187:2,21 193:18,20 196:2,9 197:9 197:10,11,23 198:2,6,11 198:18,21 199:17 203:16 206:8,17 207:3 208:22 209:1,21 217:16 224:7 224:20 225:7 240:12 241:17,18 243:5 246:1 246:18 247:13,19 248:19 249:10 253:7 256:4 259:24 263:2 267:11 271:4 272:3 273:19 274:24 278:22 280:11 283:9 287:3,14 288:3,12 288:21 291:2,3 292:9,14 293:1 294:19 323:3 337:23	<b>alleges</b> [1] 291:6	<b>Appearances</b> [1] 1:5	<b>asks</b> [1] 201:12
<b>added</b> [2] 313:17 347:18	<b>again</b> [127] 8:22,25 14:16 15:19,25 16:14 19:13 28:10 30:12 32:16 34:20 36:14,18 43:17 50:9 61:21 65:22 68:25 70:6 73:5 75:7 77:9,21 78:7 78:18 82:16,17 83:17,22 83:23 95:11 96:18 103:23 106:24 108:23 111:16 115:25 116:17 118:18 119:11 121:3,6 122:9 131:20 132:22 133:3,6 134:1 137:5 152:12 155:9 156:7,13 157:5 158:17 168:20 173:16 174:19 175:8 176:6,8 182:23 184:1 186:7,25 187:2,21 193:18,20 196:2,9 197:9 197:10,11,23 198:2,6,11 198:18,21 199:17 203:16 206:8,17 207:3 208:22 209:1,21 217:16 224:7 224:20 225:7 240:12 241:17,18 243:5 246:1 246:18 247:13,19 248:19 249:10 253:7 256:4 259:24 263:2 267:11 271:4 272:3 273:19 274:24 278:22 280:11 283:9 287:3,14 288:3,12 288:21 291:2,3 292:9,14 293:1 294:19 323:3 337:23	<b>allied</b> [1] 337:9	<b>appeared</b> [3] 120:25 121:16 189:8	<b>aspect</b> [1] 115:1
<b>addenda</b> [1] 211:23	<b>again</b> [127] 8:22,25 14:16 15:19,25 16:14 19:13 28:10 30:12 32:16 34:20 36:14,18 43:17 50:9 61:21 65:22 68:25 70:6 73:5 75:7 77:9,21 78:7 78:18 82:16,17 83:17,22 83:23 95:11 96:18 103:23 106:24 108:23 111:16 115:25 116:17 118:18 119:11 121:3,6 122:9 131:20 132:22 133:3,6 134:1 137:5 152:12 155:9 156:7,13 157:5 158:17 168:20 173:16 174:19 175:8 176:6,8 182:23 184:1 186:7,25 187:2,21 193:18,20 196:2,9 197:9 197:10,11,23 198:2,6,11 198:18,21 199:17 203:16 206:8,17 207:3 208:22 209:1,21 217:16 224:7 224:20 225:7 240:12 241:17,18 243:5 246:1 246:18 247:13,19 248:19 249:10 253:7 256:4 259:24 263:2 267:11 271:4 272:3 273:19 274:24 278:22 280:11 283:9 287:3,14 288:3,12 288:21 291:2,3 292:9,14 293:1 294:19 323:3 337:23	<b>allowance</b> [1] 327:8	<b>appearing</b> [3] 20:23 21:7 135:6	<b>aspects</b> [3] 42:6 245:21 309:15
<b>addendum</b> [24] 16:10 16:13,24 17:1,3,8 18:17 19:23 24:18,23 26:2,4 55:22 60:6 135:23 136:7 137:7 156:20 159:5,6,11 159:20 167:1,11	<b>again</b> [127] 8:22,25 14:16 15:19,25 16:14 19:13 28:10 30:12 32:16 34:20 36:14,18 43:17 50:9 61:21 65:22 68:25 70:6 73:5 75:7 77:9,21 78:7 78:18 82:16,17 83:17,22 83:23 95:11 96:18 103:23 106:24 108:23 111:16 115:25 116:17 118:18 119:11 121:3,6 122:9 131:20 132:22 133:3,6 134:1 137:5 152:12 155:9 156:7,13 157:5 158:17 168:20 173:16 174:19 175:8 176:6,8 182:23 184:1 186:7,25 187:2,21 193:18,20 196:2,9 197:9 197:10,11,23 198:2,6,11 198:18,21 199:17 203:16 206:8,17 207:3 208:22 209:1,21 217:16 224:7 224:20 225:7 240:12 241:17,18 243:5 246:1 246:18 247:13,19 248:19 249:10 253:7 256:4 259:24 263:2 267:11 271:4 272:3 273:19 274:24 278:22 280:11 283:9 287:3,14 288:3,12 288:21 291:2,3 292:9,14 293:1 294:19 323:3 337:23	<b>almost</b> [3] 193:16 359:19 366:11	<b>appointed</b> [2] 318:13,14 62:4 62:10,24 63:18 96:2,14 208:18 209:9,25 210:1,4 210:19 218:20 220:11,13 222:5 229:6,24 241:8 320:18	<b>assay</b> [2] 372:9 374:1
<b>adding</b> [1] 302:1	<b>again</b> [127] 8:22,25 14:16 15:19,25 16:14 19:13 28:10 30:12 32:16 34:20 36:14,18 43:17 50:9 61:21 65:22 68:25 70:6 73:5 75:7 77:9,21 78:7 78:18 82:16,17 83:17,22 83:23 95:11 96:18 103:23 106:24 108:23 111:16 115:25 116:17 118:18 119:11 121:3,6 122:9 131:20 132:22 133:3,6 134:1 137:5 152:12 155:9 156:7,13 157:5 158:17 168:20 173:16 174:19 175:8 176:6,8 182:23 184:1 186:7,25 187:2,21 193:18,20 196:2,9 197:9 197:10,11,23 198:2,6,11 198:18,21 199:17 203:16 206:8,17 207:3 208:22 209:1,21 217:16 224:7 224:20 225:7 240:12 241:17,18 243:5 246:1 246:18 247:13,19 248:19 249:10 253:7 256:4 259:24 263:2 267:11 271:4 272:3 273:19 274:24 278:22 280:11 283:9 287:3,14 288:3,12 288:21 291:2,3 292:9,14 293:1 294:19 323:3 337:23	<b>along</b> [10] 38:17,18 40:5 137:20 203:6 254:19 301:15 302:4 319:2 352:17	<b>appointments</b> [9] 62:5 71:18 208:11,13,19 220:24 221:2 223:3 238:18	<b>assessed</b> [7] 108:1,14 109:19 110:11,22 111:13 112:4
<b>addition</b> [2] 17:3 338:3	<b>again</b> [127] 8:22,25 14:16 15:19,25 16:14 19:13 28:10 30:12 32:16 34:20 36:14,18 43:17 50:9 61:21 65:22 68:25 70:6 73:5 75:7 77:9,21 78:7 78:18 82:16,17 83:17,22 83:23 95:11 96:18 103:23 106:24 108:23 111:16 115:25 116:17 118:18 119:11 121:3,6 122:9 131:20 132:22 133:3,6 134:1 137:5 152:12 155:9 156:7,13 157:5 158:17 168:20 173:16 174:19 175:8 176:6,8 182:23 184:1 186:7,25 187:2,21 193:18,20 196:2,9 197:9 197:10,11,23 198:2,6,11 198:18,21 199:17 203:16 206:8,17 207:3 208:22 209:1,21 217:16 224:7 224:20 225:7 240:12 241:17,18 243:5 246:1 246:18 247:13,19 248:19 249:10 253:7 256:4 259:24 263:2 267:11 271:4 272:3 273:19 274:24 278:22 280:11 283:9 287:3,14 288:3,12 288:21 291:2,3 292:9,14 293:1 294:19 323:3 337:23	<b>alongside</b> [2] 307:4 374:17	<b>appreciate</b> [2] 244:7 302:3	<b>assessment</b> [15] 127:12 127:14 130:14 132:14,25 138:5,15 148:1 150:23 172:19,21 197:13,23 198:1,19
<b>additional</b> [5] 238:5 254:24 350:15 354:8 359:24	<b>again</b> [127] 8:22,25 14:16 15:19,25 16:14 19:13 28:10 30:12 32:16 34:20 36:14,18 43:17 50:9 61:21 65:22 68:25 70:6 73:5 75:7 77:9,21 78:7 78:18 82:16,17 83:17,22 83:23 95:11 96:18 103:23 106:24 108:23 111:16 115:25 116:17 118:18 119:11 121:3,6 122:9 131:20 132:22 133:3,6 134:1 137:5 152:12 155:9 156:7,13 157:5 158:17 168:20 173:16 174:19 175:8 176:6,8 182:23 184:1 186:7,25 187:2,21 193:18,20 196:2,9 197:9 197:10,11,23 198:2,6,11 198:18,21 199:17 203:16 206:8,17 207:3 208:22 209:1,21 217:16 224:7 224:20 225:7 240:12 241:17,18 243:5 246:1 246:18 247:13,19 248:19 249:10 253:7 256:4 259:24 263:2 267:11 271:4 272:3 273:19 274:24 278:22 280:11 283:9 287:3,14 288:3,12 288:21 291:2,3 292:9,14 293:1 294:19 323:3 337:23	<b>altered</b> [1] 258:3	<b>apprised</b> [1] 39:11	<b>assigned</b> [3] 18:8,11 309:13
<b>additive</b> [1] 244:4	<b>again</b> [127] 8:22,25 14:16 15:19,25 16:14 19:13 28:10 30:12 32:16 34:20 36:14,18 43:17 50:9 61:21 65:22 68:25 70:6 73:5 75:7 77:9,21 78:7 78:18 82:16,17 83:17,22 83:23 95:11 96:18 103:23 106:24 108:23 111:16 115:25 116:17 118:18 119:11 121:3,6 122:9 131:20 132:22 133:3,6 134:1 137:5 152:12 155:9 156:7,13 157:5 158:17 168:20 173:16 174:19 175:8 176:6,8 182:23 184:1 186:7,25 187:2,21 193:18,20 196:2,9 197:9 197:10,11,23 198:2,6,11 198:18,21 199:17 203:16 206:8,17 207:3 208:22 209:1,21 217:16 224:7 224:20 225:7 240:12 241:17,18 243:5 246:1 246:18 247:13,19 248:19 249:10 253:7 256:4 259:24 263:2 267:11 271:4 272:3 273:19 274:24 278:22 280:11 283:9 287:3,14 288:3,12 288:21 291:2,3 292:9,14 293:1 294:19 323:3 337:23	<b>alternate</b> [9] 93:20,24 162:17 163:2 165:10,13 165:14 355:12 358:14	<b>approach</b> [7] 71:25 205:4 236:18,21 280:25 316:13 337:12	<b>assist</b> [2] 254:9 338:6
<b>address</b> [8] 22:3 247:19 250:22 251:3 253:17 256:22 258:4 269:16	<b>again</b> [127] 8:22,25 14:16 15:19,25 16:14 19:13 28:10 30:12 32:16 34:20 36:14,18 43:17 50:9 61:21 65:22 68:25 70:6 73:5 75:7 77:9,21 78:7 78:18 82:16,17 83:17,22 83:23 95:11 96:18 103:23 106:24 108:23 111:16 115:25 116:17 118:18 119:11 121:3,6 122:9 131:20 132:22 133:3,6 134:1 137:5 152:12 155:9 156:7,13 157:5 158:17 168:20 173:16 174:19 175:8 176:6,8 182:23 184:1 186:7,25 187:2,21 193:18,20 196:2,9 197:9 197:10,11,23 198:2,6,11 198:18,21 199:17 203:16 206:8,17 207:3 208:22 209:1,21 217:16 224:7 224:20 225:7 240:12 241:17,18 243:5 246:1 246:18 247:13,19 248:19 249:10 253:7 256:4 259:24 263:2 267:11 271:4 272:3 273:19 274:24 278:22 280:11 283:9 287:3,14 288:3,12 288:21 291:2,3 292:9,14 293:1 294:19 323:3 337:23	<b>alternating</b> [1] 163:14	<b>appropriate</b> [11] 51:25 140:14,16 218:9 246:10 247:10 248:3 269:12 274:7 313:6 354:12	<b>assistance</b> [2] 52:6 74:13
<b>addressed</b> [8] 92:1,7,19 92:22,25 93:3 265:6,13	<b>again</b> [127] 8:22,25 14:16 15:19,25 16:14 19:13 28:10 30:12 32:16 34:20 36:14,18 43:17 50:9 61:21 65:22 68:25 70:6 73:5 75:7 77:9,21 78:7 78:18 82:16,17 83:17,22 83:23 95:11 96:18 103:23 106:24 108:23 111:16 115:25 116:17 118:18 119:11 121:3,6 122:9 131:20 132:22 133:3,6 134:1 137:5 152:12 155:9 156:7,13 157:5 158:17 168:20 173:16 174:19 175:8 176:6,8 182:23 184:1 186:7,25 187:2,21 193:18,20 196:2,9 197:9 197:10,11,23 198:2,6,11 198:18,21 199:17 203:16 206:8,17 207:3 208:22 209:1,21 217:16 224:7 224:20 225:7 240:12 241:17,18 243:5 246:1 246:18 247:13,19 248:19 249:10 253:7 256:4 259:24 263:2 267:11 271:4 272:3 273:19 274:24 278:22 280:11 283:9 287:3,14 288:3,12 288:21 291:			





Inquiry on Hormone Receptor Testing

<p><b>Canadian</b> [10] 1:15 140:2 217:25 298:22 308:8 310:15 327:10 351:21 355:15,17</p> <p><b>cancer</b> [155] 1:12,15 7:2 35:14,19 68:15 75:11 76:5 82:11,24 87:17 99:25 100:11,12,14,18 100:21 101:19 102:3,14 102:17,22 103:7,13,14 113:7 118:19,23 119:11 122:10 123:15 124:2 138:19 139:14,22 140:13 140:13 143:2 144:15 146:22 148:22,23 149:21 149:24 151:3 176:25 177:8 192:12,12 218:1 224:21 231:23 235:11 242:19,21 243:7,8 256:17 257:12 258:22 261:18 288:24 295:14,16 296:25 298:13,14,17,18,19 304:24 305:2,8,15 306:9 306:15 307:11,21,25 308:1,4 309:13 310:4,7 310:12,20,21,23,24 311:5 311:6,10,17 312:1,6,14 312:23 313:8,10 314:9 314:20 315:5,7,10,15 316:20 317:3,14,16,17 317:19,19,21,23 318:7 318:16 319:3,24 320:1 324:10 325:1,10 329:9 329:12 330:1,18 334:19 334:25 335:11,16,23,24 336:6,11 337:11,12,15 337:17,20 338:8 340:1 340:16,19 342:14,16 363:5,8 364:25 365:24 366:18 368:7,11 370:23 372:17,25</p> <p><b>cancers</b> [11] 102:22 104:10,24 119:14 123:2 123:20 124:1 242:23 282:6 297:5 314:6</p> <p><b>candidate</b> [8] 5:19 6:2,5 13:2 68:5 138:20 139:1 284:24</p> <p><b>candidates</b> [1] 33:3</p> <p><b>cannot</b> [16] 58:14 70:10 72:8,11,12 85:7 88:1 156:9 201:15 219:17 243:1 290:5 292:20 298:20,25 368:12</p> <p><b>capacity</b> [3] 322:23 325:8 345:12</p> <p><b>capital</b> [3] 336:13,14,16</p> <p><b>capturing</b> [1] 314:5</p> <p><b>carbon</b> [3] 227:10 228:11 228:16</p> <p><b>carcinoma</b> [6] 16:19,19 151:6 281:23 282:9,10</p> <p><b>cardiac</b> [1] 335:11</p> <p><b>cardiologist</b> [3] 126:17 127:23 128:16</p> <p><b>care</b> [51] 10:9,10 11:6 12:18 19:11 91:1 93:1 137:11 140:13 147:24 148:7 207:13 208:17 210:2 255:21 266:16</p>	<p>267:21 268:9 269:20,22 270:6,11 271:6 273:1,17 305:15 310:12 311:5 318:7 319:9,24 320:1 325:4 334:19,25 335:11 335:16,24 336:11 337:7 337:9,11,12,17 338:9 340:1,16,19 342:14 362:10 363:3</p> <p><b>careful</b> [1] 358:22</p> <p><b>carefully</b> [1] 313:22</p> <p><b>carry</b> [3] 110:13 201:12 372:3</p> <p><b>Carter</b> [3] 32:6,8 46:15</p> <p><b>case</b> [58] 13:14 16:11 17:3 27:24 29:17 47:18,18 49:14 51:1 57:16 60:10 71:2 79:16,17 91:16 107:15,20 110:24 111:2 113:20 114:3 118:18 141:10 142:23 143:6 145:3,23 146:24 149:22 172:9 173:1 184:10 217:14 218:22 228:20,25 236:2,7,8 242:12,18 260:5 275:6 278:3,19 279:2,23 280:4,6,12,19 285:3 286:5,8,10,19 354:8 359:24</p> <p><b>caseload</b> [1] 297:17</p> <p><b>cases</b> [17] 8:13 21:19 23:7 25:23 51:8 61:2 93:3 94:15,24 210:6 213:21 223:6 225:2 229:5,10 271:23 362:3</p> <p><b>CAT</b> [16] 97:16 154:10 154:13 178:10 179:13 199:5,10,11 201:11 211:15 287:16,17 290:19 291:15,16 292:13</p> <p><b>categories</b> [3] 245:7 332:16,18</p> <p><b>category</b> [1] 6:13</p> <p><b>caught</b> [3] 119:25 121:21 121:22</p> <p><b>caused</b> [7] 49:8 50:21 75:5 77:13 243:10 250:23 348:18</p> <p><b>causes</b> [1] 249:19</p> <p><b>cc'd</b> [2] 92:11,16</p> <p><b>cc'ed</b> [3] 59:15 115:11 117:16</p> <p><b>cell</b> [1] 16:19</p> <p><b>cells</b> [5] 102:24 137:3,10 137:13 138:10</p> <p><b>centimetre</b> [1] 109:6</p> <p><b>Central</b> [3] 1:16 319:15 321:4</p> <p><b>centre</b> [10] 51:23 87:17 125:22 139:15 298:18,18 298:20 314:25 318:16 337:20</p> <p><b>centres</b> [4] 140:3 298:4 311:18 337:15</p> <p><b>CEOs</b> [1] 342:15</p> <p><b>certain</b> [13] 10:5 104:1 106:1 156:21 231:16</p>	<p>254:21 262:19 324:1 332:6,12,17 367:14 373:4</p> <p><b>certainly</b> [22] 24:13 51:9 51:11 244:8 304:15 305:22 306:11 307:16,22 310:20 312:2 314:18 316:10,12,15 317:12,20 326:5 329:1,21 341:19 342:1</p> <p><b>Certificate</b> [2] 2:11 376:1</p> <p><b>certification</b> [1] 323:22</p> <p><b>certify</b> [1] 376:2</p> <p><b>chain</b> [1] 262:14</p> <p><b>chair</b> [3] 118:17 339:8 339:13</p> <p><b>challenge</b> [1] 337:25</p> <p><b>challenging</b> [1] 361:20</p> <p><b>chance</b> [8] 9:8 100:25 101:1,8 203:1 204:14 226:3 282:20</p> <p><b>change</b> [113] 19:11 21:15 23:17 25:7,24 48:4,22 49:4,20,21 50:2 51:3 53:7 56:6,12,13 57:6,8 57:10,12 58:17 59:4 60:12,17,25 61:1,1,6,23 62:1,15,18,20,22 63:6,8 63:9 64:24 65:4 66:4,21 69:18 70:3,10,16,21 72:9 72:18 76:17,18 78:4 80:10 94:1,4,8,9,15,22 94:24 95:7,13 97:12,13 97:14 98:24 105:19 111:13 112:6 116:24 127:18 141:1,8 158:8 161:15 162:2,7 164:3,5 164:13 168:2,4 176:7 184:22 189:15 190:9 212:13 218:22,25 222:6 224:9,13 227:9,18 228:20 228:25 231:19 232:3,3 234:12 247:20 255:21 286:9,20 290:21 294:5 294:11 295:16 318:2,5,9 318:17 348:12 354:6</p> <p><b>changed</b> [17] 16:14 19:1 48:10,23 49:9 50:22 167:22 172:2 173:3 182:4 188:21,23 208:14 210:7 220:9 320:9 326:16</p> <p><b>changes</b> [18] 16:16,20 17:6 22:24,25 41:15 52:17 70:23 72:17 83:25 97:16 189:12 238:19 247:6 297:22 318:21 338:17 354:3</p> <p><b>changing</b> [2] 17:25 23:2</p> <p><b>channelled</b> [1] 231:17</p> <p><b>characters</b> [1] 123:25</p> <p><b>chart</b> [130] 19:15 25:17 25:19 35:16 36:20 44:9 44:12,25 45:21 47:11 50:17 51:24 52:1,5 57:1 57:23,25 58:10 59:2 72:10 83:1,2,14,17 87:18 87:23,24 88:3,7,9,11 89:2,5,9,17 90:11,13 91:24 100:9 102:19</p>	<p>108:19 109:14 113:7 115:24 116:14,15 117:8 117:10,14,23 118:1,10 121:4 129:15,19 131:13 132:12,20 133:2,5 155:6 155:16 156:3,10,19,20 156:21 157:3,10 159:5 159:16,22,25 160:3,3,8 161:11,21 165:24 166:12 166:18 167:1,3,5,11 168:9,17 169:2,5,10,25 170:1,3,20,25 171:5 172:23 175:19 180:13,16 181:6 186:1 196:5 197:2 197:6 200:1,5,6 201:2,6 201:7,7,14,15,17,21,22 202:1 205:6,24 206:19 207:4 220:1 238:13 243:2 243:16 246:2 287:4 292:19,20</p> <p><b>charts</b> [10] 25:15 45:2 83:5 155:3,3 156:8 196:10 202:20 213:18 318:18</p> <p><b>Chaytor</b> [649] 1:7 2:3,8 2:10 4:1,4,5,10,16 5:3 5:12,17 6:10,18,23 7:6 7:14,18 8:3,21 9:13,18 9:23 10:23 11:7,24 13:13 13:20,24 14:3,9,20 15:1 15:6,12,23 16:6 18:4,14 18:23 19:21 20:4,12,17 20:21 21:9,14 22:1,8,13 22:20 23:14,24 24:12,17 24:25 25:4,21 26:8,24 27:4,14,21 28:5,16,23 29:5,12,25 30:6,18 31:1 31:10,15,19 32:1,20 33:1 33:12 34:3,12 35:3,11 35:23 36:2,8,13,25 37:10 37:21 38:2,6,12,16,23 39:8,17,22 40:4,11 41:5 41:18,22 42:3,11,17,25 43:7,12,21,25 44:17 45:5 45:17,24 46:5,10,17,25 47:7,15 48:5,9,16,21 49:1,7,12,18,24 50:6,11 50:18,25 51:7 52:3,19 53:5,16,20 54:1,9,23 55:6,14,21 56:1,17 57:4 57:9,14,22 58:3,8,15,25 59:11,18,23 60:3,23 61:11 62:8,14,25 63:7 63:20 64:13,17,21 65:11 65:16,20 66:1,15,19 67:2 67:10,17,23 69:23 70:13 70:25 71:16,22 72:16 73:7,15,19 74:2,7,23 75:18 76:19,25 77:5,11 77:17 78:1,9,14,22 79:7 79:14 80:4,8,19,25 81:10 81:19,24 86:5,15,21 87:9 88:4,15,19,24 89:20 91:5 91:12 92:4,8,12 93:2,9 94:6,14,19,23 95:8,19 96:10 97:1 98:5,16 99:2 99:10,15 101:5,13,18 102:1,11 103:4,19 104:7 104:13 105:2,10 106:14 106:20 107:3,13,18 108:10 109:11,21 110:9 110:21 111:9 112:2,10</p>	<p>112:14 113:25 115:12,20 116:6,11,19 117:1,9,15 117:20 118:2,7,14 119:18 119:23 120:24 121:10,15 122:6 123:9,16 124:7,11 124:14,22,23 125:10,15 125:19,24 126:16,24 127:24 128:5,12,19 129:4 129:20 130:2,18,24 131:5 131:15,24 132:3,8,18 133:8,23 134:3,9,23 135:3,10,18 136:6,18 138:7 139:4,20 140:10 141:5,20 142:5,17,22 143:19,23 144:7,17,24 145:9,20 147:14 148:8 148:13,17 149:4 150:2,7 150:12 151:11 152:1,6 152:20 153:8,19,23 154:23 155:22 156:17 157:1,13,24 158:5 159:2 159:15 160:5,13,24 161:5 161:20,24 162:13 163:23 164:10,18,24 165:3,15 166:5,9,16,24 167:8,12 167:19 168:7,15,24 169:4 169:8,13 171:3,10,17,24 172:7,12,22 173:24 174:23 175:12,17,25 176:14,22 177:5,9,13,25 178:20 179:2,9,16,24 180:20,25 181:25 182:7 182:12,16,22 183:9,20 184:6,12,16 185:1,5,20 186:14 187:8,23 188:11 188:19 189:4,9,13,21 190:2,6,19 191:2,9,13 191:18 192:6,18,23 193:11 194:4,12,22 195:1 196:4,13,22 197:7,19,25 198:16 199:16,22 200:8 200:12,17,24 201:23 202:13 203:11,17,21 204:1,5,17,21 206:11 207:14 282:15 283:13 285:15 286:24 291:2 295:21 296:13 299:14,16 299:17,24 300:11,20,24 301:3,9,13,18,23 302:10 302:16,17,21 303:3,12 303:17,21 304:6,10 305:17 306:2,6,20 307:8 308:14,21 309:2,17,23 310:3,10,16 312:8,13,18 314:8,15 317:8 318:1 319:7,13 320:11 321:6 321:13,24 322:4,8 323:14 324:11 325:15 326:14,20 326:25 327:4,16,21 328:10 329:2,6,24 330:5 330:9,15,22 331:8,13,18 331:23 332:3,19 333:2 333:12,18,25 334:7,12 334:16,22 335:1,5 338:2 339:15,19,24 340:5,12 340:22 341:6 342:3,9,20 343:7,12,16 344:12,25 345:7,16 346:18,24 347:3 347:25 348:24 349:5,12 349:20 350:3,8,12,20 351:15 353:5,12,18,22 354:2,14,19 355:2,7 356:3,11,17,22 357:2,24</p>
---	--	---	---	--

360:8,16,22 361:3,9,14 363:22 364:2,6,12 365:13 365:17 366:6,13 367:11 367:15,24 368:5,13,18 369:20 370:2,10,24 371:5 371:10,13,17,24 372:12 372:23 373:9,14,20,25 374:8 375:4,8,13 <b>check</b> [14] 25:6 26:14 27:1 35:4,6,16 92:17 93:10,14 95:1 120:9 160:15 166:17 265:22 <b>checked</b> [2] 139:16 157:15 <b>checking</b> [2] 19:3 26:12 <b>chemo</b> [12] 85:15 129:3 191:20 193:24 196:21 244:3 247:21 289:2,7,22 290:2 298:7 <b>chemotherapy</b> [32] 6:5 16:21 85:14 106:7,23 128:25,25 138:16 141:7 154:6 162:21 192:10,14 195:13,20,25 196:8 221:10,11,17 244:1 245:22 246:16,24 247:9 248:2 258:25 287:10,13 289:17 290:22 298:7 <b>Cheryl</b> [4] 194:19,21,23 200:4 <b>Ches</b> [2] 1:13 261:17 <b>Chesley</b> [2] 2:6 261:11 <b>chief</b> [15] 42:22 305:15 318:14 321:3,7 329:10 333:22 334:18,18,25 335:12,22 338:11,13 351:18 <b>chiefs</b> [1] 339:4 <b>choice</b> [1] 354:15 <b>choose</b> [1] 354:11 <b>chose</b> [2] 307:21 360:5 <b>chosen</b> [3] 298:22 329:7 332:8 <b>Chris</b> [1] 338:16 <b>Christmas</b> [1] 69:2 <b>chronically</b> [1] 347:13 <b>chronological</b> [1] 178:3 <b>circulated</b> [1] 30:21 <b>circumstances</b> [8] 61:18 82:2 88:16 90:20 130:3 208:16 209:17 295:11 <b>city</b> [1] 116:8 <b>clarification</b> [1] 261:22 <b>clarified</b> [1] 48:1 <b>clarify</b> [3] 60:5 125:2 357:14 <b>Class</b> [2] 1:13 261:18 <b>classification</b> [1] 10:3 <b>clear</b> [1] 63:21 <b>clearance</b> [1] 313:25 <b>clearly</b> [2] 154:24 313:18 <b>clerk</b> [1] 210:2 <b>client</b> [1] 107:6 <b>clinic</b> [42] 29:9 64:8,9 68:15 82:10,11,25 87:14	87:16,24 89:1,3,13,17 89:18 96:18,21 97:3 98:4 98:8,20,25 116:2,3 139:7 139:22 144:15 154:3 180:2 210:3 213:16 217:4 224:22 225:16 229:2 231:23 235:11 258:22 292:10 307:6,6 320:5 <b>clinical</b> [36] 6:16 139:10 139:11,22 140:14 141:12 141:17,22 142:6 146:18 256:10 305:3,5,15 307:20 318:14 321:2,7 322:17 322:21 323:9 324:8 327:12 329:10 333:8,10 333:22 334:17,18,25 335:10,12 338:14 339:4 351:17 369:18 <b>clinicians</b> [1] 315:1 <b>clinics</b> [21] 30:14,16 33:6 33:10 89:14 95:12,14,21 97:8,11,19 292:11 309:8 317:19 319:22,22 320:2 320:8 321:5 329:16 345:13 <b>close</b> [6] 23:12 29:8 205:12 222:4 327:14 338:20 <b>closely</b> [2] 335:15,17 <b>closer</b> [1] 218:19 <b>closest</b> [1] 138:11 <b>closing</b> [1] 262:18 <b>clot</b> [7] 113:1 145:14 147:17 148:24 149:20,21 150:25 <b>clots</b> [6] 143:4 145:1,11 145:12 149:9 150:24 <b>clotting</b> [2] 147:18 174:4 <b>clubs</b> [1] 324:3 <b>CNS</b> [2] 325:10 329:14 <b>co-chair</b> [1] 325:3 <b>Co-counsel</b> [2] 1:6,7 <b>coagulation</b> [1] 79:4 <b>coast</b> [1] 96:9 <b>Coffey</b> [1] 1:6 <b>coincided</b> [1] 220:13 <b>collaborative</b> [1] 313:13 <b>colleagues</b> [12] 28:11 51:19 205:13 207:16 229:2 269:8 280:24 298:17 326:13 329:22 352:14 362:16 <b>collect</b> [1] 313:11 <b>collected</b> [2] 313:4 315:3 <b>collecting</b> [1] 313:14 <b>College</b> [3] 323:21,24 332:5 <b>colon</b> [1] 297:5 <b>colorectal</b> [4] 317:23 325:2 329:9,11 <b>colour</b> [2] 212:6,7 <b>Columbia</b> [7] 304:24 310:13,22 311:17 312:21 315:9 351:2 <b>combination</b> [1] 366:25	<b>comfortable</b> [5] 51:2 66:12 141:18 144:12 241:21 <b>coming</b> [30] 12:20 26:10 26:22 34:23 35:2,14 42:15 51:16 64:1 69:3,3 95:15 140:23 147:4 155:10 159:23 160:20 198:22 204:13,16 208:20 214:5 269:10 270:25 271:4 283:7 302:4 318:4 336:5 375:11 <b>comment</b> [2] 43:17 88:2 <b>commented</b> [2] 251:5,6 <b>comments</b> [2] 296:10 296:16 <b>Commission</b> [10] 1:1,6 1:7 134:11 202:18 279:10 299:5 302:24 376:4,7 <b>Commissioner</b> [69] 1:3 4:3,6 112:12,16 113:5 113:16,23 114:1 124:10 124:17,21,24 174:25 175:6 176:2,12 203:8,15 203:19,24 207:18,21,23 208:1 215:17,20,21,25 216:5,9,12,13,18,24 217:8,12,18 220:19 225:10 260:19,22,24 261:1,6 281:8,20 282:4 296:9,16,20 299:13 301:24,25 302:7,12,15 302:18 303:4,10,15,19 303:24 371:9,15,20 375:15,16 376:7 <b>committed</b> [1] 348:16 <b>committee</b> [26] 8:7 10:20 11:10 16:1,2,11 22:5 262:2,8,9,25 263:3 263:13 264:12 266:22 267:1,4 268:8,13 271:5 271:14,18 273:2,5 343:22 351:24 <b>Committee's</b> [1] 263:8 <b>committees</b> [2] 263:12 313:2 <b>common</b> [3] 100:13 297:5 307:7 <b>communicate</b> [11] 38:20 67:4 73:11 98:9 107:5 130:20 167:23 170:9 176:16 255:8,8 <b>communicated</b> [6] 29:15 55:17 107:8 211:7 226:6 360:6 <b>communicating</b> [4] 212:17 238:7 249:14 253:15 <b>communication</b> [8] 23:16 39:18 61:17 99:4 242:12,14 244:10 255:7 <b>communications</b> [1] 126:6 <b>community</b> [2] 352:15 362:22 <b>companies</b> [1] 308:10 <b>comparable</b> [1] 312:9 <b>compare</b> [9] 218:10	300:13,17 310:17 317:5 330:10 345:19 349:23 350:14 <b>compared</b> [2] 151:8,12 <b>comparison</b> [3] 219:12 355:9 374:2 <b>comparisons</b> [1] 313:16 <b>compensation</b> [6] 297:22 348:12 350:15 358:12 360:5 363:17 <b>competent</b> [1] 347:19 <b>competition</b> [1] 353:6 <b>competitive</b> [12] 348:22 350:21,25 351:11 353:7 353:13,17,19,21 362:6 363:21 369:3 <b>complement</b> [2] 328:17 343:3 <b>complete</b> [3] 23:13 302:23 306:7 <b>completed</b> [6] 35:7 89:5 133:13 197:1 304:20 305:1 <b>completely</b> [4] 110:17 124:3 198:20 214:24 <b>completing</b> [1] 162:21 <b>complex</b> [2] 236:17,25 <b>component</b> [1] 201:9 <b>components</b> [1] 201:9 <b>comprehensive</b> [2] 315:5,17 <b>computer</b> [2] 17:4 201:10 <b>computers</b> [1] 328:6 <b>concentrate</b> [2] 329:7 332:9 <b>concentrated</b> [1] 331:10 <b>concentrating</b> [2] 203:3 331:24 <b>concern</b> [21] 15:16 17:11 18:5 23:1 27:17 49:8 50:21 144:25 147:18 177:1 230:24 234:24,24 235:4 249:11 268:25 271:19 272:25 273:16,19 352:11 <b>concerned</b> [6] 70:2 230:6 235:14 272:10,15 274:5 <b>concerns</b> [11] 9:6,25 10:16,18 11:1 12:10 174:2 234:8,18 235:11 366:17 <b>conclude</b> [1] 324:6 <b>conclusion</b> [1] 375:19 <b>condition</b> [1] 91:23 <b>conduct</b> [2] 220:4,11 <b>conducted</b> [1] 63:15 <b>conference</b> [7] 324:1,9 324:10,25 325:18 326:1 332:14 <b>conferences</b> [7] 309:11 324:7,13,15 325:17 326:7 327:22 <b>confidence</b> [1] 207:6	<b>confirm</b> [3] 19:14 243:24 267:11 <b>confirmed</b> [6] 118:21 180:6 181:2,8 182:2,17 <b>confirming</b> [2] 165:25 165:25 <b>connected</b> [1] 78:4 <b>connectivity</b> [1] 311:24 <b>conscious</b> [1] 367:18 <b>consensus</b> [1] 178:13 <b>consent</b> [4] 40:21,22 193:25,25 <b>conservation</b> [1] 180:4 <b>consider</b> [5] 148:4 283:16 298:24 328:14,24 <b>consideration</b> [2] 258:20 272:6 <b>considerations</b> [4] 283:13,14,16,18 <b>considered</b> [13] 68:4 83:9 110:3 225:4 236:6 244:5 270:24 272:20 276:15 293:20 320:15,21 321:8 <b>considering</b> [1] 271:10 <b>consistent</b> [2] 137:5 152:2 <b>consortium</b> [1] 320:19 <b>consult</b> [11] 18:21 37:13 37:14 45:20 51:19 83:13 83:14 138:6,8 213:19 214:12 <b>consultation</b> [2] 135:5 137:25 <b>consulted</b> [5] 40:12 41:23 46:20 48:18 295:22 <b>consults</b> [5] 13:17 26:3 36:20 133:1 214:9 <b>CONT'D</b> [2] 2:2 4:2 <b>contact</b> [21] 56:12 63:10 63:12 64:18,25 71:4,5 89:25,25 90:8,16,18 92:20 93:6 95:3 115:15 210:6,18 235:10,11 323:12 <b>contacted</b> [7] 63:11,22 80:21 91:18 108:9 209:8 229:12 <b>contacting</b> [6] 71:18 81:12 209:18 210:10 233:14 234:6 <b>content</b> [2] 183:1 184:21 <b>contents</b> [2] 2:1 183:2 <b>context</b> [4] 4:18 24:14 208:13 273:1 <b>continue</b> [15] 35:12,15 138:16 150:22 206:12 298:15 319:2 320:10 336:18 345:11,12,14 365:8 367:19 370:7 <b>continued</b> [4] 16:3 22:9 346:6,13 <b>continues</b> [1] 204:22 <b>continuing</b> [7] 323:10 323:15 326:22 327:23
--	---	--	---	--

332:4 337:17,22 <b>continuously</b> [1] 313:16 <b>contraindication</b> [1] 111:22 <b>contraindications</b> [1] 112:19 <b>control</b> [2] 231:11 310:21 <b>conversation</b> [8] 173:6 176:18 184:4 187:4 190:9 203:6 281:15 282:18 <b>conversations</b> [3] 123:11 239:22 255:15 <b>converse</b> [1] 286:6 <b>COO</b> [1] 339:25 <b>Cook</b> [2] 32:6,9 <b>coordinated</b> [1] 54:24 <b>coordinating</b> [1] 317:23 <b>coordinator</b> [3] 89:3,13 89:19 <b>copied</b> [16] 79:23 86:16 92:9 94:1 114:15 116:13 116:17 117:4 130:25 131:1 170:10 183:3,3 227:10 228:12 229:11 <b>copies</b> [4] 58:1 72:24,25 228:16 <b>copy</b> [27] 17:1 25:1,20 27:11 56:2 57:25 59:2 65:22 82:23,24,25 115:4 115:7,9,14,15 117:5,25 118:10 131:6 132:21 135:13 205:6 273:12 292:23 301:10 358:3 <b>core</b> [2] 170:13 306:11 <b>corner</b> [22] 26:20,25 36:6 36:18,23 37:4,5,12 64:9 82:25 85:10,22 87:1,13 87:15 88:12 134:17 213:16 297:24 298:3 319:23 343:25 <b>Corporation</b> [2] 10:10 137:12 <b>correct</b> [48] 6:22 14:8 16:5 19:3 20:20 25:3 26:7 45:23 55:25 62:13 80:16,24 87:8 107:17 111:8 118:6 121:24 128:11 130:1,23 136:17 139:3 154:22 161:4 167:7 171:23 175:24 176:21 186:9 191:1,3,5 192:17 195:9 198:15 212:24 275:12,16 285:7 286:11 286:13 289:4,6 310:15 319:20 321:12 350:19 376:3 <b>corrected</b> [2] 82:19 268:22 <b>correction</b> [1] 265:16 <b>correctors</b> [1] 110:1 <b>correlate</b> [1] 373:21 <b>correlation</b> [2] 4:11 374:5 <b>correspond</b> [2] 332:7 373:21	<b>costs</b> [1] 12:8 <b>cough</b> [1] 187:10 <b>counsellor</b> [1] 253:9 <b>count</b> [1] 324:4 <b>counterparts</b> [3] 325:9 349:24 351:8 <b>country</b> [14] 310:24 311:1 312:7 313:4,16 314:11 349:24 351:8 352:14 354:23 355:9 361:25 362:7 364:14 <b>couple</b> [19] 25:10 37:11 40:1 63:25 125:1 129:7 153:10 162:12 184:2 216:17 218:18 221:21 242:3 257:22 294:24 313:23 325:22 344:9,24 <b>course</b> [35] 22:22 23:25 25:22 81:25 99:19 111:5 129:6 147:16 154:15,16 165:16 210:24 215:6 230:15 257:1 266:12 271:24 290:14 309:7 317:17 318:23 321:1 323:6,8 335:24 336:1,20 337:5 339:3 350:14 351:9 355:11 356:5 359:9 361:5 <b>courses</b> [2] 323:12,13 <b>cover</b> [2] 245:6,9 <b>coverage</b> [5] 315:5,17 358:20,23 359:1 <b>covered</b> [3] 315:10,13 315:16 <b>covering</b> [1] 90:10 <b>creation</b> [1] 295:22 <b>credits</b> [1] 332:17 <b>cried</b> [1] 199:14 <b>crisp</b> [1] 10:6 <b>criteria</b> [2] 5:20 276:16 <b>Crosbie</b> [58] 1:13 2:6 260:23 261:4,8,9,11,12 261:16,17,21 262:6 263:9 263:17,24 264:4,10,15 264:22 265:3,11,17,25 266:10,21 267:2,17 268:3 268:7,23 270:2,9,15 271:3,13 272:2,23 273:11 274:10,18 275:4,13,17 276:9,17,21 277:2,8,12 277:24 278:16 279:9,21 280:1,10,23 281:6 285:1 <b>cross</b> [2] 313:15 368:11 <b>CT</b> [1] 211:16 <b>curable</b> [3] 192:13 204:11 283:2 <b>cure</b> [2] 202:21,24 <b>current</b> [10] 31:12,16 181:4 308:16 335:6 345:17 351:1 354:21 362:8 371:2 <b>cut</b> [3] 13:14 276:22,25 <b>cutoff</b> [1] 373:1 <b>CV</b> [1] 305:20 <b>cyberspace</b> [1] 133:19 <b>cycle</b> [3] 138:17 154:7 195:24	<b>cycles</b> [6] 154:6 195:20 221:11,17 290:3,24 <hr/> <b>-D-</b> <hr/> <b>Dan</b> [2] 2:4 208:2 <b>Daniel</b> [1] 1:10 <b>data</b> [10] 7:21 8:1 147:2 147:3 278:23,25 313:1,3 313:7 315:2 <b>database</b> [6] 312:4,6,19 314:20,23 316:22 <b>dataset</b> [1] 313:8 <b>date</b> [26] 11:21 32:18 50:3 68:21 88:25 118:16 122:9 154:3 161:17 183:22 184:20 185:7 190:12,22 195:5 200:23 206:15 218:13,19 246:6 265:22 276:3 301:7 313:11 325:14 328:8 <b>dated</b> [9] 9:2 85:8 122:8 135:24 169:16 182:24 265:5 286:3 376:11 <b>dates</b> [2] 263:2 267:11 <b>daughter</b> [1] 114:24 <b>daughter's</b> [1] 29:22 <b>David</b> [2] 331:3 339:9 <b>Dawson</b> [2] 263:15,21 <b>day-to-day</b> [2] 318:15 318:24 <b>days</b> [11] 54:17 85:20 93:16 97:8 202:11 323:5 341:25 342:8 369:8 373:5 374:15 <b>deal</b> [2] 95:4,25 <b>dealing</b> [2] 7:1 21:12 <b>dealt</b> [1] 99:7 <b>Deane</b> [2] 27:24 29:21 <b>Deane's</b> [1] 29:17 <b>dear</b> [1] 271:21 <b>death</b> [1] 313:24 <b>decade</b> [1] 297:3 <b>December</b> [32] 68:20,21 69:2 79:22 95:17 127:4 147:25 154:2,14,17 156:2 157:18 158:13 159:4,10 159:12 160:14 163:16 174:10 178:21,24 190:20 193:19 195:12 204:9 213:11 225:17 231:9,10 282:25 288:23 334:5 <b>decide</b> [4] 5:18 8:19 358:16 360:2 <b>decided</b> [9] 12:3 85:16 150:21 151:14 153:11,13 207:12 287:25 289:22 <b>decides</b> [1] 151:15 <b>deciding</b> [5] 51:17 212:21 215:5 233:12 283:21 <b>decision</b> [11] 60:18 105:20 108:3 140:19 173:4 230:19 259:21,21 260:6,11 367:18 <b>decisions</b> [6] 106:2	214:25 233:12 236:16 271:12 272:9 <b>declined</b> [1] 180:9 <b>dedicated</b> [1] 297:15 <b>define</b> [1] 353:2 <b>definitely</b> [11] 8:1 96:20 153:4 232:22 235:6,14 237:23 247:18 272:15 273:19 274:5 <b>definitive</b> [1] 366:22 <b>degree</b> [2] 7:7,10 <b>delay</b> [3] 170:21 243:11 243:17 <b>delayed</b> [1] 261:8 <b>deliver</b> [1] 361:20 <b>delivery</b> [4] 298:6 311:8 318:7 319:8 <b>demands</b> [1] 297:6 <b>Denic</b> [1] 255:1 <b>department</b> [5] 39:24 269:5,24 274:24 323:9 <b>depend</b> [2] 10:6 247:22 <b>dependent</b> [2] 76:8 361:16 <b>depending</b> [4] 270:4,10 270:13 343:23 <b>depth</b> [1] 147:1 <b>derive</b> [1] 354:25 <b>described</b> [5] 161:13 188:25 196:8 249:15 294:12 <b>description</b> [2] 154:4 248:21 <b>designed</b> [1] 323:12 <b>desire</b> [2] 240:7 297:8 <b>Despite</b> [1] 266:22 <b>detail</b> [5] 84:6 87:10 186:7 198:9 249:4 <b>detailed</b> [2] 86:7 185:17 <b>determination</b> [5] 10:4 52:5 108:20 173:7 375:2 <b>determine</b> [2] 214:10 233:14 <b>determines</b> [1] 363:6 <b>Detroit</b> [5] 125:8,13,14 125:16,18 <b>develop</b> [1] 268:25 <b>developed</b> [3] 25:5 82:14 370:4 <b>development</b> [4] 361:22 369:17,21 370:7 <b>developments</b> [2] 39:11 297:10 <b>diagnosed</b> [15] 16:18 68:1 99:25 104:12,15 105:12 107:21 114:4 118:23 122:10 123:3 242:20 295:14 314:6 315:9 <b>diagnosis</b> [14] 10:3,8 12:4 170:3 175:14 236:5 236:10 266:14 274:3 313:12 314:3 361:18,21 363:7	<b>diagnostic</b> [2] 211:1 262:22 <b>dialogue</b> [1] 254:10 <b>dictate</b> [11] 56:14,15 57:15 58:9 60:20 129:11 129:13 133:19,21 185:17 185:18 <b>dictated</b> [18] 57:3 65:14 71:14 91:23 107:12 129:11,17 130:13 131:8 133:15 139:8 155:16 168:10,22 190:21 196:9 197:5,10 <b>dictating</b> [1] 59:1 <b>died</b> [2] 298:12,13 <b>dietary</b> [1] 159:24 <b>difference</b> [5] 88:1 129:23 311:10 342:13 348:9 <b>different</b> [56] 18:20 19:19 23:9,10 78:19 79:3 100:14,19 101:2,12,14 101:19,20 103:1,9,16 104:3 119:14,14,21 120:4 121:5,11 123:2,3,10,15 123:20,23,25 124:1 178:12 199:12 206:5,7 210:8,25 212:1,5,6 224:16 227:11 242:23 245:7 260:8,10 275:22 282:6 311:21 312:20 313:20 321:22 322:18 323:20 332:16 355:1 <b>differentiated</b> [1] 284:17 <b>differently</b> [2] 273:14 286:16 <b>difficult</b> [10] 5:7,10 34:15,19 40:13 54:20 146:4 237:12 299:9 348:20 <b>difficulties</b> [5] 249:25 250:3,9 267:9,14 <b>difficulty</b> [2] 81:12 298:9 <b>direct</b> [1] 292:21 <b>directed</b> [2] 116:23 227:11 <b>directly</b> [9] 17:1,9 19:24 51:16 129:18 213:10 269:22 339:20,25 <b>director</b> [14] 133:4 305:11 318:12 333:14 334:6,13 335:13,14 338:14 342:2 348:7 361:5 364:22 367:8 <b>directors</b> [2] 338:21 339:5 <b>disagreed</b> [1] 53:22 <b>disappeared</b> [1] 198:21 <b>discharge</b> [1] 256:17 <b>discharged</b> [11] 64:7 68:13 82:9 90:25 91:1 223:10,11,16 225:15,16 225:24 <b>discipline</b> [4] 309:14 339:7,8,13
--	---	---	--	---

<p><b>disciplines</b> [1] 321:22  <b>discomfort</b> [2] 177:23  178:9  <b>discrepancy</b> [1] 220:2  <b>discretion</b> [2] 73:10  278:7  <b>discuss</b> [26] 37:23 38:9  38:18 62:15 72:20 84:8  87:2 94:4,10 112:18  138:21 141:11 161:25  165:5 188:20 210:11,20  226:4 227:20 231:24  238:21 254:11 269:8  280:6 287:8 288:9  <b>discussed</b> [28] 91:3,21  100:7 114:8 119:4 122:22  152:25 155:2 175:18  195:7 196:14 198:8,24  241:3 244:12 245:5 247:3  249:3 252:15 267:3 268:8  286:18 287:14 294:12  357:4,5,15 358:5  <b>discussing</b> [6] 165:9  200:7 249:21 259:7 275:6  277:25  <b>discussion</b> [62] 11:20  12:2 22:14 28:10,25  41:24 61:22 74:20 77:18  77:21 138:22 141:13  143:10,24 144:1,3,10  145:17,19,25 146:7,11  146:13,16 147:7 150:17  150:20 151:19,20 152:7  152:11 153:15 162:1  174:5 175:2,8,13,20  183:13,18,19,22,25  187:22 190:11 192:8  194:16 195:6 243:9  248:16,20 249:6,12  252:18 271:22 274:19  278:10 285:3 286:6,7  289:1 358:11  <b>discussions</b> [9] 29:10  30:13 39:24 61:8 248:14  351:6,18 356:6 363:12  <b>disease</b> [25] 85:19 97:17  192:11,20 199:6,17,20  202:21,24 289:15,18,19  289:21 290:20 306:8,22  306:22,25 307:13 313:12  329:18 369:11,25 370:8  374:25  <b>disrespectful</b> [2] 205:16  206:25  <b>disseminated</b> [1] 370:22  <b>distress</b> [1] 186:6  <b>divide</b> [1] 358:17  <b>divides</b> [1] 85:23  <b>Division</b> [2] 1:15 218:2  <b>divisional</b> [2] 338:11,13  <b>doctor</b> [68] 4:11 8:24 9:7  14:10 16:16 17:5,6 24:18  27:15 29:22 30:7 37:22  41:23 51:1 74:10 79:15  86:8 87:20 91:24 99:17  104:14 116:12 124:8  129:5 134:4,5,15 137:17  150:14 151:19 154:15  156:18 158:6 159:10</p>	<p>161:16 163:24 165:16  170:17 172:13 174:2  176:24 184:19 186:9  187:15 190:22 195:4  196:5 198:10 202:14  203:25 204:2,22 205:6  206:12 207:15,16 262:12  263:18 268:17 288:2  292:25 295:19 303:23  304:7 305:22 328:11  364:7 371:6  <b>doctors</b> [4] 1:9 32:6  215:2 229:3  <b>document</b> [8] 8:23 57:1  79:17 190:17 261:24  262:13 263:5,7  <b>documentation</b> [2]  134:12 201:2  <b>documented</b> [1] 206:18  <b>documents</b> [1] 266:3  <b>doesn't</b> [11] 31:6 107:6  109:17 121:4 157:22  158:3 170:24 193:9  269:10 331:4 347:14  <b>dollars</b> [1] 336:25  <b>done</b> [94] 12:3,5,8,20  13:12,19,21 14:6 15:21  26:20 27:10,13 33:18  34:20 35:17 36:22 37:15  37:18 40:19,25 41:1,2  53:1 54:15 59:6,9,20  103:18 120:6,9 121:23  133:10,16 142:11 144:13  154:11 158:18,20,20,21  161:9 165:18,22 169:9  170:1 173:21 174:12  179:14 180:18 195:17  199:5 206:4 213:19 214:2  214:3,7,10 221:11 228:9  231:3,4,6,8,12,12 232:17  234:2 247:21,22 249:24  250:22 251:2,13 253:17  255:18 258:8 269:9  278:10 279:5,8 286:22  290:19 292:25 323:12  338:6 344:6 358:17  364:24 368:7 370:6,23  374:2 375:2,12  <b>door</b> [6] 52:7 63:3 205:2  205:25 348:15 358:7  <b>doors</b> [1] 317:18  <b>dopplers</b> [1] 106:9  <b>dose</b> [3] 103:16,17 279:19  <b>doubt</b> [1] 222:23  <b>down</b> [21] 21:4 31:3 69:4  85:20 87:18,23 88:7 89:2  114:22 127:14 162:9  163:15 194:1 197:13  204:6 250:12 262:17  266:14 303:13 308:10  357:10  <b>Dr</b> [999] 2:2,9 4:1,6,8,13  4:20 5:6,15,21 6:15,21  7:3,12,16,20 8:5,12,25  9:10,15,21,24 10:15,21  11:2,11,12,12,15,22,25  12:5,6,13 13:16,22 14:1  14:7,15,17,22 15:3,10  15:13,18 16:4,8,10 17:12</p>	<p>18:9,18 19:4,8,10 20:2,8  20:14,19,25 21:11,17  22:6,11,17 23:6,18,22  24:5,15,21 25:2,8 26:6  26:16 27:2,7,18 28:3,7  28:21 29:2,7,19,21 30:3  30:7,9,11,24 31:5,13,17  31:24 32:3,8,9,15,23  33:5 34:1,10,18 35:9,18  35:25 36:4,11,17 37:2  37:16,24 38:4,8,14,21  39:2,3,3,5,10,10,14,20  39:25 40:9,18 41:7,20  42:1,8,13,19 43:5,10,15  43:23 44:5,22 45:8,9,9,9  45:11,14,22 46:3,8,13  46:15,23 47:5,12,17 48:7  48:12,19,24 49:5,10,15  49:16,22 50:4,8,13,23  51:5,20 52:7,7,11,25  53:10,18,24 54:7,13 55:4  55:12,18,24 56:4,19 57:7  57:11,17,24 58:5,11,23  59:8,13,21 60:1,16 61:3  61:20 62:12,17 63:5,14  63:24 64:15,19 65:1,13  65:18,24 66:9,17,24 67:6  67:15,21,25 68:2,6,8,13  70:5,18 71:7,20 72:2,21  73:12,17,25 74:5,15 75:6  75:25 76:22 77:2,8,14  77:20 78:6,11,17 79:2  79:10,23 80:2,6,15,23  81:8,14,22 82:3,8,11  86:13,19,23,25 87:7,11  87:25 88:10,17,22 89:11  89:21 90:1,11,21 91:7  91:18,23 92:2,6,10,23  93:7,19 94:12,17,21 95:6  95:10 96:4,15 97:10  98:12,22 99:8,13 100:16  101:7,16,21 102:6,18  103:10,22 104:9,23 105:8  105:23 106:18,22 107:10  107:16 108:6,22 109:16  109:23 110:12 111:7,15  112:7,17,22 113:14,18  114:19 115:10,18,22  116:9,16,22 117:7,12,18  117:24 118:5,12,17  119:16,20 120:18 121:2  121:13 122:1 123:5,13  123:22 124:16,24 125:6  125:12,17,21 126:14,21  127:1 128:1,10,17,22,25  129:16,25 130:8,22 131:3  131:11,17 132:1,5,13,24  133:14,25 134:7,20 135:1  135:8,14,23 136:4,16  138:3 139:2,8,10,12,13  139:24 140:18 141:15,23  142:14,19 143:15,16,17  143:21 144:3,5,11,21  145:1,7,13 146:3 147:21  148:11,15,19 149:6,12  150:4,9,10,19 151:9,21  151:24 152:4,10,21 153:2  153:17,21 154:21 155:8  156:6,24 157:4,21 158:2  158:11,16 159:13,18  160:10,19 161:3,18,22  162:4,15 164:4,16,22,25  165:1,5,8 166:3,7,13,19</p>	<p>167:6,10,14,24 168:11  168:19 169:1,6,11 170:11  170:11,22 171:7,13,22  172:5,10,20,23 173:10  174:8 175:4,10,15,23  176:10,20 177:3,7,11,20  178:2,6,10,25 179:5,12  179:18 180:1,12,15,23  181:5,11 182:5,9,14,20  183:1,4,7,12,13,17,22  183:24 184:8,14,24 185:3  185:9 186:12 187:6,20  188:3,15,24 189:6,11,19  189:23 190:4,14,25 191:6  191:11,16 192:1,16,21  192:25 193:13 194:8,20  194:24 195:10 196:11,19  197:3,15,22 198:14 199:4  199:19,24 200:10,15,20  201:3 202:2 204:3,8,19  205:9 206:14 207:22  208:2,4,5,21 209:14,20  210:13,21 211:3,8,14  212:4,11,23 213:3,7,24  214:14,23 215:8,15 217:4  217:6,10,22,24 218:3,12  218:21 219:3,15,21,25  220:5,15,21 221:3,8,15  221:25 222:8,16,22 223:8  223:14,20 224:6,15 225:6  225:13,23 226:8,13,20  227:7,24 228:7,18,24  229:15 230:3,10,14 231:1  232:5,11,20 233:3,7,16  234:1,15,23 235:3,13,18  236:11,15 237:3,16 238:9  238:17,23 239:4,9,17,21  240:2,9,18 241:11,25  242:25 243:13 244:13  245:8,25 246:17,21  247:12,16 248:6,18,25  249:9,22 250:14,24 251:4  251:11,17,23 252:6,14  252:23 253:5,20,24 254:5  254:12,16,25 255:1,10  255:14 256:2,6,15 257:3  257:9,18 258:6,14 259:3  259:7,22 260:7,14,17  261:11,13,14,19 262:4  262:10,15 263:1,11,15  263:15,15,19,20,21,21  263:22,23 264:1,8,13,17  264:19 265:1,5,8,13,15  265:19 266:8,19,24 267:6  267:7,20,25 268:5,11  269:3 270:7,12,17 271:8  271:16 272:14 273:3,18  273:23 274:11,13,23  275:11,15,21 276:14,19  276:24 277:6,10,16 278:5  278:21 279:17,24 280:3  280:16 281:2,10,13,22  282:5,24 283:5,20 284:1  284:10,15 285:6,11,21  285:25 286:12,17 287:9  288:11,17 289:3,10,14  290:1,11,16 291:11,22  292:1,5 293:6,12,18  294:3,15,22 295:6,12  296:4,8,18,22 299:15,18  299:22 300:2,16,22 301:1  301:6,11,16,21 302:1,5  302:19,20,25 304:8,14</p>	<p>305:25 306:4,10,24  307:15 308:19,25 309:5  309:21 310:1,6,8,14,19  312:11,16,22 314:13,17  315:2 317:11 318:8  319:11,19 320:14 321:11  321:18 322:2,6,12 323:19  324:14 325:21 326:18,23  327:2,6,19,24 328:16  329:4,8 330:3,7,12,20  330:24,25,25 331:1,1,2  331:3,5,9,11,14,15,19  331:19,20,21 332:1,10  332:24 333:5,16,23 334:3  334:9,14,20,24 335:3,8  338:7,12,14,15 339:6,9  339:17,21,22,25 340:3,8  340:17,24 341:17 342:7  342:11,24 343:10,14,19  344:7,15 345:4,9,23  346:11,12,12,14,14,14  346:16,22 347:1,8 348:5  349:3,7,16,25 350:6,10  350:18,23 351:20 353:10  353:16,20,25 354:5,17  354:24 355:5,10 356:9  356:15,20,25 357:7 358:2  360:14,18,20,25 361:1,4  361:7,12 362:11,11,13  362:14 363:25 364:4,10  364:19,24 365:15,19  366:10,16 367:8,13,20  368:3,7,9,16,22 369:24  370:5,12 371:3,22 372:4  372:15 373:3,11,18,23  374:6,13 375:6,10  <b>draw</b> [1] 137:20  <b>dress</b> [1] 206:3  <b>driving</b> [1] 348:14  <b>Drs</b> [1] 79:23  <b>drug</b> [13] 12:15 147:11  147:12 198:23 315:5,17  315:21,24 316:4,5 336:22  369:5,9  <b>drugs</b> [3] 315:8,8,10  <b>dual</b> [1] 335:17  <b>ductal</b> [2] 281:23 282:9  <b>ductals</b> [1] 282:2  <b>due</b> [6] 78:3 127:9 131:20  143:13 158:6 230:23  <b>during</b> [12] 5:9,13 9:11  30:14 51:21 299:8 305:22  306:11 309:6,18 368:1  372:9  <b>duties</b> [2] 334:17 335:7  <b>DVT</b> [9] 143:1 148:14,16  148:21 149:2,15,18,23  151:5  <hr/> <p style="text-align: center;"><b>-E-</b></p> <p><b>E</b> [2] 246:5 314:2  <b>E-L-I</b> [1] 303:1  <b>e-mail</b> [3] 83:4 90:23  91:14  <b>e-mails</b> [1] 86:9  <b>earliest</b> [3] 171:8,19  262:14</p> </p>
---	---	---	--	---

<p><b>early</b> [11] 5:14 83:24 147:22 155:11 179:21,22 209:11 290:25 347:17 352:8 366:4</p> <p><b>easily</b> [2] 157:2 343:4</p> <p><b>Eastern</b> [22] 1:10 38:1 43:2 208:8 251:3,13 253:3,13 254:4 256:14 318:3,5 319:18 321:2,3 321:8 330:17 335:4,9 338:19 341:23 370:20</p> <p><b>edge</b> [2] 231:9,22</p> <p><b>edges</b> [2] 41:12,16</p> <p><b>education</b> [13] 304:12 304:17 309:19 323:10,11 323:16 326:22 327:23 332:4 337:21,21,22,23</p> <p><b>educational</b> [3] 325:4 326:8 328:5</p> <p><b>effect</b> [7] 50:19 110:16 129:2 143:1 145:8 180:14 287:4</p> <p><b>effects</b> [8] 110:14 144:2 147:8,9 151:5 195:22 198:9 290:4</p> <p><b>effort</b> [3] 98:17 317:25 363:23</p> <p><b>efforts</b> [1] 19:2</p> <p><b>eight</b> [19] 23:11,12,13 109:3 150:5 172:4 185:14 193:14 205:12 277:20 278:11 292:2 297:25 298:23 343:23 344:3,13 345:19 365:9</p> <p><b>either</b> [16] 5:13 16:21 21:3,22 138:5 152:18 159:16 200:18 202:11 219:4 222:14 229:1 251:21 276:15 355:15 374:12</p> <p><b>either/or</b> [2] 7:5 147:6</p> <p><b>Ejeckam</b> [18] 8:5,25 9:24 10:15 11:11,16 12:7 14:17 15:14 262:16 264:17 265:5,13 267:7 267:20 268:18 273:23 274:11</p> <p><b>elaborate</b> [1] 229:24</p> <p><b>elaborated</b> [1] 242:16</p> <p><b>elderly</b> [5] 6:3 65:6 106:3 106:21,23</p> <p><b>electronic</b> [2] 62:4 318:19</p> <p><b>eleven</b> [1] 185:14</p> <p><b>Elizabeth</b> [5] 2:9 67:11 126:4 302:20 303:1</p> <p><b>Elms</b> [1] 135:23</p> <p><b>elsewhere</b> [1] 131:10</p> <p><b>empathise</b> [1] 252:8</p> <p><b>emphasized</b> [1] 146:1</p> <p><b>employee</b> [3] 320:16 321:3,8</p> <p><b>employees</b> [1] 319:25</p> <p><b>employer</b> [2] 320:13,18</p> <p><b>employment</b> [1] 321:9</p> <p><b>encounter</b> [1] 81:12</p>	<p><b>encountered</b> [1] 226:10</p> <p><b>end</b> [17] 68:15 127:2 132:20 133:20,20 163:1 163:12 240:10 287:13 290:19,25 299:4,7 318:11 349:21 363:17 364:23</p> <p><b>endeavours</b> [1] 327:23</p> <p><b>ended</b> [1] 156:20</p> <p><b>endometrial</b> [3] 143:2 149:24 151:6</p> <p><b>ends</b> [1] 129:15</p> <p><b>enjoy</b> [2] 336:5,5</p> <p><b>ensure</b> [5] 120:15 121:23 131:9 313:3 345:13</p> <p><b>enter</b> [1] 234:13</p> <p><b>entered</b> [22] 3:3,4,5,6,8 137:8 159:5 161:10 165:23 166:12,25 167:2 170:1,20 186:1 303:6,25 304:1,2,3,4,5</p> <p><b>entering</b> [1] 17:3</p> <p><b>entire</b> [3] 309:10,15 336:23</p> <p><b>entirely</b> [3] 241:12 315:13 361:16</p> <p><b>entitled</b> [1] 217:15</p> <p><b>entity</b> [2] 311:12 340:21</p> <p><b>environment</b> [1] 336:4</p> <p><b>epiphora</b> [1] 197:17</p> <p><b>equal</b> [3] 306:21,21,25</p> <p><b>equipment</b> [7] 79:9,11 79:11,12 336:13,14,16</p> <p><b>equivalent</b> [1] 108:16</p> <p><b>equivalents</b> [1] 343:1</p> <p><b>equivocal</b> [1] 372:20</p> <p><b>ER</b> [97] 4:12,22,25 5:1 6:8,12,19 7:8,9 11:17 12:3 13:11 14:11 34:17 80:10 104:15,18 107:22 114:6 118:20,25 119:2 122:12,18 135:25 136:1 136:10,25 137:6,10 138:8 142:24 143:6 145:2,24 146:10,15,23 147:5 152:8 152:22 154:5,25 159:7 161:11,13 166:1,6 167:20 170:16 172:2,15,16,24 173:2 181:9,14,18,21 182:11 183:6 184:13 185:25 186:16,20,22,22 188:2,18,21,22 189:1 193:15 198:5 245:19,19 246:7 262:20 275:25 276:3,20 277:3,21 278:2 278:4,18 279:12,15 280:5 280:8,13,15 286:10 288:6 293:21 372:3,20</p> <p><b>ER/PR</b> [52] 5:22 6:4 13:6,19 14:5 25:22,25 27:16,17 37:23 44:14 86:22 87:3 91:20 97:15 101:11 107:24 114:5,8 122:16 135:21 136:23 161:9 180:3,6 181:2,3,8 194:16 210:7 211:24 213:1 214:19 226:6 227:6 227:22 229:13 230:8</p>	<p>246:5 249:18 250:23 251:16 253:18 256:23 258:5 269:1 284:20 357:5 371:7,8,11 375:1</p> <p><b>erratic</b> [2] 10:13 262:21</p> <p><b>error</b> [3] 127:13 128:7 191:7</p> <p><b>ERs</b> [1] 4:14</p> <p><b>escaped</b> [1] 183:11</p> <p><b>especially</b> [5] 10:3 36:6 104:10 297:4 298:19</p> <p><b>essence</b> [1] 108:3</p> <p><b>establishment</b> [1] 365:2</p> <p><b>estimated</b> [1] 346:7</p> <p><b>estrogen</b> [13] 11:15 100:5 104:21,25 105:3 105:13,16 122:13,19 169:18,20,22 170:15</p> <p><b>estrogen/progesterone</b> [2] 100:2 313:19</p> <p><b>et</b> [1] 1:9</p> <p><b>evaluate</b> [1] 11:4</p> <p><b>event</b> [6] 107:8 181:6 201:4 243:5,6 325:4</p> <p><b>events</b> [4] 50:14 57:2 200:7 324:3</p> <p><b>eventually</b> [5] 268:2,4 272:17 298:2 363:18</p> <p><b>everybody</b> [4] 41:21 54:21 70:22 74:16</p> <p><b>evidence</b> [7] 125:3 126:2 178:3 202:17 230:18 235:24 237:10</p> <p><b>evident</b> [1] 288:23</p> <p><b>exact</b> [6] 5:10 48:8 50:9 70:7,11 265:22</p> <p><b>exactly</b> [22] 30:16 31:4 32:18 42:14,21 43:18 45:10 50:16 69:7 70:12 77:16 83:20 106:25 173:11,13,19 243:16 250:4 269:18 283:6 332:11 357:21</p> <p><b>exam</b> [2] 186:4 194:18</p> <p><b>examination</b> [14] 2:3,4 2:5,6,7,8,10 4:1 163:10 208:2 217:22 261:11 281:10 302:20</p> <p><b>examine</b> [1] 205:23</p> <p><b>example</b> [32] 7:8 8:10 10:5 16:18 26:12 35:13 75:3 86:10 93:11 99:19 112:20 113:12 131:7 132:21 156:19 240:8 242:17 243:12 253:16 273:12 288:21 306:8 311:2 312:4 313:17 317:2 318:17 329:15 349:2 356:2 358:17 369:10</p> <p><b>examples</b> [1] 18:25</p> <p><b>excellent</b> [2] 316:1 347:18</p> <p><b>except</b> [2] 3:6 303:8</p> <p><b>exception</b> [1] 213:8</p> <p><b>exceptions</b> [1] 225:7</p>	<p><b>excuse</b> [2] 112:13 136:9</p> <p><b>executive</b> [1] 338:5</p> <p><b>exercise</b> [1] 296:5</p> <p><b>exhaustive</b> [2] 293:9 300:8</p> <p><b>exhibit</b> [26] 3:3,5,8 16:8 99:17 114:2 134:14 136:20 137:18,19 176:4 242:5 245:13 262:13,15 264:23 267:19 303:18 304:1,2,3,4,5 305:20 360:12,25</p> <p><b>exhibits</b> [5] 3:2,4,6 79:18 303:5</p> <p><b>existence</b> [1] 262:25</p> <p><b>existing</b> [1] 258:2</p> <p><b>expand</b> [2] 297:11 336:19</p> <p><b>expansion</b> [1] 298:7</p> <p><b>expect</b> [3] 112:8 114:25 211:17</p> <p><b>expectation</b> [1] 269:19</p> <p><b>expected</b> [2] 112:3 323:21</p> <p><b>expecting</b> [2] 26:9 360:10</p> <p><b>expenditure</b> [1] 315:21</p> <p><b>expense</b> [1] 115:2</p> <p><b>expenses</b> [1] 116:8</p> <p><b>expensive</b> [2] 328:8 336:16</p> <p><b>experience</b> [4] 88:5 226:14 230:25 316:24</p> <p><b>experienced</b> [1] 362:8</p> <p><b>expert</b> [3] 215:1 323:13 361:20</p> <p><b>expertise</b> [3] 316:2 325:10 362:18</p> <p><b>explain</b> [7] 76:10 127:19 162:11 177:23 237:4 282:3 296:24</p> <p><b>explained</b> [7] 12:7 23:21 49:16,19 65:8 75:7 294:24</p> <p><b>explaining</b> [1] 128:4</p> <p><b>explanation</b> [1] 86:7</p> <p><b>expose</b> [2] 10:10 266:16</p> <p><b>exposure</b> [5] 308:22 309:3,7,14,18</p> <p><b>express</b> [1] 252:12</p> <p><b>expressed</b> [2] 240:7 259:9</p> <p><b>expressing</b> [1] 12:16</p> <p><b>extend</b> [2] 103:20 222:23</p> <p><b>extended</b> [1] 97:8</p> <p><b>extensively</b> [1] 344:6</p> <p><b>extent</b> [3] 241:15 242:6 269:21</p> <p><b>external</b> [3] 42:4 75:3 364:24</p> <p><b>extra</b> [9] 17:20 98:4 110:2 307:10,12 308:17 328:12 355:13,23</p> <p><b>extremely</b> [7] 10:2 54:20</p>	<p>69:10 102:3 298:16 336:16 347:11</p> <p><b>eye</b> [1] 351:4</p> <p><b>eyes</b> [2] 195:23 197:18</p> <hr/> <p style="text-align: center;"><b>-F-</b></p> <hr/> <p><b>face</b> [8] 66:7,8 67:4,4 73:22,22 75:11,13</p> <p><b>facing</b> [1] 272:7</p> <p><b>fact</b> [41] 10:15 22:25 23:2 23:17 30:20 28:10 49:19 81:6 90:18 92:19 99:5 105:20 108:17 113:8 114:20 120:15 126:20 128:8 129:21 143:5 152:8 152:22 163:24 165:4 167:20 172:2 188:20,21 196:25 198:13 224:3 249:3,5 258:24 264:6 282:19 316:2,17 346:7 357:13 358:13</p> <p><b>factors</b> [3] 6:1,7 244:11</p> <p><b>faculty</b> [1] 322:13</p> <p><b>fair</b> [6] 87:22 185:21,22 190:24 233:11 347:4</p> <p><b>fairly</b> [2] 157:2 323:2</p> <p><b>fall</b> [6] 6:12 23:8 42:4 109:7 203:4 319:24</p> <p><b>Falls</b> [2] 298:4 319:23</p> <p><b>familial</b> [1] 147:17</p> <p><b>familiar</b> [1] 342:5</p> <p><b>family</b> [49] 56:23 57:16 58:6,20 59:3,7,10 64:6 65:22,25 68:14,16 72:23 82:14,21 83:8,12 84:1 84:14,18,21 85:4 91:2,3 92:7 111:18,23,25 112:5 127:8 131:2 139:13,21 143:4 145:1,10 149:9 150:24 223:19,21 224:17 224:24 226:24 232:7 233:8 298:10 321:22 323:11 346:16</p> <p><b>far</b> [9] 96:19 185:10 193:3 204:6 250:1 269:14 314:22 360:18 370:23</p> <p><b>Farrell</b> [13] 68:13 139:9 139:10,13 143:15,16 144:4 145:1 149:6 150:9 150:19 151:21 152:21</p> <p><b>Farrell's</b> [1] 172:24</p> <p><b>father</b> [1] 298:12</p> <p><b>fax</b> [1] 292:12</p> <p><b>faxed</b> [4] 84:21 87:16 115:5 299:23</p> <p><b>features</b> [2] 111:21 284:20</p> <p><b>February</b> [22] 43:3,4 81:2 82:7,12 85:22 107:20 136:8 161:10 165:23 169:19 180:4 181:14,17 186:20 189:2 195:19 202:3 276:2 287:11,12 290:25</p> <p><b>fee</b> [1] 320:23</p> <p><b>fee-for-service</b> [1]</p>
--	---	---	--	---

<p>320:22 <b>feeling</b> [4] 174:18 193:5 193:18 194:10 <b>fees</b> [3] 327:10,14 328:2 <b>fell</b> [1] 109:12 <b>fellow</b> [3] 7:5 279:6 374:15 <b>fellows</b> [1] 307:23 <b>fellowship</b> [4] 304:25 306:1,3 307:10 <b>felt</b> [4] 51:2 193:8 357:16 358:21 <b>female</b> [1] 206:2 <b>Femara</b> [12] 85:17 198:7 198:12,13 199:1,2,11 290:10,12,14,18,22 <b>few</b> [43] 6:11 8:16 13:9 13:18 25:23 31:7 35:20 36:5,19 37:11 38:10 41:15 63:16 71:12 72:22 73:4 85:20 93:16,24 97:8 97:22 130:9 134:13 147:4 165:19 208:9 210:14 223:9 233:19 249:15 255:1,23 256:4 284:3 287:21 293:13 297:1 300:9 312:24 339:9 344:20 351:5 354:4 <b>field</b> [1] 297:2 <b>fifteen</b> [2] 216:4 304:19 <b>Figuring</b> [1] 339:16 <b>file</b> [9] 63:1 112:21 120:11 218:8 219:2,5,6 219:9 245:4 <b>filed</b> [4] 60:22 89:5,10 156:18 <b>files</b> [2] 120:13 248:15 <b>fill</b> [1] 299:6 <b>filled</b> [1] 315:16 <b>finalized</b> [1] 370:19 <b>finally</b> [3] 9:25 85:9 163:12 <b>finances</b> [1] 336:10 <b>financial</b> [2] 298:9 336:9 <b>fine</b> [3] 209:3 257:23 371:23 <b>finger</b> [1] 30:17 <b>finish</b> [1] 307:23 <b>finished</b> [2] 217:2 296:12 <b>finishes</b> [1] 266:13 <b>firm</b> [1] 227:21 <b>first</b> [105] 5:23 9:2,11 11:3 12:24 13:7,11 14:13 15:5,8 18:20 19:11 21:19 23:19 24:6 25:10 27:15 56:11 61:4 64:2 68:25 75:17 76:12,15 79:11,20 80:13 90:14 102:21 110:11 120:2 121:7,18 121:20 124:19 126:23 127:2 130:13 132:25 134:14,21,22 135:23 138:4,5 140:19 142:9,9 143:25 149:16 150:9 155:18 158:23 160:22 163:6 170:12,19 172:1</p>	<p>175:13,18,20 176:17 181:12,13,15,19 186:1 191:3 192:2 194:21 198:12 202:23 214:5 215:12 221:9,20 223:11 225:8 228:8 231:12 233:20 240:21 243:14 244:16,17 256:8 263:3,8 264:20 265:9 267:7,10 273:5 275:23 281:19 287:24 289:18,20,23 291:13 295:17 332:21 334:23 339:12 345:20 <b>firsthand</b> [1] 298:11 <b>fits</b> [1] 339:16 <b>five</b> [23] 4:24 8:23 103:23 103:24 104:6 107:19 112:24 114:6 122:14 139:16 144:22 229:7 234:10,20 243:25 257:12 263:20 294:4,11 330:21 332:16 352:3 371:11 <b>fix</b> [1] 251:16 <b>fixed</b> [1] 320:23 <b>flagged</b> [2] 157:6,17 <b>flashes</b> [1] 143:2 <b>flick</b> [1] 156:23 <b>flip</b> [1] 157:2 <b>floor</b> [4] 19:9 23:21 24:8 24:9 <b>fluid</b> [2] 84:11 85:12 <b>focus</b> [3] 227:16 247:4 328:21 <b>focused</b> [1] 242:15 <b>focusing</b> [2] 244:9 251:9 <b>follow</b> [26] 34:24 59:14 73:13 93:23 122:3 140:4 140:6,11,24 142:7,8 150:18 180:5 185:16 207:6 208:9 210:9 213:20 214:22 222:1 241:4 256:3 256:5,16 257:11 313:13 <b>follow-up</b> [17] 62:3,7 82:13,15 119:8 120:8 123:1 196:1 239:5,11 241:8 268:20 270:1 296:14 300:7 312:6 353:1 <b>follow-ups</b> [3] 33:7 185:13,15 <b>followed</b> [8] 68:16 122:5 154:11 163:5,17 300:18 300:23 301:2 <b>following</b> [14] 33:11 68:24 83:24 89:17 138:17 145:18 151:20 221:22 222:10 250:18 258:23 274:17 297:20 304:20 <b>follows</b> [1] 59:17 <b>force</b> [1] 348:14 <b>forecasting</b> [1] 315:21 <b>foregoing</b> [1] 376:2 <b>forgetting</b> [1] 338:25 <b>forgot</b> [3] 46:9 202:7 294:16 <b>form</b> [8] 37:12 99:4 101:3 111:22 167:16</p>	<p>174:6 193:25,25 <b>formal</b> [4] 22:2 99:4 310:23 328:12 <b>format</b> [1] 57:21 <b>formation</b> [1] 318:3 <b>formed</b> [2] 44:2,7 <b>forth</b> [2] 89:22 365:7 <b>forward</b> [3] 8:6 33:24 261:8 <b>found</b> [8] 137:10 159:7 183:5 186:17,21 246:7 293:13 351:7 <b>Foundation</b> [2] 305:9 336:18 <b>four</b> [16] 45:16 51:9,11 134:22 138:18,23 144:22 229:7 233:21 234:10,20 290:17,18 325:25 329:23 347:17 <b>fourteen</b> [1] 185:13 <b>frame</b> [1] 30:10 <b>Fraser</b> [1] 311:19 <b>frequent</b> [1] 220:24 <b>frequently</b> [5] 222:14 222:17 257:14 258:23 292:8 <b>Friday</b> [4] 68:22 83:23 90:7 268:12 <b>front</b> [5] 24:14 120:13 168:9 266:6 267:18 <b>frustration</b> [1] 259:10 <b>FTE</b> [1] 343:1 <b>FTEs</b> [2] 344:4 345:18 <b>fulfil</b> [1] 139:23 <b>full</b> [7] 147:1 206:18 214:15 290:14 318:21 328:17 343:3 <b>full-time</b> [3] 320:17,25 321:19 <b>fully</b> [7] 7:24 146:4,5 234:16 278:25 279:4 345:14 <b>function</b> [2] 44:7 271:14 <b>functional</b> [1] 345:14 <b>funding</b> [10] 308:7,9 315:7 316:19 326:6,15 328:1 354:8 358:14 359:24 <b>furious</b> [1] 205:4 <b>future</b> [2] 94:3 295:1</p>	<p><b>gastrointestinal</b> [1] 306:16 <b>gather</b> [1] 268:24 <b>gathers</b> [1] 313:18 <b>general</b> [18] 76:23 79:6 92:17 98:23 139:18,25 140:1,7 162:5 236:4 243:9 249:1,17 251:21 258:9 281:3,17 283:10 <b>generally</b> [9] 9:4 82:1 218:7 220:25 224:5 228:2 242:11 248:24 251:22 <b>generate</b> [2] 355:13,23 <b>generated</b> [3] 8:11 18:7 68:19 <b>generous</b> [1] 316:3 <b>genitourinary</b> [1] 365:21 <b>geographical</b> [3] 320:25 321:19 345:2 <b>Gerard</b> [1] 139:13 <b>GFT</b> [1] 320:18 <b>GI</b> [6] 331:5,10,12 365:6 366:2 370:14 <b>GIs</b> [1] 31:8 <b>given</b> [37] 19:7 45:20 54:18 61:17 71:24 73:23 74:13 82:12 120:12,16 146:9 147:12 168:16,17 198:3 239:1 240:5 252:19 253:14 254:22 259:17 272:25 273:12 282:21 286:5 287:23 292:18 293:7 299:19 301:4,20 354:10 358:15 370:15 373:10,17 374:9 <b>giving</b> [3] 18:25 235:23 296:23 <b>glad</b> [3] 14:23 296:13 358:7 <b>glean</b> [1] 47:10 <b>goal</b> [2] 70:6 335:23 <b>goals</b> [1] 341:4 <b>goes</b> [10] 56:21 58:1 86:24 88:11 90:1 110:1 157:9 197:5 269:15 298:10 <b>gone</b> [12] 41:10 45:2 64:6 102:4 126:22 154:1 162:22 223:4 235:5 264:3 298:11 346:10 <b>good</b> [27] 4:6,6,9 190:23 190:24 199:21 208:4,6 215:11 217:24 218:4 236:1 237:23 261:13,15 296:5 304:7,9 314:12 315:4 317:7 324:22 335:18 340:13 341:3 347:9,15 <b>government</b> [8] 315:6 316:19 320:23 336:18 344:8 351:6,18 360:7 <b>GP</b> [4] 87:13 90:16,18 114:15 <b>GP's</b> [1] 89:25 <b>GPOs</b> [1] 139:25</p>	<p><b>grade</b> [3] 284:5,16,18 <b>graduate</b> [1] 322:23 <b>graduated</b> [1] 304:19 <b>grand</b> [3] 298:4 302:2 319:23 <b>grandfather</b> [1] 149:1 <b>grandfathered</b> [1] 352:9 <b>grandparents</b> [1] 150:25 <b>grants</b> [1] 326:8 <b>great</b> [4] 230:21 316:22 325:3 341:5 <b>greater</b> [1] 277:3 <b>Green</b> [45] 134:5,16 135:21 136:22 139:6 142:23 145:6,11 146:2 150:17 153:1 161:16,25 162:18 169:16 175:20 185:10 186:11 190:24 197:9 201:1,25 202:16 206:12 207:5 259:8,16 275:7 278:1 281:14,20 281:23 282:23 286:6,8 287:2,8 288:4,22,24 290:15 291:3,8 294:9 295:4 <b>Green's</b> [8] 155:6 170:2 190:8 201:7 282:15 285:2 286:10 291:5 <b>Greenland</b> [11] 158:11 164:25 165:5 170:11 178:6 180:1,13 181:5 183:4,14,22 <b>Greenland's</b> [2] 183:1 183:12 <b>Gregory</b> [1] 86:17 <b>Gregfell</b> [1] 319:16 <b>grey</b> [6] 23:8 108:24 109:7,12,17,25 <b>gross</b> [6] 126:11 127:15 127:18 128:9 129:24,24 <b>group</b> [22] 108:23 139:19 140:9 215:1 236:9 295:5 305:3 307:22 316:3 324:23 338:22,23,25 339:6 347:9,16,17,23 348:16 358:15,21 370:8 <b>grow</b> [1] 336:19 <b>growing</b> [1] 341:1 <b>grown</b> [1] 365:7 <b>growth</b> [2] 297:3,6 <b>growths</b> [1] 315:24 <b>GU</b> [2] 331:12 365:21 <b>guess</b> [31] 18:10 22:3 26:9 34:13 54:24 83:15 144:23 151:7 185:22 195:6 199:17 203:4 221:1 226:1 251:21 259:9 281:12 282:1 285:19 308:11 318:3,9 319:1 325:25 332:13 338:8 340:1,6 358:8,11 367:3 <b>guidance</b> [2] 73:20 74:13 <b>guided</b> [1] 274:11 <b>guideline</b> [7] 7:1 148:1</p>
---	---	--	--	--

-G-

277:13,17 369:16,21 370:6 <b>guidelines</b> [22] 82:9,13 82:15 163:4 222:1 256:3 256:5,8,16,18,22 257:6 257:11 258:2,8,11 369:22 370:1,4,19,22 371:1 <b>Gulliver</b> [3] 9:5 10:18 265:14 <b>Gupta</b> [1] 68:8 <b>gyne</b> [1] 271:1 <b>gynecology</b> [1] 323:1	<b>HEENT</b> [2] 194:19 195:3 <b>held</b> [1] 146:7 <b>help</b> [2] 337:16 338:6 <b>helped</b> [1] 348:13 <b>helpful</b> [4] 69:10 106:1 238:13 296:6 <b>helping</b> [1] 283:22 <b>helplessness</b> [1] 193:6 <b>helps</b> [1] 348:23 <b>hematologists</b> [2] 352:6 352:10 <b>hematology</b> [2] 78:25 365:23 <b>Hennebury</b> [1] 1:9 <b>HER2</b> [1] 313:20 <b>HER2/neu</b> [13] 12:1,4,6 12:7,12,14,16,19,20,23 12:25 195:14,14 <b>Herceptin</b> [5] 12:15 13:3 13:3 317:2 369:11 <b>hereby</b> [1] 376:2 <b>herself</b> [6] 70:11 145:12 145:14 148:16,25 149:2 <b>hiatus</b> [1] 365:25 <b>high</b> [5] 133:10 276:11 284:17 285:9 361:20 <b>higher</b> [2] 7:10 149:17 <b>highest</b> [2] 5:23 101:24 <b>highlight</b> [1] 249:5 <b>highlights</b> [2] 305:21 326:4 <b>highly</b> [1] 280:12 <b>himself</b> [1] 29:22 <b>hindsight</b> [1] 40:14 <b>hired</b> [2] 339:7 344:22 <b>histological</b> [1] 123:24 <b>histopathological</b> [1] 10:2 <b>history</b> [5] 91:11 111:20 128:23 149:19 150:24 <b>hold</b> [7] 35:22 60:8,9,13 60:19 72:11 116:25 <b>home</b> [5] 68:25 80:21 184:3 298:22 305:6 <b>honest</b> [1] 348:9 <b>Honourable</b> [2] 1:3 376:6 <b>hope</b> [2] 86:23 314:20 <b>hoped</b> [1] 274:22 <b>hopefully</b> [1] 344:21 <b>hopes</b> [1] 297:21 <b>hoping</b> [2] 344:8,13 <b>hormonal</b> [14] 5:19,24 68:5 141:9 180:7 198:7 198:11 221:18,18 246:3 247:6 249:8 283:15 293:23 <b>hormone</b> [25] 1:2 6:6,17 70:16 85:16 101:20 102:5 108:7 110:5,7 123:10 146:19 187:18 189:25 195:8 247:21 257:17	258:25 275:19 284:24 287:16 289:20 290:6,8 376:4 <b>hormones</b> [2] 196:2,3 <b>hospital</b> [6] 10:25 85:11 125:23 161:10 266:17 363:2 <b>hospitals</b> [1] 311:22 <b>host</b> [1] 311:22 <b>hot</b> [1] 143:2 <b>hour</b> [6] 74:18,18 239:10 239:23 240:1 294:19 <b>hours</b> [4] 39:4 40:3 323:24 332:7 <b>house</b> [2] 32:12 33:18 <b>housed</b> [2] 311:14 319:4 <b>Howell</b> [4] 339:6,21,25 344:7 <b>huge</b> [4] 28:13 233:19,23 318:17 <b>human</b> [5] 297:11 337:5 344:6 351:23 353:3 <b>humbled</b> [1] 299:7 <b>hundred</b> [1] 185:13 <b>husband</b> [2] 30:2 69:16 <b>hypothesizing</b> [1] 247:13 <b>hypothetical</b> [1] 243:6	<b>immunostains</b> [1] 10:1 <b>impact</b> [6] 119:7 122:25 124:4 238:22 243:11 259:20 <b>impacted</b> [1] 245:20 <b>impediments</b> [1] 237:11 <b>imperative</b> [2] 362:4 366:20 <b>implications</b> [1] 16:23 <b>import</b> [1] 149:10 <b>important</b> [29] 5:22 6:9 10:2 22:23 52:13 70:1 76:8 84:12 145:16 146:6 149:5,13 258:10 259:15 271:23 272:1 283:23 284:6,16,21 315:4 316:6 337:5,8 351:12 357:16 362:19,23 363:9 <b>importantly</b> [1] 363:6 <b>improve</b> [3] 312:25 314:7 348:3 <b>improved</b> [2] 14:5 297:1 <b>improvement</b> [2] 299:3 336:2 <b>improvements</b> [1] 316:23 <b>improving</b> [1] 313:17 <b>in-house</b> [2] 27:25 325:19 <b>in-law</b> [1] 69:16 <b>in-patient</b> [1] 311:13 <b>in-patients</b> [2] 322:20 329:16 <b>inappropriate</b> [2] 10:8 266:15 <b>inaudible</b> [2] 216:16 260:25 <b>incident</b> [5] 201:24 205:15 227:2 291:5,8 <b>inclination</b> [1] 40:15 <b>include</b> [8] 54:19 151:5 198:10 306:13 324:8 327:10 337:8 353:14 <b>included</b> [3] 84:22 136:24 357:16 <b>includes</b> [1] 337:13 <b>including</b> [6] 131:1 143:1 262:20 294:8 297:13 315:1 <b>inclusive</b> [2] 303:7,8 355:14,23 <b>income</b> [3] 354:25 355:14,23 <b>inconvenient</b> [1] 216:20 <b>increase</b> [9] 103:16 348:25 349:13 354:7,9 359:6,22,23 369:17 <b>increased</b> [4] 326:16,17 344:10 345:11 <b>increases</b> [2] 148:24 356:8 <b>increasing</b> [2] 297:18 337:1 <b>increasingly</b> [1] 363:9 <b>independent</b> [4] 11:19	185:6 197:20 219:11 <b>index</b> [1] 27:24 <b>indicate</b> [4] 88:8 107:6 194:18 250:7 <b>indicated</b> [16] 51:8 89:23 126:17 135:24 151:22 185:25 230:17 235:25 239:25 241:2 245:14 259:12 287:5 295:24 359:5 374:4 <b>indicates</b> [8] 89:21 99:24 114:16 137:14 139:10 142:24 159:6 171:19 <b>indicating</b> [5] 80:9 118:4 135:12 138:25 154:17 <b>indication</b> [1] 194:15 <b>individual</b> [12] 91:19 242:10 247:23 253:21 254:23 269:25 307:18 354:15 356:12 359:21 360:4 369:9 <b>individualize</b> [1] 246:1 <b>individually</b> [1] 258:8 <b>individuals</b> [1] 56:21 <b>industry</b> [1] 326:8 <b>infiltrating</b> [6] 281:23 282:1,3,6,7,8 <b>inform</b> [6] 14:23 16:15 17:6 18:2 95:24 159:21 <b>informal</b> [6] 28:10 29:10 30:13 39:23 61:21 77:18 <b>information</b> [50] 5:8 22:22 31:22 47:10 54:6 67:4 75:24 90:1,16 99:22 107:5 109:14 112:18 113:9 170:9 176:16 201:2 202:1 215:13 224:2 226:6 228:3 236:1 237:17,20 238:15 241:14,15 242:15 242:17 248:4 249:15 250:13 253:1 254:24 271:4 272:8,24 273:4 280:4 313:9,11,15 314:4 314:22,25 316:4,5 352:17 357:18 <b>informations</b> [1] 252:19 <b>informed</b> [14] 11:6 16:10 18:13,16 31:4 40:7 41:21 44:2,6 91:19 186:23 187:24 192:11 227:5 <b>informing</b> [3] 41:3,8,9 <b>inherited</b> [1] 68:7 <b>inhibitors</b> [1] 148:4 <b>inhibitor</b> [5] 83:11 85:17 104:2 287:21 315:14 <b>initial</b> [9] 83:6 130:15 140:5 182:10 230:19 245:18 247:8 248:1 375:1 <b>initials</b> [2] 120:1 135:6 <b>initiate</b> [3] 63:9 95:3 247:25 <b>initiated</b> [4] 53:7 60:12 93:5 366:8 <b>initiates</b> [1] 205:22 <b>initiating</b> [2] 51:2 366:14
<b>-H-</b>				
<b>H-E-E-N-T</b> [1] 194:25 <b>half</b> [4] 74:18 240:1 290:18 323:5 <b>halfway</b> [1] 266:14 <b>hand</b> [5] 201:7,12,20 292:10,15 <b>handle</b> [4] 61:14,14,16 73:8 <b>handled</b> [1] 223:18 <b>handling</b> [1] 38:25 <b>handouts</b> [1] 316:5 <b>hands</b> [2] 205:21 206:1 <b>handwriting</b> [1] 135:2 <b>handwritten</b> [1] 114:18 <b>happening</b> [9] 17:10 31:4 32:14 39:24 123:7 177:2,19 199:3 323:17 <b>happy</b> [1] 83:13 <b>hard</b> [6] 25:1,20 27:11 56:2 132:21 355:24 <b>hardship</b> [1] 252:9 <b>hardships</b> [1] 298:16 <b>head</b> [9] 8:16 81:18 211:16,17 232:14 307:5 338:21,23,24 <b>headache</b> [1] 211:16 <b>heads</b> [1] 45:3 <b>health</b> [39] 1:11,17 10:10 38:1 43:3 83:2 89:6 119:5 120:3 122:22 136:12 137:11 208:8 251:3,13 253:3,13 254:4 256:14 299:2 314:25 318:5,20 319:5,18 321:2 321:3,8 325:4 330:17 335:4,9 337:7,9 338:19 341:23 369:7,8 370:21 <b>Health's</b> [1] 318:3 <b>healthy</b> [1] 193:7 <b>hear</b> [1] 27:15 <b>heard</b> [2] 29:11 42:9,14 42:24 43:1,3 67:11,12 67:18 74:11 283:10 288:2 291:4 310:5 312:14 341:8 341:9 349:1 350:14 351:22 376:5 <b>hearing</b> [1] 30:19 <b>heart</b> [1] 129:2 <b>Heather</b> [3] 90:8,12 91:15	<b>HER2/neu</b> [13] 12:1,4,6 12:7,12,14,16,19,20,23 12:25 195:14,14 <b>Herceptin</b> [5] 12:15 13:3 13:3 317:2 369:11 <b>hereby</b> [1] 376:2 <b>herself</b> [6] 70:11 145:12 145:14 148:16,25 149:2 <b>hiatus</b> [1] 365:25 <b>high</b> [5] 133:10 276:11 284:17 285:9 361:20 <b>higher</b> [2] 7:10 149:17 <b>highest</b> [2] 5:23 101:24 <b>highlight</b> [1] 249:5 <b>highlights</b> [2] 305:21 326:4 <b>highly</b> [1] 280:12 <b>himself</b> [1] 29:22 <b>hindsight</b> [1] 40:14 <b>hired</b> [2] 339:7 344:22 <b>histological</b> [1] 123:24 <b>histopathological</b> [1] 10:2 <b>history</b> [5] 91:11 111:20 128:23 149:19 150:24 <b>hold</b> [7] 35:22 60:8,9,13 60:19 72:11 116:25 <b>home</b> [5] 68:25 80:21 184:3 298:22 305:6 <b>honest</b> [1] 348:9 <b>Honourable</b> [2] 1:3 376:6 <b>hope</b> [2] 86:23 314:20 <b>hoped</b> [1] 274:22 <b>hopefully</b> [1] 344:21 <b>hopes</b> [1] 297:21 <b>hoping</b> [2] 344:8,13 <b>hormonal</b> [14] 5:19,24 68:5 141:9 180:7 198:7 198:11 221:18,18 246:3 247:6 249:8 283:15 293:23 <b>hormone</b> [25] 1:2 6:6,17 70:16 85:16 101:20 102:5 108:7 110:5,7 123:10 146:19 187:18 189:25 195:8 247:21 257:17	<b>idea</b> [20] 17:5,23 22:16 41:4,11 71:1 142:6 144:25 145:22 172:13,16 173:1 181:1,7 187:24 215:11 237:24 259:5 314:12 317:13 <b>identification</b> [1] 52:15 <b>identified</b> [7] 36:15,16 44:24 98:2 147:10 242:9 300:10 <b>identify</b> [8] 33:2 34:8,16 35:8 97:25 205:15 231:2 299:5 <b>identifying</b> [3] 33:19 81:25 99:21 <b>identity</b> [1] 319:4 <b>IHC</b> [1] 372:24 <b>III</b> [2] 305:4 307:20 <b>ill-advised</b> [1] 10:12 <b>illustration</b> [1] 288:22 <b>imagine</b> [1] 336:7 <b>imaging</b> [1] 211:1 <b>immediate</b> [2] 19:6,7 <b>immediately</b> [2] 219:1 229:21 <b>immigrant</b> [1] 298:21 <b>immunohistochemical</b> [2] 135:25 373:6 <b>immunohistochemistry</b> [5] 10:13 77:23 78:18 372:11 375:12 <b>immunostain</b> [2] 10:8 266:15	<b>-I-</b>	



**initiative** [3] 36:10,12 366:15  
**inordinately** [1] 88:6  
**input** [7] 40:6 51:18 55:9 55:10 236:19 271:24 315:2  
**inquire** [1] 54:5  
**inquiries** [2] 172:8 254:21  
**inquiring** [1] 250:8  
**inquiry** [5] 1:1 38:10 49:13 376:4,7  
**insert** [1] 147:11  
**instance** [1] 283:17  
**instances** [6] 13:9 24:2 64:16 73:4 286:25 363:8  
**instead** [1] 346:3  
**Institute** [4] 305:3 307:11,22 368:11  
**institution** [4] 205:12 256:11 280:25 311:15  
**institutionally** [1] 318:2  
**instruction** [3] 71:24 73:20 74:20  
**instructions** [2] 73:24 90:14  
**integral** [1] 363:2  
**integrated** [3] 1:10,17 319:5  
**intended** [1] 130:19  
**intent** [2] 66:20,25  
**intention** [2] 58:13 68:25  
**interact** [1] 325:8  
**interaction** [1] 316:10  
**interest** [1] 328:25  
**interested** [8] 85:15 187:1 192:10 193:24 194:3 287:6 307:19,19  
**interestingly** [2] 143:3 149:8  
**internal** [2] 304:20 322:24  
**international** [2] 324:7 325:6  
**interpret** [1] 103:5  
**interpreted** [1] 130:7  
**interrupt** [2] 203:8 292:4  
**interval** [1] 103:2  
**intervals** [1] 221:1  
**intervening** [1] 176:25  
**interview** [3] 9:12 14:16 238:10  
**interviewed** [3] 264:20 265:21,23  
**intravenous** [1] 315:7  
**introduced** [3] 317:2 349:6 353:24  
**invasive** [5] 137:3 282:8 282:9,10,10  
**investigated** [5] 106:9 177:16,18 178:15,23  
**investigating** [1] 179:19

**investigation** [1] 214:10  
**invite** [4] 66:4,7,10 296:9  
**invited** [2] 47:1,4  
**involve** [4] 61:1 78:19 237:22 321:15  
**involved** [32] 17:17 31:11 55:2 61:7 71:17 78:12,20 94:15,24 111:24 112:1 115:1 116:8 168:4 236:9 246:23 256:23 258:5 293:3 316:8 317:9 317:12,20,21 322:9,15 322:19 337:18 351:16 356:4 363:23,24  
**involvement** [2] 289:16 289:17  
**involves** [1] 206:9  
**issue** [45] 11:20 14:10 22:4,10,21 27:16 28:24 29:16 30:10 31:9,23 37:23 38:9,25 40:13 41:25 66:6 71:25 72:20 126:9 145:12 147:16,17 152:25 172:1 174:4,4 201:25 228:6 230:21 241:3 268:9,25 269:17 270:6,11 271:7 272:12 272:17 273:25 274:2,3 274:20 287:8 357:5  
**issues** [22] 8:5,9 38:20 99:19 126:18 129:8 244:8 245:4 249:17 255:7 272:6 273:17 340:11 341:8,15 341:19 342:4,5,12 348:6 357:15 358:24  
**items** [1] 261:22  
**itself** [6] 6:7 23:1 38:19 244:2 338:9 360:3  
**IV** [3] 315:10,18 336:22

**-J-**

**J** [1] 16:10  
**January** [18] 69:21 79:25 80:5 81:4,6,7,9 82:4 135:24 170:14 181:16 186:15 194:2 195:18 231:7 275:24 305:16 334:1  
**JEHAN** [7] 2:2 4:1 208:2 217:22 261:11 281:10 299:15  
**Jenkins** [2] 86:25 89:21  
**Jennifer** [4] 1:15 2:5 217:22,25  
**jeopardize** [3] 10:9 266:16 267:21  
**job** [4] 318:6 336:8 338:3 349:8  
**John's** [18] 8:18 10:11 27:5 64:10 96:3,6,9,12 96:14,24 99:6 136:13 214:5 320:4 375:5 376:8 376:11  
**join** [1] 343:5  
**joined** [2] 21:20 139:14  
**Jones** [1] 357:20

**journal** [4] 324:3 325:12 332:15 333:10  
**journals** [2] 328:7 333:4  
**Joyce** [1] 86:11  
**judgement** [2] 74:4 141:21  
**judgment** [3] 69:6 108:5 215:5  
**Judy** [2] 376:2,13  
**July** [6] 33:14 83:22 85:8 86:10 360:23 362:12  
**June** [26] 9:3 14:19 32:4 32:13,13 33:14 68:11 86:1 126:8 148:2 170:23 171:1,8,18,20,25 176:6 183:16 199:9,10 266:5 267:20 285:22,24 286:1 286:4  
**Justice** [2] 1:3 376:6  
**justify** [1] 276:12

**-K-**

**K-A-R-A** [1] 303:1  
**Kara** [5] 1:9 2:9 302:19 302:20 303:1  
**keep** [11] 39:10 41:12,16 104:5 264:23 275:2 323:16 350:5,7 352:20 362:9  
**keeping** [5] 20:7 104:4 155:1 160:4 351:4  
**keeps** [3] 323:1,25 338:1  
**Kelly** [2] 86:16,18  
**Kelowna** [1] 311:19  
**kilos** [2] 127:6,7  
**kin** [1] 69:9  
**kind** [15] 5:7 50:14 56:25 77:15 79:3 109:8 113:9 146:12 148:14 173:6 174:18 209:21 275:18 326:4 369:22  
**kinds** [1] 123:15  
**knew** [12] 19:12 29:23 32:16 46:15,18 158:25 255:11 274:4 288:10,13 294:25 341:22  
**knowing** [4] 77:22 172:23 230:25 232:25  
**knowledge** [5] 78:23 79:4 300:13 326:11 371:7  
**known** [5] 75:2 155:20 214:15 257:2 288:5  
**Kwan** [2] 178:11 263:23

**-L-**

**L-A-I-N-G** [1] 303:2  
**lab** [11] 8:10,11 75:8 79:4 251:16 253:17 272:7 273:15 277:14 309:25 363:1  
**laboratory** [6] 10:14 42:5 78:24 211:1 309:20 341:10  
**Labrador** [17] 48:14

60:11 71:11 110:25 111:16 218:1 312:10 314:25 315:11 319:16 359:25 362:1 364:15 369:10,12 376:8,11  
**Labrador-Grenfell** [1] 1:16  
**labs** [2] 79:6 160:20  
**lady** [10] 65:6 81:15 82:4 106:6 107:11 193:7 225:8 225:11,14,15  
**laid** [1] 142:10  
**Laing** [157] 1:9 39:3,10 45:9 49:16 52:8 79:23 87:11 90:2 118:17 302:19 302:25 304:8,14 305:25 306:4,10,24 307:15 308:19,25 309:5,21 310:1 310:8,14,19 312:11,16 312:22 314:13,17 317:11 318:8 319:11,19 320:14 321:11,18 322:2,6,12 323:19 324:14 325:21 326:18,23 327:2,6,19,24 328:16 329:4,8 330:3,7 330:12,20,24 331:11,15 331:21 332:1,10,24 333:5 333:16,23 334:3,9,14,20 334:24 335:3,8 338:7 339:17,22 340:3,8,17,24 341:17 342:7,11,24 343:10,14,19 344:15 345:4,9,23 346:22 347:1 347:8 348:5 349:3,7,16 349:25 350:6,10,18,23 351:20 353:10,16,20,25 354:5,17,24 355:5,10 356:9,15,20,25 357:7 358:2 360:14,20 361:1,7 361:12 362:11,14 363:25 364:4,10,19 365:15,19 366:10,16 367:13,20 368:3,9,16,22 369:24 370:5,12 371:3,22 372:4 372:15 373:3,11,18,23 374:6,13 375:6,10  
**large** [6] 302:3,3 335:10 337:10 352:1,12  
**larger** [1] 298:4  
**largest** [2] 312:5 319:6  
**last** [57] 7:15 8:4,14 9:2 9:16 13:8 14:25 23:11 35:20 36:5 37:3 81:4 82:6 84:2 85:21,25 121:8 121:11,18 122:7 124:15 124:25 125:3 127:3,5 134:22 138:16 147:4 150:18 153:12,25 154:6 154:10 163:12 173:21 176:4 179:6 185:14 191:19,20 192:4 195:24 213:8,11 233:21 240:21 240:22 297:1,3 298:1 312:24 313:23 315:25 325:22 344:24 351:5,12  
**lasted** [1] 239:23  
**late** [13] 27:20,22 28:14 28:15,18 32:13,18 106:7 279:5 305:10 334:4 352:8 373:15

**latitude** [1] 141:13  
**Laura** [1] 1:12  
**lawyer** [1] 54:17  
**lead** [2] 297:20 335:11  
**leader** [1] 338:15  
**leads** [1] 342:15  
**learn** [2] 234:12,20  
**learned** [10] 14:14 19:1 90:19 214:1 226:17,22 314:22 372:13,14,21  
**learning** [4] 15:8 324:4 324:5 332:13  
**least** [5] 21:2 144:22 228:12 245:6 249:5  
**leave** [10] 67:7 79:16 90:5 206:2 239:18 240:10,15 240:24 367:21 368:1  
**leaving** [1] 71:1  
**led** [1] 249:19  
**left** [35] 45:15 67:13 68:6 68:9 69:6,8,24 71:6 73:10 74:3 80:20 90:13 99:25 100:11 103:7 108:4 118:24 119:11,25 122:11 122:18 141:21 196:6 233:11 242:20 243:7,8 298:2 331:1,14 346:15 348:8 359:19,20 367:8  
**legal** [1] 16:22  
**legality** [1] 40:20  
**legs** [1] 106:8  
**length** [4] 103:20,24 167:17 168:13  
**lengthy** [1] 252:17  
**lesions** [7] 10:5 154:10 154:12 177:16 178:14,23 179:11  
**less** [13] 6:4 102:9 105:17 114:6 118:25 122:14 196:7 222:14,17,18,20 222:20 307:7  
**Letrozole** [1] 148:5  
**letter** [120] 32:3 39:16,19 47:22,22 49:2,19,25 56:14,16,18,20,21,22,24 57:15,15,19 60:8,10,14 68:19 79:22 80:12 82:21 83:6,15 84:4,17,20 85:4 85:8,25 87:11,14,16 91:25,25 92:13,15,16,18 92:22,24 93:3,25 96:16 98:6 104:14 105:11 107:6 107:19 112:11,17 114:2 114:12,13,16,21 115:4,7 116:13,14,17,21 117:2,4 117:5 118:4,9,15 119:24 120:7,17 121:12 122:8 129:22,23 169:15 170:18 170:21,23 171:19 176:5 176:7,15 182:24 183:2 183:15 184:22 189:8 219:2,12,16 223:22 224:18 225:16,21 226:24 227:8,10,12 228:9 229:9 229:11 232:7 233:15 234:7 242:8,16 244:23 244:23 245:13 260:2

**Inquiry on Hormone Receptor Testing**

<p>269:24 285:19 360:13,18 362:12,15 <b>letters</b> [22] 56:8 57:18 73:2 88:3 99:18,20 107:4 117:21 134:21,22 214:18 218:6,7 223:7,9 224:1 225:3 228:16 232:25 242:4 251:7 359:22 <b>letting</b> [1] 164:14 <b>Leung</b> [1] 79:24 <b>liaise</b> [1] 352:13 <b>liaising</b> [1] 337:20 <b>liberty</b> [1] 215:10 <b>life</b> [2] 5:5 289:19 <b>Ligand</b> [1] 372:8 <b>liked</b> [1] 10:25 <b>likely</b> [6] 7:11 119:13 123:14 124:1 133:16 366:3 <b>limited</b> [1] 326:6 <b>line</b> [8] 121:17 124:15,25 149:2 191:3 203:25 204:2 262:19 <b>lined</b> [1] 343:8 <b>lines</b> [2] 38:18 203:6 <b>linkages</b> [1] 313:2 <b>list</b> [23] 3:2 52:15,20 54:16,16,18 98:19 110:13 146:9 293:7,9,14 299:19 299:21 300:1,4,7,8,12 300:17 301:5,10,20 <b>listed</b> [2] 262:3 264:7 <b>listen</b> [1] 241:9 <b>literature</b> [3] 7:25 147:1 147:12 <b>litigation</b> [2] 10:11 266:17 <b>litre</b> [2] 374:22,22 <b>live</b> [1] 268:9 <b>liver</b> [10] 154:9 177:16 178:14,23 179:11 195:16 195:19 204:25 289:16,21 <b>lobbied</b> [1] 363:16 <b>lobby</b> [1] 363:23 <b>lobular</b> [3] 281:24 282:10,10 <b>lobulars</b> [1] 33:22 <b>local</b> [1] 325:4 <b>locating</b> [1] 88:9 <b>locum</b> [1] 344:22 <b>logistically</b> [1] 54:14 <b>logistics</b> [1] 55:7 <b>logs</b> [1] 323:24 <b>long-term</b> [1] 282:11 <b>longer</b> [7] 88:20 95:16 215:4 223:2 225:22 240:8 319:14 <b>longest</b> [1] 312:5 <b>longitudinal</b> [1] 309:8 <b>look</b> [74] 19:14 23:9 25:11 37:9 44:10 50:9 50:17 51:25 61:25 62:4 62:19 79:17 86:6 91:13</p>	<p>102:19,23,24 106:24 109:17 120:20,23 121:3 146:10 156:3,9,12 157:11 157:22 158:14 160:16 174:24 176:1,23 184:17 219:9 243:2,15 246:2 258:22 263:2,14 267:11 268:14 269:16 273:24 274:20 284:4 291:16 301:7,12 309:9 311:1 313:22 315:19,23 316:24 317:1,4 318:15 326:7 328:19 329:16 336:2,3 343:1,20,23 344:4 345:1 352:25 360:9 366:23 369:16 370:16 <b>looked</b> [19] 40:23 44:24 48:1 51:24 69:18 90:9 92:19 157:7 177:14 180:17 214:19 219:5,7 258:7 264:16 270:22 273:14 352:23 362:25 <b>looking</b> [26] 25:18 52:4 53:4 54:15 102:20 113:6 115:4,8 156:12 160:23 169:25 180:21 184:1 264:5 267:18 269:18 273:21 307:24 308:1 313:24 315:20 317:22 322:20 336:5 351:9,25 <b>looks</b> [10] 110:7 114:3 114:13 118:13 119:21 144:6 181:22 226:22 274:3,15 <b>loop</b> [1] 17:21 <b>lose</b> [1] 336:24 <b>losing</b> [2] 101:3 174:20 <b>lost</b> [2] 133:18 187:9 <b>Louise</b> [1] 357:20 <b>low</b> [1] 303:13 <b>lower</b> [4] 106:5 350:1,1 350:13 <b>lump</b> [1] 358:16 <b>lumps</b> [1] 369:13 <b>lunch</b> [4] 217:15,17 261:5 281:13 <b>luncheon</b> [1] 217:13 <b>lunches</b> [1] 97:21 <b>lung</b> [7] 8:15 85:12 289:15 308:1 325:2 365:24 370:14 <b>lymph</b> [2] 246:23 284:19 <b>lymphoma</b> [1] 306:17 <b>lymphomas</b> [1] 10:4</p> <hr/> <p style="text-align: center;"><b>-M-</b></p> <p><b>M</b> [1] 284:19 <b>MAC</b> [1] 339:7 <b>machine</b> [3] 67:14 70:3 292:12 <b>machines</b> [1] 292:12 <b>mail</b> [17] 24:24 25:1,20 69:18,24 157:8 159:17 159:20 160:2,7,21 166:8 166:11,15,20 167:18 168:14</p>	<p><b>mailbox</b> [11] 55:20,22 55:23 60:7 116:18 132:22 211:19,21,25 212:8,19 <b>mailed</b> [1] 84:21 <b>main</b> [15] 39:7 45:1,13 90:22 111:21 120:19 188:16 198:4 201:8,14 201:21,22 225:4 266:1 271:19 <b>maintain</b> [3] 319:3 338:19 362:7 <b>maintenance</b> [1] 323:22 <b>Majesty</b> [1] 1:8 <b>major</b> [13] 306:14,18,22 306:25 307:3 325:11 328:21 329:3,13,23 330:18 331:5,7 <b>majority</b> [3] 41:13 158:20 277:23 <b>makes</b> [7] 183:4 348:20 353:17,19,21 354:20,22 <b>malignancies</b> [6] 306:16 307:7 325:11 361:19,24 365:21 <b>malignancy</b> [1] 10:5 <b>manage</b> [1] 361:23 <b>management</b> [10] 38:19 39:13 335:10 338:5,10 340:14,18,20 341:13,20 <b>managing</b> [1] 38:25 <b>mandate</b> [2] 271:17 311:5 <b>manner</b> [1] 61:15 <b>March</b> [29] 16:1 87:11 87:15,17 112:11 114:2 115:7 150:14 155:13,15 158:24 161:2 168:4 169:9 177:15 180:18,22 202:18 203:13 206:21 207:2 264:21 265:2,10,21 282:16,17 288:13 290:25 <b>Margaret</b> [1] 376:6 <b>margin</b> [1] 138:11 <b>Margins</b> [1] 138:10 <b>Mark</b> [1] 1:14 <b>marked</b> [10] 3:3,4,5,6,8 304:1,2,3,4,5 <b>markers</b> [1] 363:10 <b>mass</b> [1] 34:5 <b>massive</b> [2] 28:19 30:20 <b>mastectomy</b> [17] 135:22 136:24 137:1 159:8 165:18 169:19 170:4 181:15,17 183:5 186:18 186:19 188:16 189:1,2 198:5 276:1 <b>material</b> [1] 297:12 <b>maternity</b> [1] 367:21 <b>matter</b> [4] 131:25 272:4 280:25 376:3 <b>maximum</b> [1] 332:18 <b>may</b> [93] 6:4 7:23 10:9 13:2 14:19,21 17:19 18:7 23:9 26:19 30:1 33:3,16 36:23 37:6 41:4,11 58:16</p>	<p>58:21 59:5,19 61:1 71:12 77:24 100:21,22 103:3 107:7 110:3 111:5 114:17 115:24 126:12,20 128:15 129:9 132:16 148:2 151:5 153:15,22,25 154:11,20 155:25 156:1 157:12 168:6 169:16 170:18 177:1 179:7,14 180:2,10 180:21 182:23,25 183:12 192:3 196:1 197:9 199:7 200:19,21 207:16 208:19 209:6 215:13 226:5 227:18 229:5 234:19 238:1,12 240:6 241:6 265:5 266:16 280:11 285:19 286:3 290:6 296:14 298:25 300:4,14 307:24,25 308:3 319:14 351:22 370:9 <b>McCarthy</b> [11] 30:9 32:4 39:3,10 45:9 52:7 315:2 330:25 331:20 338:15 346:12 <b>McCarthy's</b> [1] 30:8 <b>McDonald</b> [1] 86:11 <b>MCP</b> [2] 120:22 322:1 <b>mean</b> [25] 4:18 13:1,14 30:12 31:6,11 40:25 73:13 78:10 79:9 84:3 103:5 121:3 129:18 139:11 166:25 167:3 231:2 254:13 260:8 269:10 292:4 314:18 341:18 346:20 <b>meaning</b> [1] 151:18 <b>means</b> [15] 20:1 56:24 72:13 79:8 137:19 151:10 171:14 185:14 204:15 222:17 232:24 274:25 296:12 297:9 376:10 <b>meant</b> [5] 65:8 129:9 166:14 168:2 300:6 <b>measures</b> [1] 275:1 <b>mechanism</b> [2] 39:9 328:2 <b>medical</b> [112] 1:14 21:2 29:14 51:25 59:16 71:21 71:23 82:6 83:18 84:7 84:10,13 85:7,21 86:1 91:22,24 93:21,24 94:10 96:22 98:10 109:2 114:17 125:22 133:4 135:17 139:7,18 140:20 141:11 141:16,24 158:10 162:17 170:3 171:9,15 201:16 207:7,9 210:1 264:6,11 271:1,15 292:23 297:16 297:19 304:17,25 305:7 305:9,11,24 306:12 307:4 308:8,23 309:19 320:3,7 320:20 321:14,16 322:17 322:21 323:11,17 327:7 327:11,25 328:7,17 331:3 331:6 333:6,14 334:6 335:21 338:11,23 341:12 342:2,22 343:4,25 344:2 345:5 346:1,4,8 348:7 350:16 351:22 352:2,3,5 352:10,15,22 355:16,20</p>	<p>358:20,23 359:1,9 360:1 361:5 362:21 364:22 365:10 <b>medication</b> [2] 108:16 113:2 <b>medications</b> [3] 110:13 110:18 315:12 <b>medicine</b> [7] 42:5 78:24 297:2 304:21 309:20 322:24 341:10 <b>Meditech</b> [3] 17:4 19:3 25:11 <b>meet</b> [13] 40:2 217:16 226:3 227:19 231:24 234:20 238:8,20 324:24 339:5 340:9 363:14 375:17 <b>meeting</b> [49] 11:9,19 15:8,25 31:2,2 38:18 55:2 77:15,19 93:16 95:4 174:1,14 193:1,18,21 194:11 197:21 199:8,13 199:25 200:1,25 202:4 224:4,14 253:14 254:3 260:1 262:2 263:3 267:4 267:7,10,16 285:20 286:4 294:18,23 324:18,19 357:6,8,14,20 358:1,6,8 <b>meetings</b> [11] 31:20 37:22 47:4 51:11,13 326:5,12 356:5,13 360:1 370:13 <b>meets</b> [2] 365:22,23 <b>member</b> [11] 262:7,8,24 263:12 264:11 271:5 273:1 321:1 322:13 346:21 358:10 <b>members</b> [7] 1:12 261:17 263:22 321:21 333:6,7 337:7 <b>membership</b> [1] 333:9 <b>memo</b> [14] 9:7,8,9 10:16 30:21 99:4,9 264:2,16 264:24 265:5,13 266:6 267:20 <b>memorandum</b> [4] 262:15 265:7 273:13 349:10 <b>Memorial</b> [7] 304:15,18 304:21 320:16,19 321:10 321:20 <b>memos</b> [5] 8:25 14:17 265:20 266:25 274:16 <b>mental</b> [1] 298:8 <b>mention</b> [7] 10:1 127:15 147:16 157:19 200:23 205:5 206:19 <b>mentioned</b> [41] 8:4,5,6 37:8 71:9,10 79:15 110:6 126:5 127:10 152:14,22 154:12 173:20 174:3 179:13 180:18 184:5 188:5 193:15 200:3 204:10 206:16 225:12 233:18 242:18 252:16 256:3 267:8,13 268:18 268:21 269:14 275:8 278:12 282:19 283:1,17</p>
---	---	--	--	---

<p>295:4 299:19 343:2 <b>mentioning</b> [1] 179:6 <b>mentor</b> [1] 308:6 <b>message</b> [9] 67:7,13 69:6 69:8,24 71:2 80:21,22 184:3 <b>messages</b> [1] 71:6 <b>met</b> [10] 38:10 224:18 234:11 250:21 252:22 254:10 259:16 260:4 263:8 299:20 <b>metastasis</b> [5] 101:2,9 102:2,16 119:19 <b>metastasised</b> [1] 100:22 <b>metastatic</b> [12] 7:22,25 13:4 33:22 147:3,5 279:1 279:1 298:12,14 369:11 374:25 <b>method</b> [6] 372:2,7 373:6,22 374:1 375:3 <b>methods</b> [1] 372:14 <b>Michelle</b> [1] 86:17 <b>microscope</b> [2] 102:24 123:24 <b>microscopic</b> [1] 284:4 <b>mid</b> [3] 346:10 352:5 363:24 <b>middle</b> [8] 27:20,22 28:14,15,17 32:17,17 81:7 <b>midway</b> [1] 129:1 <b>might</b> [44] 4:18 29:11 33:23 45:12 70:8,20 72:25 88:12 113:7,8 127:9 135:11 179:21 187:18 214:16 222:3,13 224:22,23 230:7,24 231:18,22 234:9 236:8 237:8,11,12 238:3 242:11 243:10 245:20 253:2,16 255:4 259:1,20 260:3 292:17,18 300:5 359:3 360:11 368:1 <b>millimetre</b> [1] 109:4 <b>millimetres</b> [1] 138:11 <b>million</b> [1] 336:25 <b>mind</b> [37] 19:13,15,20 21:21 29:20,23 47:24 50:15 53:12 64:1,2,5,16 65:10 73:5 75:14 77:10 77:25 79:8 96:8,24 111:17 155:1 173:12,14 173:17 174:5 208:25 219:18 234:9,13,22 235:20 259:13 274:20 301:14 314:19 <b>minds</b> [1] 143:9 <b>minimize</b> [1] 298:15 <b>Minister</b> [3] 356:13 358:9 359:4 <b>minor</b> [3] 307:5 318:20 328:21 <b>minute</b> [4] 206:3 268:15 268:16 326:3 <b>minutes</b> [19] 11:9,23 14:12 15:19 22:18 25:14</p>	<p>51:10 74:17 216:4,16 239:6 240:8,11 249:16 256:4 262:2 268:14 273:5 371:11 <b>misbehave</b> [1] 202:8 <b>misbehaving</b> [1] 205:17 <b>miss</b> [1] 17:22 <b>missed</b> [5] 35:8 75:16 86:22 213:14 220:20 <b>missing</b> [1] 215:12 <b>mistake</b> [4] 120:10,16 122:2,5 <b>mistaken</b> [7] 9:17 42:16 80:18 120:20 243:23 256:9 276:5 <b>mix</b> [1] 362:8 <b>mixed</b> [1] 37:5 <b>mode</b> [1] 93:23 <b>model</b> [3] 310:25 311:3 311:21 <b>modelled</b> [3] 315:18 316:13 351:1 <b>modifications</b> [1] 256:22 <b>modified</b> [1] 258:16 <b>Monday</b> [2] 90:6,15 <b>money</b> [3] 328:4 356:1 358:16 <b>monitor</b> [1] 291:15 <b>month</b> [16] 28:8 85:2 87:23 95:15 97:6 98:9 98:20 115:8 118:9 171:4 187:15 194:1 320:2 323:4 323:5 365:22 <b>month's</b> [1] 96:18 <b>monthly</b> [1] 339:5 <b>months</b> [48] 14:25 35:20 36:5 143:14 153:10 158:12 159:9 161:7,7 163:6,18,19 165:19 170:19 172:4 176:24,25 177:17 178:6,18 185:24 186:3 209:10,11 218:18 221:20,21 222:4,4 223:5 227:19 229:7 234:10,20 260:2 287:21 290:17,18 306:15,16,17,19,22 308:23 309:12 339:9 346:1 354:4 <b>morning</b> [28] 4:6,6,9 90:15 105:6 124:12,18 217:15 230:17,18 235:22 237:11 239:25 242:18,21 245:14 256:2 259:8 261:2 261:23 275:7 281:16 282:15 286:25 291:2 371:12,18 375:17 <b>mornings</b> [1] 365:9 <b>mortality</b> [1] 243:25 <b>Moss</b> [2] 376:2,13 <b>most</b> [71] 4:14,18,21 5:22 6:9 7:21 8:18 14:8 26:2 26:3 27:10 33:18 37:17 41:13 52:13 55:19 56:5 56:9,13 57:18 58:12 61:22 62:2 75:9 97:20</p>	<p>97:21 99:14 107:4 112:23 120:14 124:1 130:9 140:2 140:4,6,11 141:16,24 152:12 155:9 158:18 160:20 164:6 190:16 197:4 210:22 212:6 213:25 214:1,6 221:10 221:12 222:3 224:8 228:12 245:1 249:23 255:15,16,24 272:1 306:17 307:1 308:1,11 313:10 315:17 333:7 336:14,15 341:23 <b>mostly</b> [6] 12:20 24:8 25:19 34:22 35:1 263:5 <b>mother</b> [1] 298:13 <b>mother's</b> [1] 114:25 <b>Mount</b> [23] 26:1 33:17 37:14,17 44:11 100:4 104:17 105:15 114:7 118:22 119:1 122:15,21 136:9,14 137:9 159:8 161:9 165:23 169:21 170:16 186:17 259:17 <b>move</b> [2] 312:25 347:15 <b>moved</b> [2] 72:8 81:21 <b>moving</b> [1] 318:19 <b>MPA</b> [1] 320:22 <b>MRI</b> [2] 154:13 178:11 <b>Mrs</b> [17] 67:19 68:1 69:15 80:13 81:11 113:19 126:7 134:16 135:21 136:22 142:23 145:6,11 146:2 150:17 152:25 252:16 <b>Ms</b> [186] 2:5 4:4 79:15,16 119:6 124:11,22 139:6 155:6 161:16,25 162:18 169:15 170:2 175:20 185:10 186:11 190:8,24 197:8 201:1,7,25 202:16 206:12 207:5 215:22,23 216:3,6,7 217:19,20,22 217:23 218:5,16,24 219:8 219:19,23 220:3,7,17,23 221:6,13,23 222:2,11,19 223:1,12,17,24 224:12 225:1,20,25 226:11,15 226:25 227:15 228:1,14 228:22 229:4,18 230:5 230:12,16 231:15 232:9 232:18,23 233:5,10,24 234:4,17,25 235:8,16,21 236:13 237:1,7,25 238:16 239:2,7,15,19,24 240:4 240:16 241:1,20 242:2 243:4 244:6 245:2,12 246:12,19 247:1,14,24 248:13,23 249:2,13 250:6 250:20 251:1,8,14,19 252:4,11,20,25 253:12 253:22 254:1,7,14,18 255:6,12 256:1,13,20 257:7,16 258:1,12,18 259:6,16,25 260:12,16 261:2 278:1 281:14,19 281:23 282:15,15,22 283:13 285:2,15,15 286:6 286:8,9,24 287:1,8 288:4 288:21,24 290:14 291:2 291:3,5,8 294:9 295:4</p>	<p>295:21 296:13 299:14,15 302:16 318:12 335:14 338:10,16 339:3 340:1,6 340:9,10 371:10 <b>multi-disciplinary</b> [1] 337:12 <b>multi-modality</b> [2] 236:18,24 <b>multidisciplinary</b> [4] 24:3 361:23 364:8 365:3 <b>multiple</b> [1] 147:10 <b>must</b> [12] 28:12 72:5,13 88:8 89:15,16 159:11 160:6 166:4,8,10 278:19</p> <hr/> <p style="text-align: center;"><b>-N-</b></p> <p><b>name</b> [33] 17:14,15 20:10 20:16,18,23 21:2,7,23 21:23 120:20,21,25 121:5 121:7,16,17 122:2 125:22 134:22 135:6 194:21 217:24 225:9,11,17,19 254:22 262:3 274:15 300:5 302:24 368:12 <b>named</b> [2] 120:4 200:3 <b>names</b> [11] 32:5 33:25 52:22 59:16 99:21 120:1 120:2,17,17 121:11 263:20 <b>Nancy</b> [3] 90:4,6 299:23 <b>nanomoles</b> [1] 374:22 <b>narrowed</b> [2] 350:2,9 <b>national</b> [9] 305:2 307:11,21 313:2,2,6 317:24 325:6,9 <b>nationally</b> [1] 317:15 <b>nature</b> [2] 250:8,10 <b>NCTRF</b> [8] 305:12 318:4 319:21 341:19,25 342:8 346:3,10 <b>near</b> [2] 94:3 218:13 <b>necessarily</b> [5] 66:21 112:20 311:23 328:3 363:4 <b>necessary</b> [5] 238:2,4 282:14 288:3 370:18 <b>neck</b> [1] 307:6 <b>need</b> [31] 13:6 39:12 40:22 51:18 52:6 66:6 69:13,17 70:9,21 76:6 112:18 113:10 126:12 128:15 151:17 216:2 237:18 257:5 258:10,15 297:11,12,16 298:6 305:19 327:22 332:11 355:14 362:7 367:6 <b>needed</b> [11] 110:10 113:21 130:12 141:2 164:1 167:23 210:11 241:16 352:22 366:24 369:10 <b>needle</b> [2] 170:13 186:15 <b>needs</b> [3] 139:15 157:6 315:14 <b>negative</b> [78] 6:12 34:17 100:2 101:6 102:5,10</p>	<p>104:25 105:14 107:22 114:5 118:20 124:3 136:1 136:15,25 137:6,12 138:8 138:10 142:24 145:25 146:10,15 152:9 154:5 154:25 161:12,14 165:24 166:2 167:20 168:1,1 170:14,17 172:15,25 180:3,6 181:2,3,8,9,10 181:14,18,21,21 182:2,3 182:11,11,18,19 184:15 184:17 186:16,18,20 193:15 195:15 245:19 275:25 276:4 277:4,21 278:2,4 279:12,16 280:5 280:14,15 293:21 372:19 373:7 374:12,18 <b>negativity</b> [1] 146:24 <b>Neither</b> [1] 90:1 <b>neoplastic</b> [1] 137:3 <b>neuropathy</b> [2] 196:20 198:19 <b>never</b> [26] 23:22 75:2 89:4,9 142:18 145:14 148:16 149:3,20,20 180:7 181:9 182:2,17 205:10 205:11,18 206:5,8 240:10 240:14 271:9 274:19 278:13 298:25 351:12 <b>new</b> [34] 16:7 25:9 69:3 69:11 124:13 185:12 199:21 239:10 240:21 257:20,21 259:17,19 294:7 297:7,10,17 303:4 303:18 320:9 326:4,11 329:11,18,19 331:3 340:18 344:19 349:9 352:23,25 366:2 367:1 375:11 <b>Newbury</b> [118] 1:15 2:5 215:22,23 216:3 217:19 217:20,22,23,25 218:5 218:16,24 219:8,19,23 220:3,7,17,23 221:6,13 221:23 222:2,11,19 223:1 223:12,17,24 224:12 225:1,20,25 226:11,15 226:25 227:15 228:1,14 228:22 229:4,18 230:5 230:12,16 231:15 232:9 232:18,23 233:5,10,24 234:4,17,25 235:8,16,21 236:13 237:1,7,25 238:16 239:2,7,15,19,24 240:4 240:16 241:1,20 242:2 243:4 244:6 245:2,12 246:12,19 247:1,14,24 248:13,23 249:2,13 250:6 250:20 251:1,8,14,19 252:4,11,20,25 253:12 253:22 254:1,7,14,18 255:6,12 256:1,13,20 257:7,16 258:1,12,18 259:6,25 260:12,16 285:15 <b>Newfoundland</b> [20] 85:3,24 89:23 218:1 298:22 304:18 305:6,8 310:18 312:10 314:24 315:11 321:4 353:9 359:25 362:1 364:15</p>
--	--	---	--	--

<p>373:16 376:8,11  <b>Newfoundlander</b> [1] 298:24  <b>news</b> [4] 75:13 165:6 190:23,24  <b>next</b> [36] 30:8 52:7 62:10 62:23 63:4 69:9 95:2,14 95:22 98:8,20,25 104:14 118:15 129:8 164:23 187:13 190:20 205:24 207:1 209:25 220:10 222:5 229:1 288:23 289:1 302:9,18 317:24 318:13 343:9,13 344:8,20 352:3 371:11  <b>nice</b> [1] 86:24  <b>night</b> [2] 55:1,1  <b>nine</b> [9] 146:8 150:5 193:14 206:22 243:24 277:20 278:11 293:19 365:9  <b>NL</b> [3] 1:8,14,15  <b>nobody</b> [2] 43:18 74:24  <b>node</b> [3] 146:21 246:23 284:19  <b>nodes</b> [2] 194:19 195:3  <b>non-infiltrating</b> [1] 282:2  <b>non-small</b> [1] 16:19  <b>none</b> [6] 8:15 38:22 47:6 47:13 53:11 74:1  <b>normal</b> [3] 64:24 211:6 257:1  <b>normally</b> [4] 6:13 60:12 88:20 212:17  <b>note</b> [98] 37:8 48:2 56:25 56:25 57:19,20,21 58:10 58:20 59:2,5,6,15,20 60:20 63:1 65:14,17,19 65:21 91:23 107:12 114:18,22 126:8,22 129:10,18 130:4,12 131:19,22 133:5,10,15 137:22,25,25 138:9,13 139:8 149:6,7 150:15,16 153:18,25 155:16 157:19 159:1 161:1,21 168:10 172:24 173:21 174:1 175:19 177:15 178:22 179:8,22 180:1,13,16,17 180:22 181:7,20 182:25 183:1,4 184:18,25 185:8 185:19,21 187:21 190:20 190:21,21 194:14,17 196:9,24 197:10 200:4,6 200:21,22 204:9,10 206:18,20 207:4 262:1 282:25,25 287:4  <b>noted</b> [2] 16:22 129:10  <b>notes</b> [19] 71:14 129:6 130:19 132:16,19 133:18 152:13,14 162:23 168:22 185:17 186:13 188:5 200:2,9,11,13 238:14 249:4  <b>nothing</b> [3] 96:7 229:19 242:8  <b>notice</b> [1] 262:18</p>	<p><b>noticing</b> [1] 155:3  <b>notified</b> [2] 72:18 212:1  <b>notify</b> [3] 164:12 228:17 233:13  <b>notion</b> [2] 152:21 289:6  <b>Nova</b> [1] 351:3  <b>November</b> [30] 3:1 85:10 99:23 100:8 139:6 147:22 148:9 150:19 151:21 173:16,25 174:10 175:5,7,22,22 176:6,19 184:18 185:23 186:10 190:10 193:2,17 259:24 260:9 286:5 287:3 288:8 288:12  <b>now</b> [90] 13:2 14:12 23:12 27:22,23 35:13,19,19 36:1 40:14 53:15 61:13 73:6 75:1 76:14 80:10 107:4 110:3 115:3 124:8 126:11 127:18 129:24 136:15 139:25 143:14 144:15,18 146:23 154:1 159:7 165:16 172:16 173:2 177:2 181:22 185:23,23 186:3,9 188:22 191:23 195:12 205:12 230:19 232:16 235:20 248:10 257:14 259:7 260:9 264:5,23 272:7 273:22 286:24 292:25 295:19 296:8,13 311:19 311:25 315:6 316:9 319:17,24 323:3 324:19 324:21,25 325:25 327:25 331:10 334:21 336:25 338:18 343:2,3 350:22 350:24 352:24 355:21 361:25 363:8 364:14 366:3 368:12 370:20 371:6 374:14  <b>nuclear</b> [3] 137:4 284:16 284:17  <b>number</b> [37] 4:23 9:6 28:13 32:7,10 45:19 52:23 89:25 99:17 106:5 111:4 120:22 195:24 198:3 203:16 204:16 244:1 246:18 286:25 290:3 293:4 295:19 297:18 303:4 307:16 323:20,23 325:7 343:20 352:1,8,23,25 353:1 360:12 372:17 374:20  <b>numbers</b> [6] 32:5 70:8 70:24 204:13 283:6 355:20  <b>numbness</b> [1] 195:23  <b>nurse</b> [12] 186:4 190:15 193:4 194:19 200:3,5 205:5 206:17,18 207:3 209:2,23  <b>nurses</b> [10] 26:21,25 37:18 96:21 200:2 202:6 253:8 297:13,14 337:8  <b>nursing</b> [1] 338:16</p>	<p><b>O'Reilly</b> [2] 364:25 368:7  <b>objections</b> [1] 296:2  <b>observations</b> [1] 296:11  <b>observe</b> [1] 236:8  <b>obstacles</b> [1] 237:13  <b>obstetrics</b> [1] 322:25  <b>Obvious</b> [1] 278:9  <b>obviously</b> [7] 17:9 129:22 155:14 242:8 262:7 348:20 362:19  <b>occasion</b> [16] 24:2 35:5 93:18 118:8 143:14 186:10 191:5,15,22,24 210:25 241:4 287:2,5,7 291:21  <b>occasionally</b> [1] 58:22  <b>occasions</b> [14] 23:15 45:25 53:6,21 54:2,5 59:5 111:11 209:6 213:17 287:1 288:8,10,15  <b>occur</b> [3] 102:14 289:9,9  <b>occurred</b> [8] 123:17 175:21 266:4 285:18 291:6,21 361:24 364:13  <b>occurring</b> [2] 361:25 364:15  <b>October</b> [21] 28:15,19 137:8 138:13,24 154:7 159:5 162:21 165:19 170:1,2 181:23 191:19 198:18 200:6,14 287:11 287:12 290:7 305:13 366:4  <b>off</b> [12] 13:15,15 40:3 89:4,9 129:14 131:9 132:11 133:12 199:2 245:6 276:22  <b>offer</b> [12] 6:17 66:18 189:17 205:7 251:20 253:1,18 279:7 281:4 287:15 359:6,22  <b>offered</b> [35] 6:14,20 65:5 81:5 85:14 91:8 96:11 96:12 111:24 141:10 142:25 147:20 153:12 170:5 172:14 173:8,15 195:12 198:7,11,13 207:8 244:20,20 246:4,24 259:23 275:8,14 277:22 286:15 293:22 294:25 354:22 362:5  <b>office</b> [14] 26:13 30:8 52:6 64:10 74:9 83:18 87:19 89:12,18 114:20 115:3,14 356:13 358:7  <b>officer</b> [1] 335:22  <b>offices</b> [2] 29:8 30:15  <b>official</b> [3] 77:15,19 253:18  <b>officially</b> [2] 43:19,24  <b>offs</b> [1] 276:25  <b>often</b> [5] 123:6 193:9 308:1 352:14 362:24  <b>old</b> [9] 44:11 149:1 246:22 318:4 342:8 373:22,24 374:1 375:3</p>	<p><b>older</b> [1] 372:7  <b>oldest</b> [2] 310:23 347:2  <b>olds</b> [1] 352:8  <b>once</b> [33] 12:9 34:5 45:12 96:18 123:8 133:17 140:21 142:8 163:5,7,9 175:8 178:5 206:23,23 208:24 222:14,17,20 231:16 233:15 255:5 257:13,15,20 290:3 320:2 328:17 347:15,23 365:22 365:23 373:5  <b>oncologist</b> [65] 10:24 16:25 17:9 18:1,8,16 19:24 21:3,3 23:20 44:19 46:1 51:12,25 52:10 68:4 68:9 73:10 84:8,13 85:7 85:21 86:1 93:13,21 94:2 94:10 95:2 98:21 140:5 140:17,21 141:3,11,16 141:25 142:12 158:10 162:9 163:1,17 168:5 222:9,15 223:5 264:6,11 270:5 271:1,15 275:10 297:25 305:7,9 320:3,3 327:7 331:4 343:25 344:19 346:4 353:2 355:25 368:10 374:17  <b>oncologists</b> [68] 29:14 29:15 30:22 31:21 39:1 45:7 78:24 93:25 95:11 98:10 109:2,9 114:18 162:18 207:7,9 236:9 269:25 271:2 272:22 297:16,20 298:5 301:19 307:4 308:15,17,24 316:12 319:16 320:7,7 321:16,17 322:22 325:20 328:18 330:16 331:6 333:7 342:22 343:4 344:2 344:18 345:5,22 346:2,9 349:6 350:17 351:13,22 352:2,6,10,22 353:8,24 354:11 356:19 357:9,22 359:10,10,17 365:10,11 369:2  <b>oncology</b> [57] 19:16 82:6 139:7,18 140:1,8,8 144:16 162:20 180:2 256:10 297:13,15 305:1 305:12,24 306:12 307:24 308:8,18 323:17,18 324:9 324:23 327:12 328:13,15 329:1 333:8,10,14 334:6 334:19 336:14 338:12,13 339:8 340:15 342:2 344:17 348:8 349:1,14 349:22 352:4,15 355:16 355:17,18,20,21 361:5 361:15 362:10 363:19 364:21,23  <b>one</b> [234] 6:11 7:17 8:14 8:15 9:2 14:18,19 19:5 19:12,18 21:22,24 22:12 24:6,6,8,10,22 25:17 28:4 29:21 30:5 31:3,6 31:25 32:8 37:6 39:6 42:22,23,23 46:1 47:18 47:20,23 51:12,19 52:2 53:12 54:3,25 60:10 65:2 65:10 68:10,11 71:10</p>	<p>73:5 78:7 81:15,16 88:13 88:13 92:25 96:5,8,23 99:23 100:14,17,20,21 100:22,23 101:23 102:21 103:13 106:6 107:5 109:6 109:17 110:6 111:16,17 111:18,22 113:3 114:17 115:25 116:5 124:2 125:2 126:3,9 129:22,23 132:7 133:4 142:7,21 146:20 147:24 148:21,25 150:24 151:1,1 152:16,18 155:18 155:25 158:22,23 162:8 163:18,19 165:12 167:16 168:18 170:24,25 181:18 181:19,20 185:16 188:6 191:4,15,19,22,24 192:2 192:4 193:1,19 199:8 201:9 205:18 213:10 222:17,20,21 223:16,21 223:22 224:10,17,19,20 225:15 226:9,16 228:11 228:12 229:3,17 235:11 236:8 239:10,22 241:3 242:6,23 247:19 250:16 252:15 255:19,20 256:7 256:8 258:9,15,16 259:4 265:16 266:5,11,18 268:15,17,20 272:12 273:25 274:15 275:23 276:1,7,15 277:18 278:15 279:6,23,25 280:17,17 280:20 281:3 282:8 283:23 289:1 291:13,13 291:14 293:7 294:16,23 295:13,17 298:1,1,25 299:2,18 307:3 310:22 311:15,15,18,19,20 312:5 315:17 317:5 319:1,4 320:13 324:6,18 328:20 329:3 331:5 338:16 346:7 349:17 354:7,8,12 357:22 358:10 363:3 365:5 368:14 369:1,13  <b>one-eighth</b> [1] 315:22  <b>one-hour</b> [1] 248:20  <b>one-time</b> [1] 317:4  <b>ones</b> [9] 44:11,11 110:6 213:8 223:18 269:15 284:11 294:16 351:3  <b>ongoing</b> [1] 187:10  <b>online</b> [1] 324:21  <b>Ontario</b> [5] 42:16 351:2 351:2 356:2 358:18  <b>onto</b> [1] 58:10  <b>onus</b> [2] 17:24 18:15  <b>onward</b> [1] 82:16  <b>onwards</b> [6] 34:25 68:16 163:16 178:19 305:22 363:24  <b>opened</b> [1] 311:18  <b>operate</b> [2] 10:12 345:14  <b>operating</b> [2] 335:22 336:12  <b>opinion</b> [8] 109:2,9 110:2 126:11 127:20 128:15 296:25 342:13  <b>opportunities</b> [1] 307:17</p>
---	---	--	---	---

-O-

<p><b>opportunity</b> [6] 96:12 205:7 240:5 296:15,24 357:9</p> <p><b>opposed</b> [12] 22:16 49:25 51:15 52:21 100:15 109:13 119:15 129:24 140:15 167:4 188:22 282:9</p> <p><b>optimate</b> [1] 368:24</p> <p><b>option</b> [8] 198:22 236:23 241:5,8 307:9,12 359:8 359:17</p> <p><b>options</b> [9] 85:13 91:20 106:4 199:13 224:20 287:19,23 354:7,10</p> <p><b>oral</b> [3] 315:8,12 324:20</p> <p><b>orange</b> [1] 212:7</p> <p><b>order</b> [13] 72:4 88:25 89:4,8,9,15 96:17 201:16 260:25 355:13,23 358:19 369:3</p> <p><b>ordered</b> [1] 214:12</p> <p><b>ordering</b> [1] 214:9</p> <p><b>orders</b> [1] 72:3</p> <p><b>ordinary</b> [4] 208:17 209:13 210:9,17</p> <p><b>organization</b> [1] 310:11</p> <p><b>organized</b> [1] 98:17</p> <p><b>origin</b> [1] 113:7</p> <p><b>original</b> [15] 26:4 100:1 101:3 102:2 106:16 114:5 118:24 122:11,17 135:20 169:17,17 170:13 175:14 185:24</p> <p><b>originally</b> [7] 36:16 80:11 104:15 105:12 106:17 107:22 136:19</p> <p><b>osteoporosis</b> [1] 113:3</p> <p><b>otherwise</b> [13] 114:11 133:20 181:7 193:7 209:3 210:18 211:13,19 259:2 309:3 314:10 321:9 328:13</p> <p><b>ourselves</b> [5] 29:10 77:22 165:11,14 316:13</p> <p><b>outcome</b> [3] 184:11 243:19 314:1</p> <p><b>outcomes</b> [4] 311:4 313:6 316:23 317:6</p> <p><b>outlined</b> [4] 83:8 84:19 142:25 143:4</p> <p><b>outlining</b> [1] 359:22</p> <p><b>outs</b> [1] 297:21</p> <p><b>outside</b> [9] 8:18,20 34:20 96:12 99:6 116:7 317:18 337:14 345:5</p> <p><b>overall</b> [3] 243:22,25 362:10</p> <p><b>overlap</b> [1] 104:11</p> <p><b>overlooked</b> [2] 87:3 300:15</p> <p><b>oversight</b> [1] 107:7</p> <p><b>own</b> [34] 11:4 19:2 33:8 36:10,12 53:2 74:3 75:21 85:6 95:4 105:22 108:4</p>	<p>143:16 145:19 147:7,13 173:20 207:3 215:5 218:9 219:10,11 220:4 244:2 256:14 274:24,25 275:3 278:6 300:13 311:12,13 311:14 323:15</p> <hr/> <p style="text-align: center;"><b>-P-</b></p> <hr/> <p><b>P</b> [4] 8:22 91:13 186:22 246:5</p> <p><b>P-0113</b> [1] 261:24</p> <p><b>P-0500</b> [1] 32:2</p> <p><b>P-1286</b> [1] 360:9</p> <p><b>P-1575</b> [1] 11:8</p> <p><b>P-1909</b> [1] 15:24</p> <p><b>P-2543</b> [3] 3:5 303:7 304:3</p> <p><b>P-2545</b> [2] 99:16 242:5</p> <p><b>P-2546</b> [1] 86:6</p> <p><b>P-2550</b> [4] 3:6 303:7 304:4 305:18</p> <p><b>P-2559</b> [3] 3:6 303:7 304:4</p> <p><b>P-2566</b> [2] 3:7 303:8</p> <p><b>P-2587</b> [2] 3:7 303:8</p> <p><b>P-2610</b> [3] 3:8 303:9 304:5</p> <p><b>pace</b> [2] 297:18 362:9</p> <p><b>package</b> [10] 348:12,22 348:25 350:21 352:18 354:21,22 357:17 358:13 360:5</p> <p><b>packages</b> [2] 297:22 358:14</p> <p><b>page</b> [29] 3:1 8:23 16:7 61:19 107:19 114:1 118:15,15 126:10 202:19 203:14,16 211:10 242:6 245:13 261:25 262:12 264:5,24 265:4,12 266:5 266:12,12 267:18,19,19 273:13 360:24</p> <p><b>pages</b> [2] 167:16 248:22</p> <p><b>paid</b> [2] 326:21 359:12</p> <p><b>pains</b> [1] 341:1</p> <p><b>Pakistan</b> [2] 331:16 346:17</p> <p><b>palpable</b> [2] 194:19 195:3</p> <p><b>pancreatic</b> [1] 298:13</p> <p><b>panel</b> [91] 39:7,16 44:2,3 44:4,8,8,19 45:7 46:2,7 46:12,16,19 47:9,22,22 49:3,3 51:11 52:13 53:3 53:4,23 54:5 55:9 60:8 60:10,14 62:21,21 64:3 64:3 68:20 73:2 79:21 79:22 82:20 83:7 84:16 84:23 91:25,25 99:18 100:8 105:18 109:19 110:1,23 113:6 114:9,10 117:21 118:17 120:12 170:7 172:13,17 176:15 182:24 183:2,15 184:22 189:8,14 214:18,19 218:6 219:16 220:14 223:7,9</p>	<p>224:1 225:3 227:17 231:17,20 232:25 233:15 234:7 235:23 237:9,15 238:2 242:5,16 251:7 254:11 260:3 285:19 295:20</p> <p><b>panel's</b> [5] 107:14,25 218:11 219:13 226:4</p> <p><b>panelled</b> [5] 47:3 54:12 55:11 82:18 108:17</p> <p><b>panelling</b> [8] 51:4,14 52:9 53:9,19 56:8 61:9 61:24</p> <p><b>PAP</b> [1] 151:17</p> <p><b>paper</b> [8] 24:22,23 97:18 167:2,5 212:6,7,18</p> <p><b>papers</b> [3] 35:22 166:21 291:7</p> <p><b>paragraph</b> [7] 121:19 126:23 127:2 170:12 197:12 266:13,14</p> <p><b>paragraphs</b> [1] 121:18</p> <p><b>Parai</b> [1] 11:12</p> <p><b>parameters</b> [1] 44:13</p> <p><b>park</b> [1] 216:2</p> <p><b>Parsons</b> [3] 90:4,6 299:23</p> <p><b>part</b> [34] 26:2,3,20 28:15 28:15,18 32:18 33:18 45:15 46:16 52:13 55:2 75:17 78:19,25 98:1 201:15 208:14 246:3 251:6 254:17 255:16 257:12 336:20 338:22,23 338:25 341:14 342:16 345:8,10 351:6 363:19 364:25</p> <p><b>participate</b> [1] 320:6</p> <p><b>participation</b> [1] 369:18</p> <p><b>particular</b> [48] 17:2,19 30:12 51:1 72:8 78:13 78:20 96:17 97:6 99:23 108:11 110:1 115:23 118:18 137:24 141:2 152:11,25 167:17 193:19 194:17 195:25 199:25 201:4,18 208:11 225:5 226:16 227:1,25 234:8 235:10 236:7 241:16 242:8 243:14 253:11 258:9,10,15 279:25 280:7 291:21 306:8 307:13 323:18 369:22 370:16</p> <p><b>particularly</b> [2] 308:4 351:17</p> <p><b>Partnership</b> [1] 317:16</p> <p><b>parts</b> [1] 336:12</p> <p><b>pass</b> [1] 90:14</p> <p><b>passed</b> [2] 112:24 308:10</p> <p><b>passing</b> [1] 301:14</p> <p><b>past</b> [3] 31:12 185:24 354:4</p> <p><b>Pat</b> [2] 91:15 340:1</p> <p><b>path</b> [1] 180:5</p> <p><b>pathological</b> [2] 16:1 361:21</p>	<p><b>pathologies</b> [2] 186:8 186:11</p> <p><b>pathologist</b> [17] 16:15 16:25 17:5 19:6 20:1,5 23:16 46:7 52:10 75:15 76:4,7 102:23 263:16 270:18 272:4 363:3</p> <p><b>pathologist's</b> [1] 356:7</p> <p><b>pathologists</b> [29] 9:4 24:14 46:14 263:6,8,10 263:13 264:2 265:6 270:4 270:10,13 273:23 274:14 316:11 350:16 351:14 357:10 359:7,11,15 361:10 362:2,5,8,18 363:13,15 365:12</p> <p><b>pathology</b> [60] 8:7 10:19 11:10 16:9,12,14 17:13 17:24 18:6,17 19:1 20:18 20:24 23:2 24:19 26:4 47:19 60:6,9,17 61:4,24 62:2,20 68:17 76:2,3,12 79:6 84:22 106:24,25 123:21 134:15 135:5,16 135:19,20 136:21 156:19 156:22 160:17 181:23 183:23 184:23 186:2 187:12 198:2,3 244:17 244:17,22 255:1 262:1 311:14 314:2 361:17 362:16 374:4,10</p> <p><b>patient</b> [278] 5:19 6:1,11 6:13 8:20 10:9 11:6 12:21 13:1,8,10 16:17 16:18 17:7,18,21 18:2,7 18:24 19:17,17 24:8 25:9 25:15 26:13,22 27:6 33:11 34:24,25 35:5,14 35:19 37:4,6 40:21 44:24 45:21 47:21 48:10,13,15 48:18 50:1 51:3,14 53:8 56:12 61:25 62:1,6,16 62:19,22 63:2 64:2,4,5,7 64:11 65:3 67:19 68:15 72:4,7,12,12,13,14 75:7 75:12 82:1,10,23 84:17 86:23 87:3,5,5 89:1,16 89:22 90:19,24,25 91:1 91:2 93:1,6,11,12 94:2 94:11 95:4,5 96:5,8,23 98:2,4,7 99:24 100:7 102:13 104:5,20 105:4,5 105:24 106:21 107:9,25 108:8,9,11 109:3 110:10 110:15 111:1,4,12,19 112:3,8,19 113:11 114:3 114:8,17,20 115:3,23 116:1,14,25 118:18 119:4 119:9 120:2,15 122:21 124:2,9 129:8 130:21 134:6 138:5 140:6,15,16 140:20,22 141:3,6,11,14 142:1,11 146:10 147:15 147:20 148:16 153:3 154:8,18 164:7 170:10 176:17 185:18 201:12 205:11,19,21,23 206:2 206:13 207:4,13 208:23 209:8,9 210:10 212:22 214:11,15 215:7 218:8 218:10,13,14,17 221:5,9 221:9 222:3,13,25 225:5</p>	<p>226:9,16 227:25 228:9 228:17 229:13 230:20 231:10 232:12,21 235:4 235:9 236:4,21 237:5 238:7,10 240:14,20 241:12,16 242:7,13,14 242:19 243:14,16 244:3 244:10,12 245:4,5,10,15 245:24 246:4,22 247:3 247:17,18,25 248:5,7,7 248:15,21 249:10,11 251:12 253:6,11 258:9 258:15 259:8 266:16 267:21 268:9 269:22 270:5,11 271:6 272:25 278:1 279:11,15,25 284:23 286:8 288:20 289:7 290:5 292:22 293:22 294:17 295:10,13 298:9 363:3,5 367:1</p> <p><b>patient's</b> [25] 16:20 30:2 48:15 51:24 52:5 53:7 94:25 100:9 111:3 114:23 116:15 119:5,8 120:3,21 122:25 129:15 132:12,20 141:8 155:3,3 197:2 201:6 245:21</p> <p><b>patients</b> [245] 6:3 7:2 8:17 18:25 23:3 25:13 25:16,16 26:11,18 27:9 28:14 31:12,16 32:11 33:3,7,20 34:7,16,19 35:8 36:7,15,19 37:12 38:20 39:13 40:6 41:3,8 41:10 46:21 47:3,9 52:15 52:16,20,22,24 53:2 54:12,19 55:3,10 57:5 59:4 63:11,16,22 64:1 64:23 66:11 68:7,10 71:3 71:8,13,18 72:19,22 73:11 74:17,19 75:9,22 81:13 93:20,24 94:7,8 95:12,20 96:11 97:2,5 97:17,23 98:11,14,18,19 98:24 99:6,21 106:2,3 108:23 109:1,7,24 110:22 111:24 116:1 133:11 140:4,12,25 142:7 144:13 144:14 146:8,14 148:10 150:6,9 152:15 156:8 162:16 163:8 164:6,12 165:10,12 185:12 193:14 201:5,19 208:17 210:7 210:15 211:2 213:14,20 213:23 219:4 220:8,25 221:2 223:2,7,25 226:2 226:7 227:4,17 228:13 229:5,21 230:7,24 231:3 231:7,14,16,18,22 232:24 233:13,18,20,22 234:6,9 234:19 238:20 239:5,10 239:23 240:6 241:2,6,22 244:15 247:23 248:9,10 249:16,21 250:7,17,21 251:10,20 252:13,22 253:3,14,21 254:3,10,21 255:9,16,23 256:5,23 257:25 258:4,7,10,23 271:12 272:9 273:8 277:20 278:11 284:2 286:21 292:7,15,16 293:1 293:3,5,8,13,14,19,20</p>
---	--	--	---	--

294:4 297:9,19 298:16 299:8,20 300:5,9,14 309:9 312:6 314:1 316:5 317:3 319:9 329:11,12 329:17,19 330:1 335:25 336:3,6 337:17,23 352:24 352:25 353:1 355:14 366:18,19 367:4 374:16 374:25 375:11	64:9 87:14,16,24 89:1,3 89:13,18 95:11,14,20 96:21 97:3,8,11 98:3,7 98:19,25 116:2,3 213:16 229:2 320:8 329:15 345:13 <b>permanent</b> [3] 292:21 305:13 334:11 <b>permanently</b> [2] 331:14 334:13 <b>permitted</b> [1] 141:12 <b>persists</b> [4] 126:12 127:21,21 128:15 <b>person</b> [33] 7:9,10 18:12 81:20 92:14,18,21,24 93:4 95:14 102:12 104:14 105:11,21 107:21 108:4 108:12,17 109:12 115:13 120:4 121:24 122:9 130:5 158:9 229:8 272:7 273:24 274:8 321:1 346:15 358:25 367:5 <b>person's</b> [1] 62:9 <b>personal</b> [2] 74:3 226:14 <b>personalities</b> [1] 348:2 <b>personally</b> [5] 63:12,15 64:18 226:9 228:2 <b>perspective</b> [2] 179:15 302:2 <b>pertaining</b> [2] 197:16 308:4 <b>pertains</b> [1] 136:23 <b>pertinent</b> [1] 9:25 <b>Peter</b> [3] 1:9 2:7 281:10 <b>Pg</b> [5] 3:3,4,5,7,8 <b>Pgs</b> [7] 2:3,4,5,6,7,8,10 <b>pharmaceutical</b> [1] 308:9 <b>pharmacists</b> [2] 297:13 297:14 <b>pharmacy</b> [5] 316:1,2 338:18,20 357:17 <b>phase</b> [3] 142:8 305:4 307:20 <b>phone</b> [20] 65:7,12 66:3 66:12,13,21 69:4 71:1 71:10,11,15 73:22 74:9 86:25 96:1 107:12 111:10 162:1 164:2,2 <b>phoned</b> [1] 110:25 <b>phonetic</b> [1] 263:10 <b>phoning</b> [1] 66:2 <b>photocopied</b> [1] 201:17 <b>photocopy</b> [1] 292:11 <b>physical</b> [1] 298:8 <b>physically</b> [1] 167:4 <b>physician</b> [83] 16:25 17:2 19:25 21:5,8 37:7,9 39:6,15 44:1 47:2 48:15 49:3 51:17 57:16 58:21 59:3,7,10 64:6 65:23,25 68:14,17,19 72:10 73:2 79:21 82:14,21 83:7,8 83:12 84:1,3,14,18,21 84:23 85:5 90:10 91:2,3 92:7 93:17 100:7 107:24	109:25 111:18,23,25 112:5 114:15 115:21 120:12 127:8 133:3,3 139:13,18 140:1 160:23 223:19,22 224:17 225:4 225:22 226:24 227:11 228:11 232:8 233:9 237:23 248:8,8 295:20 320:22 335:11,13 342:15 343:22 349:8 360:5 <b>physician's</b> [1] 359:13 <b>physicians</b> [36] 45:1 54:19,25 56:23 58:1,6 72:23 75:11 131:1,2,7 131:20 139:21,25 224:24 227:13 238:15 229:11 233:1 235:12 297:14 320:20 321:16,20,22 323:11 337:6 341:24 343:20 347:19 348:23 355:19,22 358:15,23 362:23 <b>physicist</b> [1] 338:23 <b>pick</b> [2] 108:19 164:1 <b>picked</b> [7] 120:20 121:6 122:2,3,4 257:10,19 <b>picomoles</b> [1] 374:22 <b>picture</b> [1] 82:17 <b>pictures</b> [1] 291:16 <b>piece</b> [4] 167:2,4 212:18 215:13 <b>Pike</b> [3] 1:14 216:10,11 <b>pile</b> [1] 166:21 <b>Pilgrim</b> [3] 91:15 340:2 340:10 <b>pill</b> [1] 257:21 <b>pipeline</b> [4] 36:22 214:1 214:11,16 <b>place</b> [25] 12:2 20:6 22:3 27:25 39:9 40:8 42:5,7 110:24 111:14 112:6 117:10,22 121:8 132:10 140:12 164:12 212:16 229:21 230:2,21,22 232:1 249:6 347:20 <b>placed</b> [8] 25:1 102:13 116:15 119:10 159:16 160:7,8 197:1 <b>places</b> [1] 42:23 <b>placing</b> [3] 219:13 288:20 289:1 <b>plan</b> [23] 105:19 127:12 127:14 130:16 132:15 138:6,15 140:5,22 142:10 150:23 197:14,24 198:1 198:19 345:8,10 353:3,8 353:15,24 355:12 358:24 <b>planning</b> [8] 315:20 337:3,4 339:10 344:6 351:24 353:3 366:1 <b>play</b> [1] 360:3 <b>plural</b> [1] 188:13 <b>plus</b> [3] 25:15 188:17 271:23 <b>point</b> [61] 5:4,10 10:17 11:5 15:21 20:22 33:19 81:3 85:1,14 90:22 106:1	107:2 115:5 126:1,9 129:7 134:5 137:23 138:22,24 148:20 149:5 150:21 153:11 154:14,25 156:3 164:1 178:22,24 182:1 187:19 191:25 192:13,24 195:7,9,11,21 195:22 196:15 198:25 199:3 223:4 230:15 246:25 249:3 262:25 266:1 269:21 280:9 296:11 304:17 318:24 346:7 347:22 349:15 361:6 373:1,1 <b>pointed</b> [4] 9:6 145:5 146:1 241:17 <b>pointing</b> [1] 173:1 <b>points</b> [5] 125:2 184:2 208:9 216:17 358:12 <b>policy</b> [9] 7:1 20:6,9 22:3 22:15 132:9 140:12 142:13 348:15 <b>pool</b> [1] 344:2 <b>poorly</b> [1] 284:17 <b>pop</b> [1] 52:6 <b>portion</b> [5] 196:5 202:15 203:22 205:8 282:14 <b>position</b> [9] 113:10 305:12,13,14 322:5,11 322:14 333:21 344:1 <b>positions</b> [2] 344:10 346:2 <b>positive</b> [108] 4:15,22 5:2 6:13,19,19 7:8,9 100:5 101:6 102:5,10 103:15 104:18,19 105:1,16,17 110:4 119:2 122:16 136:2 136:14,19 137:2,3,5,7 138:9,19,25 142:24 143:6 145:2 146:11,16,19,22 152:17,19,23 153:5,6 154:5 159:7 161:14 166:6 167:21 169:23 170:15 172:16 173:3 180:8 181:10,13,15,18 182:18 183:6 186:1,17,21,22,25 188:1,2,4,7,9,10,14,14 188:16,17,22 191:21 193:15 198:5,6 245:17 275:25 276:15 277:18,22 278:2,10,15,18 279:7,12 279:15 280:5,8,9,13,14 280:17,19,21 281:4 288:6 288:10 293:21 372:20 373:7,24 374:12,18 <b>positivity</b> [20] 4:12,12 4:25 5:1 6:8,8 7:7,10 44:15 104:22 105:9,11 105:25 124:5 146:24 147:5,6 285:5,9 373:2 <b>possibilities</b> [4] 100:17 104:3 224:16 313:20 <b>possibility</b> [6] 87:2 100:20 108:1,15 109:20 177:12 <b>possible</b> [20] 30:4 59:22 60:2 67:1 69:1 70:7 88:11 101:11,15 103:2 135:15 157:5 170:10	176:9,17 180:24 203:9 233:4,8 243:19 <b>possibly</b> [2] 70:10 86:22 <b>post</b> [3] 322:23 325:24 370:22 <b>potential</b> [1] 187:17 <b>Power</b> [1] 338:16 <b>PowerPoint</b> [3] 303:22 358:4 371:19 <b>PR</b> [94] 4:12,14,25 5:1 6:8,12,19 11:17 12:3 13:11 14:11 104:16 107:22 114:6 118:20,25 119:2 122:12,18 136:1 136:11,19 137:1,4,7,12 138:9,19,25 142:24 146:10,15,24 147:5 154:5 159:7 161:11,14 166:1,6 167:21,21 170:15,16 180:8 181:9,10,12,14,18 181:21 182:2,3,3,11,17 182:18,19 184:15,17 186:16,21,23 188:4,4,7 188:8,16 193:15 198:6 245:17 246:7 262:20 275:25 276:4,11,20,22 277:3,21 278:2,9,19 279:12,16 280:5,14,14 285:4,9 288:10 293:21 372:3,21 <b>practical</b> [2] 6:16 146:18 <b>practice</b> [49] 5:14 21:16 25:6 26:11,14 34:4 37:5 58:9 59:1 60:13 64:22 64:25 99:11 116:12 117:22 131:18 135:12 138:1 140:7 144:9 160:4 162:6 196:18,24 209:13 210:10,24 233:19,23 236:4 249:20 277:4,9,14 296:9 309:4 320:20 321:15 328:1 329:13,20 329:25 330:14 331:17 332:8,9 333:4 346:17 374:24 <b>practise</b> [2] 99:5 347:21 <b>practising</b> [3] 10:24 305:10 308:15 <b>practitioner</b> [1] 92:18 <b>pre-existing</b> [1] 91:22 <b>precious</b> [1] 297:15 <b>precise</b> [1] 293:2 <b>Predham</b> [3] 90:8,12 91:15 <b>predictive</b> [2] 284:22 363:10 <b>predictor</b> [1] 5:23 <b>prefer</b> [1] 354:20 <b>pregnancies</b> [1] 324:16 <b>preliminary</b> [1] 364:20 <b>Premier</b> [3] 357:10,15 357:23 <b>preparation</b> [2] 254:17 323:6 <b>prepared</b> [2] 351:7 359:6 <b>prescription</b> [4] 143:11
--	---	---	--	--

<p>143:25 151:15 315:15 <b>presence</b> [2] 186:4 194:18 <b>present</b> [8] 46:1 192:9 206:17 236:7 237:15 238:6 262:3 326:11 <b>presentation</b> [4] 303:22 326:3 358:4 371:19 <b>presentations</b> [1] 324:21 <b>presented</b> [5] 147:25 177:22 267:1 357:21,23 <b>presently</b> [1] 89:24 <b>presumably</b> [1] 119:10 <b>presume</b> [1] 211:2 <b>pretty</b> [7] 13:7 24:6 35:21 47:19 70:22 133:21 205:3 <b>prevailing</b> [1] 276:16 <b>prevention</b> [3] 317:9,14 317:17 <b>previous</b> [7] 136:12 137:11,14 193:1 286:7 341:18 348:7 <b>previously</b> [7] 9:9 56:22 108:25 154:12 161:13 166:6 286:18 <b>primaries</b> [3] 101:11,14 119:14 <b>primarily</b> [3] 93:5 227:11 242:15 <b>primary</b> [11] 92:15 100:18 102:16 103:3 117:3,16 225:2,22 242:23 335:23 375:2 <b>principally</b> [1] 274:12 <b>print</b> [2] 292:10,14 <b>printed</b> [1] 291:17 <b>printers</b> [1] 292:13 <b>priority</b> [4] 131:25 231:4 231:13 317:16 <b>Pritchard</b> [2] 207:19,20 <b>Pritchard/Jackie</b> [1] 1:8 <b>Pritchett</b> [3] 1:16 215:18 215:19 <b>privileges</b> [1] 321:4 <b>privy</b> [2] 266:2,7 <b>PRN</b> [1] 85:23 <b>pro-ASCO</b> [1] 325:23 <b>problem</b> [30] 11:16 14:11 15:15 75:4,5 77:7 78:3,3,16 84:10 88:8 120:19 149:3 207:11 252:3 262:24 268:1,19 268:19,22 269:13,15,17 270:21 272:19 274:1 290:2 302:3 345:21,24 <b>problems</b> [18] 75:8 76:1 76:21 77:13,13 78:10,12 249:19 250:22 251:3,16 253:17 267:23 269:6 273:7,10 341:23 342:6 <b>procedures</b> [1] 10:13 <b>proceeded</b> [1] 242:11</p>	<p><b>process</b> [20] 42:7 46:22 51:4,15 52:9 53:9 155:5 157:20 158:1 164:12 175:21 209:17 213:15 231:17 232:1,6 237:8,9 314:21 341:9 <b>professional</b> [2] 304:12 327:8 <b>professionals</b> [3] 297:12 325:5 337:9 <b>profile</b> [2] 143:1 257:24 <b>progesterone</b> [17] 11:15 100:5 104:19,22 105:1,7 105:9,14,17,25 122:14 122:20 136:2,13 169:18 169:21,23 <b>prognosis</b> [3] 282:2,11 363:7 <b>program</b> [43] 42:6 140:13 208:15 259:1 304:21 305:15 311:3,3,6 312:2 315:5,18 316:1,20 318:12 319:3,25 320:1 322:24,25 323:1,23 334:25 335:9,12,14,16 336:11 337:14 338:9,24 339:4 340:11,14,16,18 340:19,20 341:10,15 342:14,16 369:15 <b>programs</b> [4] 310:24 311:25 315:18 317:25 <b>progress</b> [28] 56:25 57:19,20,21 59:2,5,6,15 59:20 63:1 126:8 129:6 129:10 130:19 132:19 133:10 137:22 138:13 149:7 150:15,16 157:19 161:1 168:10,16 181:7 194:14 196:24 <b>progressed</b> [2] 199:11 238:11 <b>progresses</b> [2] 192:11 361:18 <b>progression</b> [6] 97:17 192:19 199:7,18,20 290:20 <b>project</b> [2] 308:3,13 <b>projects</b> [1] 324:5 <b>prolong</b> [2] 193:22 194:7 <b>promote</b> [1] 337:11 <b>promoting</b> [1] 337:18 <b>proper</b> [2] 246:13,15 <b>properly</b> [2] 113:11 130:6 <b>prostate</b> [1] 10:6 <b>Protective</b> [1] 327:11 <b>protein</b> [3] 136:10,11 137:13 <b>protocol</b> [1] 226:18 <b>provide</b> [2] 335:24 337:16 <b>provided</b> [7] 52:21 66:23 224:2 245:23 254:8 299:21 358:3 <b>provides</b> [1] 337:11 <b>providing</b> [1] 299:25</p>	<p><b>province</b> [18] 81:20,21 308:16 310:12 311:9 312:24 315:6 318:7 319:6 319:17 335:25 336:23 337:16 345:3 359:12 361:11 362:6 364:18 <b>provincial</b> [11] 310:24 311:2,5 316:14 319:3,4 336:1,21 337:24 369:5 369:14 <b>PRs</b> [1] 4:22 <b>Pub-med</b> [2] 332:22 333:1 <b>public</b> [1] 28:24 <b>publish</b> [1] 317:6 <b>published</b> [2] 148:2 370:20 <b>pulled</b> [1] 155:6 <b>pulling</b> [1] 155:2 <b>pulmonologist</b> [3] 126:13 127:22 128:16 <b>purpose</b> [6] 44:4 295:23 296:2 299:25 356:23 362:11 <b>purposes</b> [5] 6:17 146:18 262:22 276:6,10 <b>pursue</b> [1] 61:25 <b>put</b> [30] 4:21 20:6 21:2,4 30:17 33:24 37:13 40:16 45:2 46:22 89:15 90:7 110:23 111:14 112:6 116:14 117:13 133:4 159:1 196:3 205:24 207:3 213:19 229:20 271:24 279:14 294:6 314:4,21 332:17 <b>putting</b> [10] 10:17 13:12 13:17 36:20 39:4 159:25 179:14 211:15 237:5,13</p> <hr/> <p style="text-align: center;"><b>-Q-</b></p> <p><b>Q.C</b> [692] 1:6,7,13 2:3,6 2:8,10 4:1,5,10,16 5:3 5:12,17 6:10,18,23 7:6 7:14,18 8:3,21 9:13,18 9:23 10:23 11:7,24 13:13 13:20,24 14:3,9,20 15:1 15:6,12,23 16:6 18:4,14 18:23 19:21 20:4,12,17 20:21 21:9,14 22:1,8,13 22:20 23:14,24 24:12,17 24:25 25:4,21 26:8,24 27:4,14,21 28:5,16,23 29:5,12,25 30:6,18 31:1 31:10,15,19 32:1,20 33:1 33:12 34:3,12 35:3,11 35:23 36:2,8,13,25 37:10 37:21 38:2,6,12,16,23 39:8,17,22 40:4,11 41:5 41:18,22 42:3,11,17,25 43:7,12,21,25 44:17 45:5 45:17,24 46:5,10,17,25 47:7,15 48:5,9,16,21 49:1,7,12,18,24 50:6,11 50:18,25 51:7 52:3,19 53:5,16,20 54:1,9,23 55:6,14,21 56:1,17 57:4 57:9,14,22 58:3,8,15,25</p>	<p>59:11,18,23 60:3,23 61:11 62:8,14,25 63:7 63:20 64:13,17,21 65:11 65:16,20 66:1,15,19 67:2 67:10,17,23 69:23 70:13 70:25 71:16,22 72:16 73:7,15,19 74:2,7,23 75:18 76:19,25 77:5,11 77:17 78:1,9,14,22 79:7 79:14 80:4,8,19,25 81:10 81:19,24 86:5,15,21 87:9 88:4,15,19,24 89:20 91:5 91:12 92:4,8,12 93:2,9 94:6,14,19,23 95:8,19 96:10 97:1 98:5,16 99:2 99:10,15 101:5,13,18 102:1,11 103:4,19 104:7 104:13 105:2,10 106:14 106:20 107:3,13,18 108:10 109:11,21 110:9 110:21 111:9 112:2,10 112:14 113:25 115:12,20 116:6,11,19 117:1,9,15 117:20 118:2,7,14 119:18 119:23 120:24 121:10,15 122:6 123:9,16 124:7,14 124:23 125:10,15,19,24 126:16,24 127:24 128:5 128:12,19 129:4,20 130:2 130:18,24 131:5,15,24 132:3,8,18 133:8,23 134:3,9,23 135:3,10,18 136:6,18 138:7 139:4,20 140:10 141:5,20 142:5 142:17,22 143:19,23 144:7,17,24 145:9,20 147:14 148:8,13,17 149:4 150:2,7,12 151:11 152:1 152:6,20 153:8,19,23 154:23 155:22 156:17 157:1,13,24 158:5 159:2 159:15 160:5,13,24 161:5 161:20,24 162:13 163:23 164:10,18,24 165:3,15 166:5,9,16,24 167:8,12 167:19 168:7,15,24 169:4 169:8,13 171:3,10,17,24 172:7,12,22 173:24 174:23 175:12,17,25 176:14,22 177:5,9,13,25 178:20 179:2,9,16,24 180:20,25 181:25 182:7 182:12,16,22 183:9,20 184:6,12,16 185:1,5,20 186:14 187:8,23 188:11 188:19 189:4,9,13,21 190:2,6,19 191:2,9,13 191:18 192:6,18,23 193:11 194:4,12,22 195:1 196:4,13,22 197:7,19,25 198:16 199:16,22 200:8 200:12,17,24 201:23 202:13 203:11,17,21 204:1,5,17,21 206:11 207:14 260:23 261:4,9 261:11,12,16,21 262:6 263:9,17,24 264:4,10,15 264:22 265:3,11,17,25 266:10,21 267:2,17 268:3 268:7,23 270:2,9,15 271:3,13 272:2,23 273:11 274:10,18 275:4,13,17 276:9,17,21 277:2,8,12</p>	<p>277:24 278:16 279:9,21 280:1,10,23 281:6 299:16 299:17,24 300:11,20,24 301:3,9,13,18,23 302:10 302:17,21 303:3,12,17 303:21 304:6,10 305:17 306:2,6,20 307:8 308:14 308:21 309:2,17,23 310:3 310:10,16 312:8,13,18 314:8,15 317:8 318:1 319:7,13 320:11 321:6 321:13,24 322:4,8 323:14 324:11 325:15 326:14,20 326:25 327:4,16,21 328:10 329:2,6,24 330:5 330:9,15,22 331:8,13,18 331:23 332:3,19 333:2 333:16,18,25 334:7,12 334:16,22 335:1,5 338:2 339:15,19,24 340:5,12 340:22 341:6 342:3,9,20 343:7,12,16 344:12,25 345:7,16 346:18,24 347:3 347:25 348:24 349:5,12 349:20 350:3,8,12,20 351:15 353:5,12,18,22 354:2,14,19 355:2,7 356:3,11,17,22 357:2,24 360:8,16,22 361:3,9,14 363:22 364:2,6,12 365:13 365:17 366:6,13 367:11 367:15,24 368:5,13,18 369:20 370:2,10,24 371:5 371:13,17,24 372:12 373:3 373:9,14,20,25 374:8 375:4,8,13 <b>quality</b> [12] 272:25 273:16 274:25,25 312:25 314:7 335:24 336:2 361:15,16,21 362:10 <b>quantitative</b> [2] 372:8 375:3 <b>questioned</b> [1] 16:15 <b>questioning</b> [4] 124:16 124:25 281:15 296:12 <b>questions</b> [39] 15:13 47:8 54:3 66:13,22 74:10 74:16 75:1 134:13 207:15 207:17,22 208:10,12 215:16,20,22 216:8,12 236:19,20,22,25 239:14 240:14,23 241:10,24 242:3 250:11 252:18 260:18,24 261:3 281:17 281:17 295:20 296:14 371:14 <b>quick</b> [2] 70:7 371:14 <b>quicker</b> [1] 96:13 <b>quickest</b> [2] 69:1,5 <b>quickly</b> [10] 40:20,25 47:20 72:17,19 73:4 230:23 231:5,12 359:19 <b>quite</b> [29] 25:15 31:7 72:22 73:3 93:23 97:22 100:24 101:11 134:2 165:18 192:12 210:14 255:23 285:9 289:21 292:8 316:2,7,19 317:7 324:22 328:7 334:10 346:6 348:9 352:7,16</p>
--	---	--	--	--

<p>358:18 362:19 <b>quoted</b> [1] 202:19</p> <hr/> <p style="text-align: center;"><b>-R-</b></p> <p><b>radiation</b> [46] 19:16 21:3 23:20 45:13 68:3 93:13 93:21,25 94:2 95:2,11 140:21 162:8,17,20 163:1 163:17 168:5 180:2 229:3 236:22 245:23 247:10 248:2 259:1 271:1 297:17 297:19 320:3,6 327:7 336:15,19 338:13,21 344:17,18,19 346:9 350:16 355:16,18,21 359:10 365:10 368:10</p> <p><b>radiologist</b> [2] 75:15 76:7</p> <p><b>radiologists</b> [3] 178:12 316:11 365:11</p> <p><b>radiology</b> [2] 236:20 311:13</p> <p><b>raise</b> [1] 23:1</p> <p><b>raised</b> [1] 24:13</p> <p><b>raising</b> [1] 176:8</p> <p><b>ran</b> [1] 195:2</p> <p><b>Randell</b> [1] 79:24</p> <p><b>range</b> [3] 16:13 221:1 372:19</p> <p><b>rarely</b> [1] 21:18</p> <p><b>rate</b> [3] 203:2 204:14 280:18</p> <p><b>rather</b> [4] 52:4 230:23 302:2 371:12</p> <p><b>Re-direct</b> [1] 2:8</p> <p><b>RE-EXAMINATION</b> [1] 299:15</p> <p><b>reach</b> [3] 80:13,20 90:13</p> <p><b>read</b> [18] 9:8 60:24 129:11,17 130:13,16 131:8 132:6 139:8 190:21 190:23 196:9 197:5,11 275:24 276:3 291:4 296:19</p> <p><b>reading</b> [6] 203:23 265:7 275:19 325:12 332:15 372:13</p> <p><b>real</b> [2] 294:5,11</p> <p><b>realize</b> [1] 355:12</p> <p><b>realized</b> [2] 28:25 241:22</p> <p><b>really</b> [56] 23:7,13 29:24 32:19 38:9 40:22 43:17 62:20 78:8 102:8 110:4 202:4 204:15 211:9 243:15 251:5 252:3 257:5 267:23 307:17 310:25 312:25 315:16 318:14,16 325:3 326:3 328:19,22 335:23 336:10 339:11 341:4,5,11,20 344:4 345:12,18 346:15 347:10 347:21 348:14,15 351:1 351:3,10,24 358:7 359:2 359:18 362:19 363:10,15 366:22 367:2</p> <p><b>reason</b> [21] 58:18 82:22</p>	<p>89:8 110:10 113:1 118:3 118:8,11 129:2 142:3 178:9 220:2 227:21 229:9 230:1,6 231:21 237:5 258:3 289:13 299:10</p> <p><b>reasonable</b> [5] 41:4,11 172:21 226:23 237:21</p> <p><b>reasons</b> [4] 249:18 259:13,18 346:17</p> <p><b>reassured</b> [1] 274:7</p> <p><b>receipt</b> [3] 120:6 218:6 219:1</p> <p><b>receive</b> [12] 57:2 92:13 183:15 209:6 230:8 235:17 256:25 286:4 355:19 363:19 366:19 374:5</p> <p><b>received</b> [27] 39:19 56:3 56:5,15 60:5 80:12 82:5 98:6 111:2 114:23 115:6 116:21 117:6,22 162:20 170:23 176:5 214:18 223:7 224:1 225:21 228:16 233:15 234:7 242:4 260:2 349:22</p> <p><b>receiving</b> [3] 72:17 91:25 355:4</p> <p><b>recent</b> [3] 297:21 354:3 356:7</p> <p><b>recently</b> [6] 13:5 103:25 154:9 179:4,10 264:25</p> <p><b>receptor</b> [33] 1:2 70:16 100:2,5,13,24 101:2,4 101:20 102:5 103:15 104:19 105:16,17 110:4 119:2,21 122:16 123:11 124:5 136:13 146:19 153:5,6 161:9,13 169:23 188:9 190:10 191:21 247:21 275:20 376:4</p> <p><b>receptors</b> [7] 100:20 118:20 122:12 169:18 186:24 187:25 188:13</p> <p><b>RECESS</b> [1] 124:20</p> <p><b>recipient</b> [5] 92:15 117:3 117:17 225:3 229:8</p> <p><b>recognize</b> [1] 258:24</p> <p><b>recognized</b> [2] 317:15 362:22</p> <p><b>recollection</b> [13] 11:19 32:21 126:19 157:25 175:19 176:18 184:20 185:6 190:8 197:20 204:18 267:10 364:16</p> <p><b>recommend</b> [3] 62:21 189:18 227:17</p> <p><b>recommendation</b> [26] 20:7 22:5 45:4 53:22 87:12 105:18 107:15,25 108:14 109:15,18 110:23 113:11 114:9 172:18 218:11 219:10,14 226:4 231:20 237:20 276:12 277:5 279:11,22 369:5</p> <p><b>recommendations</b> [25] 44:16 47:23 48:4 84:24 87:4 109:5 114:21 115:16 163:4 170:8 214:20,22</p>	<p>221:19 244:25 272:9 296:11,17 300:18,23 301:2 368:20,23 369:1 369:14 370:17</p> <p><b>recommended</b> [15] 16:23 19:23 49:4,20 50:20 59:4 90:4 100:11 103:6 176:8 220:9 355:15 365:1 368:14 369:16</p> <p><b>recommending</b> [3] 17:8 189:15 192:15</p> <p><b>reconsider</b> [2] 259:21 260:5</p> <p><b>record</b> [16] 35:21 56:20 59:16 83:19 119:5 120:4 122:22 135:5 171:9,15 210:2 245:11 248:15,19 292:21 318:20</p> <p><b>recorded</b> [1] 245:3</p> <p><b>recording</b> [1] 11:13</p> <p><b>records</b> [10] 71:21,23 83:2 89:6 96:22 126:4 135:17 201:16 292:23 334:1</p> <p><b>recruit</b> [5] 344:10 345:1 348:22 350:5 369:3</p> <p><b>recruiting</b> [2] 343:5 344:17</p> <p><b>recruitment</b> [3] 344:24 351:10 353:4</p> <p><b>recurrence</b> [2] 243:8 288:24</p> <p><b>redacted</b> [2] 32:4 99:22</p> <p><b>reduction</b> [1] 243:25</p> <p><b>reestablish</b> [1] 367:9</p> <p><b>reevaluation</b> [1] 247:8</p> <p><b>refer</b> [7] 122:8 200:13,18 244:24 253:9 306:1 370:25</p> <p><b>reference</b> [3] 235:22,24 364:7</p> <p><b>references</b> [1] 282:17</p> <p><b>referral</b> [2] 8:17 367:1</p> <p><b>referrals</b> [2] 329:19 366:23</p> <p><b>referred</b> [7] 27:24 114:17 120:11,16 121:11 161:2 256:2</p> <p><b>referring</b> [14] 12:23 86:10 121:24 126:20 128:13,20 154:19 175:2 187:3 188:8 196:20 204:12 291:3 364:9</p> <p><b>refers</b> [3] 169:16 170:12 198:1</p> <p><b>reflects</b> [1] 83:16</p> <p><b>refuse</b> [5] 174:19 191:23 193:8,10 294:8</p> <p><b>refused</b> [19] 106:6 153:22 154:8,18,19 161:15 170:6 172:15 173:15 174:17 189:16 191:8,10,14,22 192:3 259:24 260:9 295:5</p> <p><b>refusing</b> [2] 259:13,19</p> <p><b>regard</b> [2] 67:12 247:6</p>	<p><b>regarding</b> [10] 8:1,9 16:11 22:21 98:6 112:19 125:3 144:25 218:9 249:6</p> <p><b>regardless</b> [3] 98:20 117:10,16</p> <p><b>regards</b> [2] 12:2 87:3</p> <p><b>regional</b> [7] 1:10,17 319:5,22,22 320:2 337:15</p> <p><b>regions</b> [4] 319:9 320:5 369:7,8</p> <p><b>Registrar</b> [3] 8:24 302:22 305:19</p> <p><b>registries</b> [1] 313:11</p> <p><b>registry</b> [8] 312:15,23 313:1,8,10,23 314:1,4</p> <p><b>regular</b> [7] 151:17 220:12,24 324:2,12 325:8 340:10</p> <p><b>regularly</b> [7] 62:10 95:22 220:10 223:3 229:6 229:23 241:7</p> <p><b>reimbursement</b> [1] 114:24</p> <p><b>reinstated</b> [1] 266:5</p> <p><b>reinstatement</b> [1] 365:1</p> <p><b>reinststitute</b> [1] 368:15</p> <p><b>reinsttuted</b> [1] 43:2</p> <p><b>reinstitution</b> [1] 273:15</p> <p><b>related</b> [5] 255:16 316:23 336:15 340:11 358:13</p> <p><b>relating</b> [1] 249:17</p> <p><b>relation</b> [3] 134:18 282:18 356:18</p> <p><b>relations</b> [1] 336:3</p> <p><b>relationship</b> [4] 321:9 335:18 338:20 340:14</p> <p><b>relationships</b> [1] 341:3</p> <p><b>relaying</b> [1] 165:6</p> <p><b>relevant</b> [1] 357:5</p> <p><b>reliability</b> [4] 8:10 23:4 269:1 272:11</p> <p><b>reliable</b> [4] 10:7 226:2,4 274:21</p> <p><b>reliance</b> [2] 134:1 219:13</p> <p><b>relied</b> [1] 27:12</p> <p><b>rely</b> [8] 22:18 25:19 34:23 34:23 35:2 155:10 185:21 228:15</p> <p><b>relying</b> [3] 156:14 158:22 185:7</p> <p><b>remain</b> [2] 188:14,14</p> <p><b>remainder</b> [1] 327:17</p> <p><b>remained</b> [6] 127:11,16 186:25 187:25 188:17 262:20</p> <p><b>remaining</b> [1] 294:8</p> <p><b>remains</b> [1] 349:19</p> <p><b>remember</b> [81] 7:4 9:22 10:22 11:18 13:9,12,17 19:12 21:5,21 22:12,19 23:12 24:10 26:21 30:4 30:25 31:6,25 33:9 34:2 35:10 36:20 38:22 42:2 43:17 44:6 47:6,14 53:11</p>	<p>54:8 61:21 65:3 69:7 70:11 74:1 81:17 91:10 96:5 105:24 115:23,24 121:20 142:20 165:9 174:13,14,17 183:18,19 189:24 193:2,4,17,20 194:9,10 199:13,15 201:19 202:3,4,11 204:20 212:7 232:14 235:19 239:22 243:15 251:12,18 253:10 266:25 267:15 268:13 291:14 332:25 348:10 368:12 374:14,21</p> <p><b>remembered</b> [1] 202:10</p> <p><b>removal</b> [1] 348:18</p> <p><b>removed</b> [3] 85:12 149:22 201:15</p> <p><b>remuneration</b> [6] 349:23 356:7 357:17 362:5 363:20 369:2</p> <p><b>repeat</b> [12] 44:10 60:17 100:3 104:17 105:14 107:23 119:1 122:14 169:21,24 170:15 249:24</p> <p><b>repeated</b> [1] 158:15</p> <p><b>repetitive</b> [1] 280:11</p> <p><b>report</b> [102] 16:12 17:13 17:15,19 18:1,6 19:6,7 19:24 20:24 21:22 24:19 26:5 37:13 47:19 57:3 60:6,9,18,19,20,21 61:4 62:2,20 63:18 64:4,6,8 76:4,9,12,16 84:22 100:1 100:3 107:23 114:5,7 118:24 122:11,17 123:21 134:15 135:5,19 136:12 136:21,23 137:11,14 155:10,12,14,14,17,19 155:21 156:19,22 167:17 168:13,16 169:17 170:13 170:16 182:10 186:2 198:2,3 201:11 211:20 211:25 212:18 244:22 246:8 270:14,16,18,19 270:20,22 272:18,20 275:19 291:7,9,17 292:13 319:25 323:23 335:20,22 339:3,6,20,25 340:6 361:17 368:24 372:8 374:11</p> <p><b>reported</b> [2] 136:13 137:12</p> <p><b>reporting</b> [2] 23:16 271:20</p> <p><b>reports</b> [26] 16:10,24 17:8 20:10,15,18 21:6 25:24 36:19 43:14,16 44:10 61:24 76:9,15 116:3 155:11,24 156:14 271:10 275:22 292:7 338:18 372:14,16 374:4</p> <p><b>represent</b> [2] 217:25 261:17</p> <p><b>reproducible</b> [1] 10:7</p> <p><b>request</b> [7] 12:5,25 13:25 36:9 210:1,25 222:24</p> <p><b>requested</b> [11] 19:5 64:11 90:9 192:8 193:23 195:14,16 201:1 202:6</p>
---	--	--	---	--



<p>213:22 357:8 <b>requesting</b> [3] 17:2 114:24 202:1 <b>require</b> [4] 94:9 234:11 236:18,18 <b>required</b> [6] 50:20 119:9 120:8 123:1 238:18 327:9 <b>requirement</b> [3] 323:21 325:17 332:6 <b>requirements</b> [2] 253:8 332:5 <b>requires</b> [3] 97:14 209:22,24 <b>requiring</b> [1] 64:23 <b>research</b> [14] 173:20 297:6 305:2,4,8 307:20 308:3 313:6 317:6 322:15 323:8 324:5 337:18,19 <b>residence</b> [1] 79:1 <b>residency</b> [4] 125:7 304:21 310:5 372:1 <b>resident</b> [2] 306:12 316:8 <b>residents</b> [1] 308:11 <b>residing</b> [1] 89:24 <b>resigned</b> [1] 346:2 <b>resource</b> [4] 337:3,4 344:6 351:24 <b>resources</b> [9] 253:2,4 254:8,22 297:11,15 298:6 337:5 353:3 <b>respect</b> [10] 23:3 92:14 107:15 108:3 129:8 134:16 136:22 137:18 169:15 356:6 <b>respectively</b> [6] 100:6 107:24 114:8 119:3 122:17 169:24 <b>respond</b> [4] 7:11 202:15 205:7 254:20 <b>response</b> [3] 90:17 291:10 294:14 <b>responsibilities</b> [1] 335:20 <b>responsibility</b> [2] 92:21 270:19 <b>responsible</b> [9] 93:5 164:14 187:12 310:11 311:7 336:9 337:1,3 366:14 <b>responsive</b> [1] 255:3 <b>rest</b> [7] 201:17 206:16 311:1 349:24 355:9 362:6 362:9 <b>restaining</b> [2] 161:9 165:22 <b>restarted</b> [1] 290:22 <b>restarting</b> [1] 189:25 <b>restraints</b> [3] 130:11 131:21 133:6 <b>restructuring</b> [1] 338:17 <b>result</b> [13] 25:25 50:2 56:15 170:19 185:25 209:7 210:12,20 236:1 286:9 333:9 363:18 373:5</p>	<p><b>resulted</b> [1] 361:22 <b>results</b> [65] 10:1,7 23:5 26:15 27:6 43:8,19 48:22 51:16 52:17 55:15,16,17 55:19 56:7,10,11 60:9 60:14,25 61:14 63:23 70:4,4,15 72:19 75:2 170:4 180:10 204:24 208:14 210:7 211:6,24 212:17 213:1,18 214:20 222:6 224:3 226:7 227:5 227:20,22 229:14,22,25 230:8,25 231:25 234:12 234:21 238:21 245:17,19 251:6 254:11 257:2 259:17,20 270:1 271:10 285:17 313:21 374:18 <b>resume</b> [1] 331:16 <b>resumed</b> [3] 14:14,24 15:9 <b>retain</b> [3] 297:23 348:23 369:4 <b>retention</b> [1] 352:18 <b>retest</b> [27] 26:1,15 27:25 35:7,17 37:15 50:2 70:4 126:6 137:8 164:3 165:16 165:17,20 170:19 182:4 182:13,15 183:5 185:25 211:23 213:1,18,19,22 227:5 293:4 <b>retested</b> [10] 32:11 33:23 34:9 122:21 136:9 137:9 155:7 156:5 163:25 224:4 <b>retesting</b> [35] 25:22 28:19 29:1,3 30:21 33:4 34:6 38:19 40:7 55:16 55:17 87:4 118:22 154:15 155:5 157:20 158:1 172:1 175:21 208:15 213:15 227:23 230:9,20,22 234:21 238:21 249:18,18 249:20 250:23 251:16 253:18 256:24 258:5 <b>retire</b> [1] 352:2 <b>return</b> [2] 138:22 346:17 <b>returned</b> [2] 90:5,15 <b>returning</b> [1] 241:7 <b>returns</b> [1] 143:12 <b>revealed</b> [7] 100:9 119:5 120:3,4 122:23 136:1 170:3 <b>review</b> [52] 8:7 10:20 11:10 16:1 39:7,15 44:2 44:9 45:20 49:3 62:21 64:3 68:19 73:2 79:21 83:7 84:16,23 100:7,8 107:24 109:25 119:4 120:3,12 122:22 170:2 180:5,11,11 181:19 183:23 189:8 191:21,24 199:9 214:19 218:8 219:2 231:17 238:2 248:4 254:11 257:23 262:1 295:20 299:21 362:3 364:24 365:1 368:6,20 <b>reviewed</b> [10] 68:18 76:16 178:12 182:10 186:8,11,17 200:9 236:2 256:11</p>	<p><b>reviewing</b> [2] 123:20 367:4 <b>reviews</b> [6] 42:5 43:4,9 43:20 75:3 237:15 <b>REVISED</b> [1] 3:1 <b>rid</b> [1] 348:15 <b>right</b> [98] 1:8 18:12 28:8 30:8 38:15 48:20,25 49:11,23 50:24 51:6 53:15 60:2 63:8 67:7 73:6 74:6 80:3,14 90:9 90:22 100:10 101:17 102:14 106:19 108:7 112:23 113:6,15,24 116:10,10 118:19 119:17 120:15 121:14 122:10,12 124:18 126:15 128:18 131:4 136:5 148:18 165:2 166:8 171:11 174:9 176:11 179:17 182:6,8 182:21 191:17 200:16 202:21 204:2,6 211:23 223:21 235:20 242:19 243:7 244:7 246:10 257:13,15 259:16 260:13 264:14 266:11 273:21 277:7,11 283:4,9 284:8 285:12,24 288:18 290:10 302:13 303:25 309:6 314:4,19 315:6 319:17 329:5 335:19 349:4 353:11 354:18 363:6 364:11 368:12 373:19 375:17 <b>ring</b> [1] 121:4 <b>risk</b> [11] 148:14,24 149:15,15,17,18,23,23 151:12 196:7 198:22 <b>risks</b> [3] 145:5,8 149:24 <b>Ritter</b> [1] 356:4 <b>road</b> [5] 85:21 162:9 163:16 194:1 250:12 <b>role</b> [13] 139:23 140:3 142:7 233:14 251:10 295:23 305:11,14 334:21 335:17 336:1 342:1 362:24 <b>Rolf</b> [1] 1:8 <b>roof</b> [1] 311:23 <b>room</b> [10] 31:3 168:21 201:6 205:20 206:2 239:13,18 240:25 299:3 363:5 <b>Rorke</b> [8] 19:8,10 23:22 82:8,11 90:11 331:5 346:12 <b>rotate</b> [1] 325:2 <b>rough</b> [1] 295:9 <b>roughly</b> [2] 4:23 101:1 <b>round</b> [8] 364:21 365:8 365:20,23,24 366:3,8 367:2 <b>rounds</b> [10] 24:1 309:11 324:2 362:17 364:9,17 365:3 367:19 368:15 369:4 <b>route</b> [2] 321:25 371:11 <b>routine</b> [3] 34:22 206:4</p>	<p>212:3 <b>routinely</b> [1] 362:3 <b>Royal</b> [3] 323:21,24 332:5 <b>rule</b> [2] 251:21 280:13 <b>run</b> [2] 316:20 342:14 <b>running</b> [4] 46:20 195:21 197:17 335:15 <b>runny</b> [1] 195:22 <hr/><b>-S-</b><hr/><b>S-I-D-D</b> [2] 134:17,22 <b>salaried</b> [3] 343:21 358:22 359:12 <b>salaries</b> [2] 355:8 356:18 <b>salary</b> [11] 320:24 350:25 351:1,11 353:7,13 354:9 356:1 359:7,23 363:20 <b>Saltman</b> [2] 331:3 339:10 <b>sample</b> [3] 136:3,24 274:20 <b>San</b> [2] 324:9 325:24 <b>Sandra</b> [7] 1:7 2:3,8,10 4:1 299:15 302:21 <b>sat</b> [2] 8:7 31:3 <b>satisfied</b> [1] 241:14 <b>satisfies</b> [1] 209:3 <b>saw</b> [35] 19:16,17,19 29:21 68:10,11 69:21 74:19 81:7 85:9 93:4 116:2 145:18 162:23 173:14,21 174:9 175:7 176:6 178:4,8 186:2 204:9 207:1 208:24 213:17 240:22 241:22 264:20,25 265:9,20,24 287:17 288:21 <b>says</b> [26] 12:11 19:25 59:15 80:1 83:1 115:11 127:2 129:17 132:10 149:7 154:3,5,24 176:7 176:15 181:3 187:15 188:12,25 191:3,19 192:7 198:10 204:23 283:1 364:13 <b>scale</b> [1] 359:13 <b>scan</b> [20] 85:18 97:16 154:10,13 178:10 179:6 179:13 187:11,13 199:5 199:10,11 201:11 211:15 287:16,17 290:19 291:15 291:16 292:13 <b>scans</b> [2] 174:20 179:20 <b>scattered</b> [1] 33:16 <b>scenario</b> [3] 146:15 152:15 277:21 <b>scheduled</b> [14] 62:10,23 93:15 95:22 97:7 208:19 209:10 218:17 220:11 222:5 223:3 229:6,23 241:7 <b>schedules</b> [1] 269:7 <b>scheduling</b> [1] 238:17 <b>school</b> [1] 322:17</p>	<p><b>Science</b> [1] 136:12 <b>scores</b> [1] 106:16 <b>Scotia</b> [1] 351:3 <b>screen</b> [1] 203:10 <b>screening</b> [6] 317:10,13 317:22,24,25 338:24 <b>seated</b> [1] 124:22 <b>second</b> [37] 19:5 23:20 24:6,8,10 25:10 37:7 40:21,23 44:25 64:5 87:20 100:21 102:16 103:3 121:6 126:10 152:17 155:12 174:16 175:1 176:4 178:9 180:11 192:3 197:12 238:25 243:17 245:13 271:22 273:20 275:25 287:2,10 291:17 292:6 295:16 <b>secretaries</b> [1] 90:3 <b>secretary</b> [5] 11:14 83:4 86:14,20 88:3 <b>section</b> [6] 16:7 156:21 156:25 157:3 160:18 313:18 <b>see</b> [110] 11:11 13:7 25:6 25:14 26:12,14 32:7,10 34:25 35:6,16,19 44:20 51:13 52:8,23 53:3 64:12 72:20 76:5,6 81:3 83:13 85:4 90:4 92:20 93:10 93:15 94:3 95:1,1 96:2 98:11 106:25 111:25 112:8 126:12 127:22 128:15 134:17 135:4 138:18,23 140:15,25 142:3 143:15,18,20 146:7 155:4,6 156:2,4 157:17 158:7,14 159:9 160:15 160:16 162:7,7,8,10 163:15,20 164:7 168:5 185:11 187:15 196:10 209:1,4 218:15 219:6 220:1,10,13 221:19 223:5 227:4 229:8 232:13,21 235:6,15 240:20 241:23 243:16 244:15 257:21 258:21 262:16 263:4 264:16 266:17 273:13 280:24 300:14 317:1,3 324:21 329:17,20,22 331:4 355:14 359:5 362:24 366:24 <b>seeing</b> [22] 13:10 25:9 33:7 37:4 52:20,21 53:1 76:3 138:4 142:21 143:16 162:18 164:23 178:18 185:11 219:10 229:22 273:8 329:11 353:2 366:17 374:16 <b>seem</b> [7] 21:15 184:4 186:5 192:10 194:2 267:22 280:11 <b>sees</b> [1] 331:2 <b>segmental</b> [5] 181:15,16 186:19 189:2 198:4 <b>self</b> [1] 19:9 <b>self-directed</b> [1] 324:4 <b>send</b> [9] 8:20 17:1,19 56:18 57:15 84:17 85:7</p>
--	--	---	--	---

Inquiry on Hormone Receptor Testing

<p>269:24 352:17  <b>sending</b> [5] 18:21 270:20                  270:22,23 272:18  <b>senior</b> [5] 338:5,9 339:2                  341:20 346:20  <b>sense</b> [1] 77:9  <b>sent</b> [28] 8:17 16:24 17:9                  19:24 26:19 33:15,17                  58:20 59:3,7 64:8 82:15                  82:21,24 83:4,7 84:4                  87:13 131:6,10 223:21                  223:22 226:24 228:11,19                  233:1 263:5 295:11  <b>sentence</b> [1] 128:14  <b>separate</b> [6] 101:10,10                  311:12 340:21 341:11                  365:20  <b>separately</b> [1] 167:11  <b>September</b> [14] 1:4                  11:10 14:13 15:9 84:25                  199:6 262:2 268:21 273:9                  290:20 301:8 323:3 376:5                  376:12  <b>sequence</b> [1] 57:2  <b>series</b> [1] 8:25  <b>service</b> [2] 262:18 340:16  <b>services</b> [3] 294:25 322:1                  357:17  <b>session</b> [2] 31:22 236:7  <b>sessions</b> [2] 51:12 54:11  <b>set</b> [7] 71:18 100:19                  226:18 238:20 307:2                  309:7 339:18  <b>sets</b> [1] 352:21  <b>setting</b> [12] 7:22 8:1                  12:14,17 13:4,5 147:5                  278:24 279:1,2,3 317:23  <b>settled</b> [1] 257:20  <b>settling</b> [1] 341:1  <b>seven</b> [8] 54:21 144:18                  170:19 271:17 290:24                  342:25 343:22 347:24  <b>several</b> [14] 30:13 98:13                  102:20 120:13 165:10,12                  197:11 311:17 315:25                  357:15 358:11 359:11                  368:23 369:8  <b>shake</b> [1] 205:21  <b>share</b> [2] 29:9 30:14  <b>Sharon</b> [5] 86:17 90:2                  91:14 318:12 335:14  <b>shelved</b> [2] 364:22                  367:17  <b>shock</b> [4] 174:18 193:5                  194:10 259:9  <b>shocked</b> [1] 193:9  <b>short</b> [5] 93:16 127:8                  128:2 162:9 344:18  <b>short-lived</b> [1] 255:24  <b>shortly</b> [3] 84:3 341:21                  346:11  <b>shortness</b> [4] 127:21                  128:4,20,23  <b>show</b> [6] 86:8 104:20,25                  137:3,23 316:22</p>	<p><b>showed</b> [13] 9:16 100:2                  118:24 122:13,18 155:12                  161:11 165:24 169:19                  172:2 182:24 358:6                  359:20  <b>showing</b> [4] 122:15                  170:14,16 178:14  <b>shown</b> [17] 54:16 97:17                  100:4 104:17 105:15                  115:24 119:1 155:18                  169:22 199:6,18,20                  282:13,14 290:20 291:15                  299:8  <b>shows</b> [2] 194:19 195:3  <b>sic</b> [1] 81:17  <b>Siddiqui</b> [723] 2:2 4:1,7                  4:8,13,20 5:6,15,21 6:15                  6:21 7:3,12,16,20 8:12                  9:10,15,21 10:21 11:2                  11:22,25 12:5,13 13:16                  13:22 14:1,7,15,22 15:3                  15:10,18 16:4,8,10 17:12                  18:9,18 19:4 20:2,8,14                  20:19,25 21:11,17 22:6                  22:11,17 23:6,18 24:5                  24:15,21 25:2,8 26:6,16                  27:2,7,18 28:3,7,21 29:2                  29:7,19 30:3,11,24 31:5                  31:13,17,24 32:15,23                  33:5 34:1,10,18 35:9,18                  35:25 36:4,11,17 37:2                  37:16,24 38:4,8,14,21                  39:2,14,20,25 40:9,18                  41:7,20 42:1,8,13,19                  43:5,10,15,23 44:5,22                  45:8,22 46:3,8,13,23                  47:5,12,17 48:7,12,19                  48:24 49:5,10,15,22 50:4                  50:8,13,23 51:5,20 52:11                  52:25 53:10,18,24 54:7                  54:13 55:4,12,18,24 56:4                  56:19 57:7,11,17,24 58:5                  58:11,23 59:8,13,21 60:1                  60:16 61:3,20 62:12,17                  63:5,14,24 64:15,19 65:1                  65:13,18,24 66:9,17,24                  67:6,15,21,25 70:5,18                  71:7,20 72:2,21 73:12                  73:17,25 74:5,15 75:6                  75:25 76:22 77:2,8,14                  77:20 78:6,11,17 79:2                  79:10 80:2,6,15,23 81:8                  81:14,22 82:3 86:13,19                  86:23 87:7,25 88:10,17                  88:22 89:11 90:21 91:7                  91:18,23 92:2,6,10,23                  93:7,19 94:12,17,21 95:6                  95:10 96:4,15 97:10                  98:12,22 99:8,13 100:16                  101:7,16,21 102:6,18                  103:10,22 104:9,23 105:8                  105:23 106:18,22 107:10                  107:16 108:6,22 109:16                  109:23 110:12 111:7,15                  112:7,17,22 113:14,18                  114:19 115:10,18,22                  116:9,16,22 117:7,12,18                  117:24 118:5,12 119:16                  119:20 120:18 121:2,13                  122:1 123:5,13,22 124:16                  124:24 125:6,12,17,21                  126:14,21 127:1 128:1</p>	<p>128:10,17,22 129:16,25                  130:8,22 131:3,11,17                  132:1,5,13,24 133:14,25                  134:7,20 135:1,8,14                  136:4,16 138:3 139:2,12                  139:24 140:18 141:15,23                  142:14,19 143:17,21                  144:5,11,21 145:7,13                  146:3 147:21 148:11,15                  148:19 149:12 150:4,10                  151:9,24 152:4,10 153:2                  153:17,21 154:21 155:8                  156:6,24 157:4,21 158:2                  158:16 159:13,18 160:10                  160:19 161:3,18,22 162:4                  162:15 164:4,16,22 165:1                  165:8 166:3,7,13,19                  167:6,10,14,24 168:11                  168:19 169:1,6,11 170:22                  171:7,13,22 172:5,10,20                  173:10 174:8 175:4,10                  175:15,23 176:10,20                  177:3,7,11,20 178:2,25                  179:5,12,18 180:15,23                  181:11 182:5,9,14,20                  183:7,17,24 184:8,14,24                  185:3,9 186:12 187:6,20                  188:3,15,24 189:6,11,19                  189:23 190:4,18,25 191:6                  191:11,16 192:1,16,21                  192:25 193:13 194:8,20                  194:24 195:10 196:11,19                  197:3,15,22 198:14 199:4                  199:19,24 200:10,15,20                  201:3 202:2 204:3,8,19                  205:9 206:14 207:22                  208:2,4,5,21 209:14,20                  210:13,21 211:3,8,14                  212:4,11,23 213:3,7,24                  214:14,23 215:8,15 217:4                  217:6,10,22,24 218:3,12                  218:21 219:3,15,21,25                  220:5,15,21 221:3,8,15                  221:25 222:8,16,22 223:8                  223:14,20 224:6,15 225:6                  225:13,23 226:8,13,20                  227:7,24 228:7,18,24                  229:15 230:3,10,14 231:1                  232:5,11,20 233:3,7,16                  234:1,15,23 235:3,13,18                  236:11,15 237:3,16 238:9                  238:17,23 239:4,9,17,21                  240:2,9,18 241:11,25                  242:25 243:13 244:13                  245:8,25 246:17,21                  247:12,16 248:6,18,25                  249:9,22 250:14,24 251:4                  251:11,17,23 252:6,14                  252:23 253:5,20,24 254:5                  254:12,16,25 255:10,14                  256:2,6,15 257:3,9,18                  258:6,14 259:3,7,22                  260:7,14,17 261:11,13                  261:14,19 262:4,10 263:1                  263:11,19 264:1,8,13,19                  265:1,8,15,19 266:8,19                  266:24 267:6,25 268:5                  268:11 269:3 270:7,12                  270:17 271:8,16 272:14                  273:3,18 274:13,23                  275:11,15,21 276:14,19                  276:24 277:6,10,16 278:5                  278:21 279:17,24 280:3</p>	<p>280:16 281:2,10,13,22                  282:5,24 283:5,20 284:1                  284:10,15 285:6,11,21                  285:25 286:12,17 287:9                  288:11,17 289:3,10,14                  290:1,11,16 291:11,22                  292:1,5 293:6,12,18                  294:3,15,22 295:6,12                  296:4,8,18,22 299:15,18                  299:22 300:2,16,22 301:1                  301:6,11,16,21 302:1,5                  331:2,9 338:12 346:11  <b>side</b> [18] 21:24 45:13,16                  110:14,16 124:4 143:1                  145:8 147:8,9 151:5                  195:22 198:8 239:12                  290:4 295:15 341:12,13  <b>sign</b> [14] 117:25 118:3                  129:14 130:10,15 131:9                  131:9,22 132:15,16,17                  133:12 160:2 193:25  <b>signature</b> [3] 155:13,19                  168:20  <b>signed</b> [25] 60:21 83:1                  87:11 89:4,8,9 117:8                  130:17 131:12 132:11                  133:2,5 137:24 138:2,14                  150:15 155:14,15 159:1                  161:8 168:18 194:1 200:5                  262:16 361:4  <b>significance</b> [1] 284:9  <b>Significant</b> [1] 350:11  <b>significantly</b> [3] 297:1                  350:1,13  <b>signing</b> [2] 32:9 168:23  <b>similar</b> [18] 22:10 27:5                  100:24 102:25 146:8,11                  163:3 174:16 200:7                  276:25 277:21 293:21                  311:7 312:1,19 315:24                  318:25 320:24  <b>Simmons</b> [24] 1:10 2:4                  207:24,25 208:2,3,7                  209:5,16 210:5,16,23                  211:5,12,22 212:9,15,25                  213:5,12 214:8,17 215:3                  215:14  <b>simple</b> [2] 61:5 243:21  <b>simply</b> [2] 107:7 373:4  <b>Sinai</b> [24] 26:1 33:17                  37:15,17 44:11 100:4                  104:17 105:15 114:7                  118:22 119:1 122:15,21                  125:22 136:9,14 137:9                  159:8 161:10 165:23                  169:21 170:16 186:17                  259:17  <b>single</b> [10] 12:19 26:22                  137:18 156:10 168:12                  205:15 245:10,11 269:11                  280:20  <b>sinister</b> [2] 177:18                  187:12  <b>sink</b> [1] 205:24  <b>sister</b> [1] 69:15  <b>sister-in-law</b> [4] 69:10                  70:14,15 80:22  <b>sit</b> [5] 47:2 54:11,21</p>	<p>357:10 362:2  <b>site</b> [8] 306:8 307:14                  325:12 328:21 331:5,7                  362:4 370:8  <b>sites</b> [14] 165:13 306:14                  306:18,23,25 307:3,5                  328:21 329:3,13,18,23                  330:18 369:25  <b>sitting</b> [2] 233:2 363:4  <b>situate</b> [1] 319:17  <b>situation</b> [18] 16:11 46:6                  51:15,21 73:9 91:18                  100:23 109:13 117:2                  121:20 181:4 277:25                  280:7 293:21 310:17                  345:17 348:4 371:2  <b>situations</b> [2] 174:16                  222:13  <b>six</b> [27] 14:25 54:21                  112:25 113:22 138:11,18                  138:23 154:6 158:12                  163:7,18,19 178:5,18                  195:20,25 209:10 221:21                  222:4,4 223:5 227:19                  229:7 257:10 343:1 344:5                  345:18  <b>sixth</b> [1] 346:4  <b>size</b> [2] 284:18 315:22  <b>skills</b> [1] 322:17  <b>slated</b> [1] 344:20  <b>slightly</b> [1] 311:21  <b>slowed</b> [1] 69:4  <b>small</b> [7] 4:23 16:19                  101:8 108:23 149:24                  233:17 352:16  <b>smaller</b> [2] 330:13 369:7  <b>smears</b> [1] 151:17  <b>Smith</b> [9] 86:17 90:2                  91:15 318:12 335:14                  338:10 339:3 340:6,10  <b>social</b> [2] 159:23 253:9  <b>Society</b> [6] 1:15 218:1                  256:10 324:8 327:12                  333:8  <b>soft</b> [2] 289:15,16  <b>sole</b> [1] 271:15  <b>solid</b> [1] 352:7  <b>solve</b> [2] 269:16 272:17  <b>solved</b> [4] 11:18 14:12                  15:15 273:10  <b>someone</b> [10] 7:7 77:6                  95:23 226:5 308:5 320:25                  328:23 344:21,22 367:25  <b>sometime</b> [6] 5:13 27:25                  32:22 113:8 176:5 269:14  <b>sometimes</b> [30] 5:9                  17:17 18:10 27:19 56:8                  56:10 88:11 95:14,15                  102:25 106:4 108:24                  109:1 112:24 116:2                  130:10 131:19,21,23                  132:2 133:6,7 185:15                  197:5 205:25 209:23                  224:19 269:8 326:7 336:7  <b>somewhat</b> [3] 149:7                  274:7 283:22</p>
--	---	--	--	--

<p><b>somewhere</b> [13] 21:2 32:17 67:8 130:12 178:7 179:19 195:18 214:4 250:12 290:7 291:23 300:4 336:24</p> <p><b>soon</b> [7] 67:1 69:14 170:10 176:17 219:4 228:20 314:3</p> <p><b>sooner</b> [1] 366:25</p> <p><b>sorry</b> [45] 4:25 7:19 13:14 16:9 20:13 32:8 41:6 46:9 48:8 58:24 64:3 65:2,17 75:16 77:1 94:20 96:17 112:15 125:9 162:24 175:1 181:9,16 186:22 189:5 191:10 195:2 203:8,12,12 220:20 234:16 251:24 252:3,9 263:18 265:16 268:17 270:8 275:10 285:24 292:4 324:12 342:21 368:11</p> <p><b>sort</b> [31] 28:10 76:23 77:10,22 79:3 209:12 238:5 243:9 247:13 283:12,15,16 285:18 315:23 318:23 323:3 324:17 325:13 327:12 328:19,25 337:4 339:1 342:18 344:1 352:9 358:19 359:4 365:6 366:24 370:16</p> <p><b>sorted</b> [1] 262:24</p> <p><b>sorts</b> [10] 307:7 313:15 324:3 328:9 352:19 353:4 358:20,24 359:1 369:18</p> <p><b>sound</b> [1] 376:10</p> <p><b>source</b> [1] 75:24</p> <p><b>sources</b> [2] 256:7 355:1</p> <p><b>space</b> [1] 29:9</p> <p><b>speak</b> [9] 52:7 63:2 66:6 69:13 72:1 125:4 239:12 240:12 242:10</p> <p><b>speakers</b> [1] 325:6</p> <p><b>speaking</b> [7] 29:17 30:9 157:25 218:7 220:25 224:5 228:2</p> <p><b>speaks</b> [1] 105:11</p> <p><b>special</b> [2] 257:5 328:25</p> <p><b>specialist</b> [1] 243:23</p> <p><b>specialists</b> [3] 51:23 321:23 359:11</p> <p><b>specialize</b> [1] 307:13</p> <p><b>Specialized</b> [1] 362:2</p> <p><b>specialties</b> [1] 165:13</p> <p><b>specific</b> [8] 156:11 253:6 281:17 308:2,12 362:3 366:2,8</p> <p><b>specifically</b> [9] 29:24 33:8 63:25 207:5 250:2 258:4 306:19 307:25 309:12</p> <p><b>specified</b> [1] 72:15</p> <p><b>specify</b> [1] 332:11</p> <p><b>specimen</b> [24] 12:19,24 40:23 135:22,22 136:8 136:15,25 137:1,9 158:24</p>	<p>159:8 165:18 170:5 180:12 182:4,19 183:5 186:19 188:17 189:1 198:3,4 276:1</p> <p><b>specimens</b> [1] 181:12</p> <p><b>speculating</b> [2] 229:17 243:3</p> <p><b>spell</b> [1] 302:23</p> <p><b>spend</b> [2] 328:4 369:12</p> <p><b>spending</b> [1] 306:13</p> <p><b>spent</b> [9] 39:6 275:6 306:15,18 309:12,24 313:24 322:10 367:4</p> <p><b>spoke</b> [26] 7:15 23:22 55:22 65:4,7,14 69:9,16 83:25 84:14,24 85:12 111:1 115:21 157:20 175:16 184:21 185:4 186:6 188:12 190:3 192:4 199:12 202:5 261:5 287:1</p> <p><b>spoken</b> [12] 47:24 48:14 84:2 107:11 111:18 130:25 168:3 174:10,21 186:9 196:2 255:4</p> <p><b>spread</b> [1] 243:20</p> <p><b>spring</b> [1] 84:2</p> <p><b>squarely</b> [2] 272:5,12</p> <p><b>St</b> [18] 8:18 10:10 27:5 64:10 96:2,6,6,9,12,14 96:24 99:6 136:12 214:5 320:4 375:5 376:7,11</p> <p><b>stabilize</b> [1] 347:5</p> <p><b>stable</b> [5] 127:11,16 287:16,18 347:7</p> <p><b>staff</b> [11] 71:4,17 205:13 297:25 298:5,18 321:2 336:5 337:22,22 358:10</p> <p><b>stage</b> [4] 101:24 158:14 221:4 313:12</p> <p><b>stages</b> [1] 339:10</p> <p><b>staggering</b> [1] 211:9</p> <p><b>staging</b> [2] 284:19 313:14</p> <p><b>staining</b> [14] 10:7 11:17 14:11 100:3 104:21 105:13 118:20 122:13,19 137:4 170:14 195:14 262:23 313:19</p> <p><b>stains</b> [3] 11:17 14:11 135:25</p> <p><b>stamp</b> [5] 170:25 171:1 171:14,14,18</p> <p><b>stamped</b> [1] 68:22</p> <p><b>stand</b> [3] 82:19 126:7 217:14</p> <p><b>stand-alone</b> [2] 340:21 345:5</p> <p><b>standalone</b> [1] 311:12</p> <p><b>standard</b> [6] 12:18 106:12 147:24 148:7 275:2 352:21</p> <p><b>standardized</b> [1] 271:20</p> <p><b>standards</b> [3] 12:1,11 277:14</p> <p><b>start</b> [24] 13:18 25:9 36:3</p>	<p>76:11 85:6 97:19 100:21 110:20 124:11 150:22 153:5 231:5 244:16 246:11 255:22 257:20 269:10 290:4 344:21 363:11 366:3 371:11,12 371:18</p> <p><b>started</b> [41] 26:17 27:8 29:4 38:10 47:20 48:3 53:19 85:19 86:3 154:7 162:18 163:13,14 178:18 179:19 185:11 244:16 248:11 304:17 305:6,10 314:24 326:24 327:1 328:19 335:19 339:9 341:20 345:25 346:19 362:17 364:20 365:4 366:2,11,11,21,23 368:25 372:5 375:5</p> <p><b>starting</b> [7] 108:2,15 109:20 203:25 204:2 323:3 344:19</p> <p><b>starts</b> [1] 317:17</p> <p><b>state</b> [7] 125:7,9,11,13 125:16,18 302:23</p> <p><b>statement</b> [2] 145:15 188:1</p> <p><b>status</b> [29] 11:15 25:25 34:17 91:20 100:13,24 101:3,20 102:5 111:3 119:21 137:1 167:21 169:17 172:2 173:2 182:3 186:24 187:25 188:2,13 188:21,23 190:10 194:16 224:10 227:6 269:1 275:20</p> <p><b>statuses</b> [1] 123:11</p> <p><b>stay</b> [5] 25:13 156:8 207:12 240:7 325:13</p> <p><b>stayed</b> [3] 305:14 333:19 333:21</p> <p><b>staying</b> [1] 348:17</p> <p><b>stays</b> [2] 57:23,25</p> <p><b>steady</b> [1] 297:18</p> <p><b>step</b> [4] 162:11 349:17 349:18,19</p> <p><b>Stephenville</b> [1] 82:5</p> <p><b>steps</b> [2] 78:20 251:15</p> <p><b>Stewart</b> [1] 331:5</p> <p><b>still</b> [42] 20:10,15 21:6,7 21:22 35:15 41:12,14 52:8,17 85:3 86:2 103:23 134:6 189:24 207:12,13 215:9 225:17 242:1 250:4 270:23 272:18 288:15 295:2 298:25 299:1 301:10 305:9 318:18 326:21 329:12,22 331:2 333:10 338:19 349:19 350:1,1,9 367:25 372:25</p> <p><b>stipend</b> [3] 349:1,14,22</p> <p><b>stipulated</b> [1] 6:25</p> <p><b>stipulating</b> [2] 142:13 145:2</p> <p><b>stipulation</b> [1] 326:10</p> <p><b>stop</b> [8] 87:20 198:25 199:1 262:23 271:10</p>	<p>273:8 284:8 291:20</p> <p><b>stopped</b> [4] 105:22 329:11 367:7,12</p> <p><b>stories</b> [1] 342:17</p> <p><b>straight</b> [3] 176:3 264:23 356:1</p> <p><b>straightforward</b> [1] 61:5</p> <p><b>strength</b> [1] 279:14</p> <p><b>strengthen</b> [1] 278:19</p> <p><b>stress</b> [3] 280:12,19 348:19</p> <p><b>stressful</b> [1] 336:7</p> <p><b>Strickman</b> [1] 277:17</p> <p><b>stroke</b> [1] 113:2</p> <p><b>strong</b> [9] 104:21 143:7 145:3,23 146:25 152:24 173:1 278:18 341:4</p> <p><b>stronger</b> [2] 279:12,22</p> <p><b>strongly</b> [3] 137:4 138:19 153:6</p> <p><b>structure</b> [3] 320:10 340:15 341:18</p> <p><b>studies</b> [4] 103:25 147:10 149:16 186:8</p> <p><b>stuff</b> [2] 318:23 327:13</p> <p><b>subject</b> [2] 86:22 121:17</p> <p><b>submitted</b> [1] 344:7</p> <p><b>subscribe</b> [1] 333:4</p> <p><b>subscriptions</b> [2] 328:6 328:8</p> <p><b>subsequent</b> [4] 346:5 357:13,19 363:13</p> <p><b>subsequently</b> [2] 122:24 360:4</p> <p><b>subspecialist</b> [1] 328:14</p> <p><b>subspecialists</b> [1] 362:23</p> <p><b>subspecialized</b> [1] 329:21</p> <p><b>subspecializing</b> [1] 328:20</p> <p><b>subspecialty</b> [5] 304:25 305:23 306:7 307:23 352:4</p> <p><b>successful</b> [3] 311:4 316:18,21</p> <p><b>such</b> [32] 6:1 27:16 29:14 34:2 44:3 50:2,3 58:20 71:2 74:10 78:15 149:3 149:10 202:12 206:20,24 247:9 253:4 269:21 289:15 293:19 297:5 298:4 300:1 301:20 307:5 313:11 316:21 335:10 356:24 374:2,5</p> <p><b>suffer</b> [1] 113:2</p> <p><b>suggest</b> [3] 76:18 78:2 299:6</p> <p><b>suggested</b> [12] 21:1 78:7 78:8 83:11 84:7 85:3,5 163:2 173:22 218:23 219:22 287:18</p> <p><b>suggestion</b> [1] 287:15</p>	<p><b>suggestions</b> [1] 215:1</p> <p><b>suggests</b> [1] 123:14</p> <p><b>suites</b> [1] 298:7</p> <p><b>sum</b> [1] 358:16</p> <p><b>summaries</b> [2] 130:14 132:25</p> <p><b>summary</b> [1] 16:12</p> <p><b>summer</b> [1] 41:25</p> <p><b>supervisor</b> [1] 308:6</p> <p><b>support</b> [8] 298:20 299:7 357:18 361:10 362:15,21 363:11 370:18</p> <p><b>supportive</b> [1] 253:2</p> <p><b>supposed</b> [1] 246:9</p> <p><b>surely</b> [4] 10:9 266:15 267:21 278:17</p> <p><b>surgeon</b> [11] 17:15,16 18:12,15 21:6 46:16 56:23 58:7 224:18,19 270:25</p> <p><b>surgeon's</b> [5] 20:10,16 20:18,23 21:23</p> <p><b>surgeons</b> [6] 46:12 72:25 224:25 236:21 316:12 365:11</p> <p><b>surgery</b> [4] 16:21 322:25 366:22 367:5</p> <p><b>surgical</b> [7] 8:6 10:19 11:10 15:25 198:4 262:1 263:22</p> <p><b>surprised</b> [3] 190:15,17 194:5</p> <p><b>surround</b> [1] 338:4</p> <p><b>surveillance</b> [1] 93:23</p> <p><b>survival</b> [3] 203:2 204:14 282:20</p> <p><b>Susan</b> [2] 364:24 368:7</p> <p><b>suspension</b> [3] 264:18 266:4 273:15</p> <p><b>swamped</b> [1] 255:2</p> <p><b>swelling</b> [1] 106:8</p> <p><b>swinging</b> [1] 348:15</p> <p><b>switch</b> [4] 275:5 372:10 372:24 373:16</p> <p><b>switched</b> [3] 129:1,3 178:5</p> <p><b>switching</b> [1] 104:1</p> <p><b>SWORN</b> [2] 2:9 302:20</p> <p><b>symptomatic</b> [2] 12:21 13:2</p> <p><b>symptoms</b> [1] 178:16</p> <p><b>system</b> [13] 27:12 32:12 62:5 93:10,14 134:1 212:16 229:20 239:5 251:22 271:20 299:6 367:1</p> <p><b>systemic</b> [5] 311:2,8 336:21,22 369:15</p> <p><b>systems</b> [1] 299:2</p>
<p><b>-T-</b></p>				
<p><b>T</b> [2] 186:5 284:19</p> <p><b>T-A-G-G-A-R-T</b> [1]</p>				

303:2 <b>T3</b> [3] 16:13,14 19:18 <b>T3/T4</b> [1] 8:14 <b>T4</b> [2] 16:13 19:18 <b>table</b> [2] 2:1 205:25 <b>tabled</b> [1] 267:3 <b>Taggart-Laing</b> [3] 2:9 302:20 303:1 <b>takes</b> [2] 95:16 327:14 <b>taking</b> [14] 40:8 42:7 92:25 173:4 206:7 207:13 210:2 230:2 232:1 257:17 271:7 272:3 278:3 304:11 <b>talks</b> [1] 267:21 <b>Tamoxifen</b> [108] 83:10 83:10 87:4,12 91:9,22 100:10,11 102:13 103:6 103:8,8,13,17,24 104:5 105:4 106:10 108:2,16 112:20 113:12 114:11 122:24 138:20,21 139:1 142:25 143:10,11,24 144:1,2 147:19,23 148:6 149:17 150:6,20 151:4 151:18 153:13,22 154:8 154:18 161:15 162:23 170:6 172:14 173:5,9,13 173:15,18,22,23 174:3 174:11 175:9,11 176:9 180:9 187:1,3,5,16,22 189:16 190:1,3 191:4,14 191:22,23 243:12,18,22 244:3 245:16 246:4,14 247:5 259:11,14 275:14 276:13 277:5 278:4,20 279:18,19 280:12,20 285:4 286:15 287:2,6,8 287:19,20,24 288:7,9,16 288:20 289:8 293:17,23 <b>Tang</b> [1] 367:8 <b>task</b> [2] 253:14 370:16 <b>tat's</b> [1] 91:9 <b>taught</b> [1] 31:8 <b>Taxotere</b> [2] 195:13 198:20 <b>teach</b> [2] 322:22 323:4 <b>teaching</b> [12] 7:4 277:19 284:21 309:11 322:15,16 322:16,18,19,21,23 332:15 <b>team</b> [10] 24:3 309:13 337:7,10 338:5,5,10 339:2 341:5 346:13 <b>teams</b> [2] 361:23 364:8 <b>tear</b> [1] 201:22 <b>tearing</b> [1] 197:18 <b>technical</b> [21] 11:16 14:10 75:8 76:1,20 77:7 78:10,15 79:8 249:25 250:2,9 267:9,14,23 268:1,19,21 269:6 273:6 273:9 <b>technically</b> [1] 15:20 <b>technician</b> [1] 42:22 <b>technology</b> [4] 78:5 148:1 357:18 361:17	<b>telephone</b> [1] 210:19 <b>telling</b> [5] 152:3 157:14 188:23 279:10 367:17 <b>tells</b> [1] 62:5 <b>ten</b> [7] 122:16,19 185:14 216:16 343:4 344:14 352:3 <b>tend</b> [8] 284:2,11,18 289:17,19 315:22 328:3 328:3 <b>tended</b> [1] 325:23 <b>Tennant</b> [3] 11:12 263:15,21 <b>terms</b> [94] 4:17,17 6:25 9:24 12:11 15:16 19:23 22:23 30:19 33:19 44:7 45:7 57:2 59:1 61:12 64:22 66:2 70:14 73:8 73:13 74:8,20 75:4,8,19 78:12 82:13,15 91:24 104:11 108:11,18 120:10 123:20 126:5 129:5 130:4 135:12 145:10,21 172:23 173:4 202:16 212:12,14 220:8 230:19 231:16 233:12 234:6 238:6,17 242:9,12 245:22 246:15 256:16 278:23 282:6 283:14,21,21 288:20 306:7 308:22 318:6,22 319:8 320:12 322:16 323:8,15 325:16 326:15 328:12 329:18 330:16 332:4,20 338:3 341:2,7 341:7 342:12 344:23 345:17 350:21 351:13 353:13 355:8 362:9 363:9 369:25 372:13 <b>Terry</b> [2] 9:5 10:18 <b>test</b> [22] 12:9 14:5,14 27:17 33:16 41:10 43:2 78:13,21 137:5 208:14 209:7,21 210:11,20 211:10 212:17 226:7 229:13 251:6 270:1 372:20 <b>testified</b> [3] 134:10 288:4 356:4 <b>testimony</b> [7] 184:2 206:16,21 207:1 252:17 282:16 291:5 <b>testing</b> [18] 1:2,13 70:17 211:24 224:3 245:18 261:18 264:18 266:4 269:1 272:11 273:15 274:21 313:21 371:8 372:3 375:12 376:4 <b>tests</b> [20] 8:11 15:9,16 23:4,5 33:15,18 34:20 34:23 35:2 135:21 158:14 158:19 211:1,2,7 212:2 224:10 235:5 262:20 <b>text</b> [1] 129:9 <b>thank</b> [33] 86:6 113:24 114:1 124:24 126:3 134:4 195:4 203:14,20 207:15 207:16,21 208:1 215:15 217:21 260:17,22 261:10 281:7 296:23 298:20	299:12,18 301:19,24 302:1,6,11,18 360:23 375:14,14,18 <b>thankful</b> [2] 296:23 298:17 <b>Thava</b> [1] 263:23 <b>theirs</b> [2] 231:8 315:19 <b>themselves</b> [1] 258:11 <b>theoretically</b> [3] 55:13 61:10 115:11 <b>therapist</b> [1] 338:22 <b>therapists</b> [1] 337:10 <b>therapy</b> [20] 5:20,24 6:6 6:17 141:9,9 180:7 187:18 195:8 257:17 277:5 283:15 289:20 294:13 311:2,8 336:21 336:23 366:21 369:15 <b>there'd</b> [1] 45:19 <b>therefore</b> [9] 10:11 119:7 122:24 143:6 145:3 152:23 170:6 172:25 262:21 <b>they've</b> [4] 315:1 316:17 316:18,20 <b>thick</b> [1] 25:15 <b>thicker</b> [2] 156:9,9 <b>thinking</b> [13] 33:13 38:17 40:24 52:2 96:18 108:13 110:24 173:4 194:6 196:15 224:20,23 235:1 <b>third</b> [8] 65:10 79:25 195:17 307:17 325:1 330:14 336:20 346:5 <b>thoroughly</b> [1] 178:15 <b>thought</b> [16] 42:22 75:13 77:4 98:23 110:7 127:9 164:1,19 167:23 227:13 228:5 287:20 352:24 359:16,18 373:21 <b>thoughts</b> [1] 295:23 <b>thousand</b> [1] 185:15 <b>threat</b> [1] 289:19 <b>three</b> [45] 16:8 39:7 45:1 45:11 51:22 54:17 71:8 74:19 104:2 133:18 143:14 154:12 161:6,7 162:23,24,25,25 163:5,6 178:4,4 187:14 209:10 221:11,16,20,20 233:20 290:17 294:8 295:7 306:15,15,16,18,21 308:23 309:12 329:23 336:11 343:17 346:1 349:19 369:13 <b>threshold</b> [1] 355:18 <b>threw</b> [3] 205:1,2 206:5 <b>through</b> [79] 3:4,6 9:2,9 25:23 35:21,24 44:12,13 45:2 46:22 51:4,14 52:9 52:16 53:3,8 63:3 76:11 99:20 110:1 126:22 130:17 134:12 137:17 141:7 147:13 156:3,10 159:16,17 162:22 163:10 163:20,21 166:15,22	177:6 181:6 220:16,22 252:10 253:3 257:24 286:25 298:9,10,11 300:3 300:19,23 301:2 303:6 303:23 304:2,4,12 305:21 308:7,9 309:4,9,15 314:21 317:15 319:25 323:24 328:1 335:21,22 338:18 339:4,6 340:6 341:9 343:21 359:2,19 375:11 <b>throwing</b> [2] 206:9 291:7 <b>thrown</b> [2] 205:10,18 <b>Thursday</b> [1] 357:12 <b>tied</b> [1] 308:2 <b>tiers</b> [1] 341:11 <b>timeliness</b> [1] 366:17 <b>times</b> [36] 13:19 17:16 23:8,9 25:11,13 38:11 40:1 56:8,9,14 59:19 74:18,19 97:20,21 98:13 127:17 130:9 141:16 155:10 162:23,24,25,25 174:15 178:4,4 185:10 206:22 224:9 245:1 255:1 257:22 294:24 341:11 <b>timing</b> [1] 48:8 <b>tingling</b> [1] 195:23 <b>tissue</b> [3] 136:1 289:15 289:16 <b>title</b> [1] 334:23 <b>today</b> [14] 8:24 24:18 150:17 153:13 155:2 192:7 223:11 225:9 249:24 250:18 252:16 278:6 350:14,22 <b>together</b> [14] 31:22 45:3 61:15 143:15 195:2 335:15,17 341:2 347:10 347:11,16 348:17 352:20 370:15 <b>tolerate</b> [1] 290:5 <b>tolerated</b> [1] 114:11 <b>tomorrow</b> [1] 371:18 <b>too</b> [6] 96:19 136:7 179:13 244:2 291:12 374:15 <b>took</b> [21] 10:16 12:2 27:25 42:5 74:17 126:9 143:11,13 150:6 204:6 204:25 207:2 249:6 286:24 305:14 329:10 334:5,10 358:18 366:15 374:24 <b>top</b> [5] 8:16 81:18 120:21 232:14 263:6 <b>topic</b> [4] 16:9 275:5 281:14 283:10 <b>total</b> [5] 103:24 192:2 293:3 295:7 354:22 <b>touch</b> [1] 95:25 <b>toward</b> [1] 290:24 <b>towards</b> [11] 127:2 163:1 163:12 195:17 263:5 287:20 290:19 318:11,19 326:21 364:23	<b>toxicity</b> [1] 257:24 <b>track</b> [2] 323:25 336:24 <b>tracked</b> [6] 83:5,18 87:18,23 89:2,12 <b>tracking</b> [1] 88:7 <b>traditional</b> [3] 277:19 284:20 317:18 <b>trail</b> [1] 24:23 <b>trained</b> [2] 125:4 311:11 <b>training</b> [16] 5:4,9,13 304:25 305:24 306:12,19 307:2,24 309:6,16,19 328:12 372:2,5,6 <b>transcribed</b> [1] 376:9 <b>transcriber</b> [1] 196:16 <b>transcript</b> [3] 282:16 288:4 376:3 <b>transition</b> [3] 318:10,21 341:22 <b>travel</b> [6] 96:13 114:25 115:2 116:4,8 320:4 <b>travelling</b> [2] 97:4 98:10 <b>travels</b> [1] 89:22 <b>Treasury</b> [1] 363:15 <b>treat</b> [9] 6:6 101:22,23 101:24 106:5 109:4,5 276:20 289:22 <b>treatable</b> [2] 192:12 204:11 <b>treated</b> [13] 24:9 67:20 100:10 105:5,21 106:17 114:10 121:25 122:23 128:24 154:5 180:4 245:15 <b>treater</b> [2] 275:9,9 <b>treating</b> [15] 18:2 44:18 47:1 51:17 73:9 75:10 98:21 102:12 130:21 225:4,22 255:19 271:12 275:9 352:7 <b>treatment</b> [177] 6:2,14 7:11 16:17,20 17:7,18 17:22 39:12 47:21 48:2 48:11,23 49:4,9,20 50:1 50:20,22 53:8,19 56:6 56:11,13 57:13 58:17 60:12,18 61:1,6,23 62:2 62:16,18,22 63:9 64:24 68:5 70:10 76:8,13 82:5 85:6,13,16 86:2 91:20 93:22 94:16,25 97:14 105:19,22 106:4 107:1 108:2,7,15 109:20 110:5 110:8 111:13,23 112:5 116:24 119:6,8,8 120:5 120:8 122:25 123:1 124:2 130:16 140:19,21,23,25 141:1,8 142:9,10 146:14 153:7 158:9 161:16 162:3 164:5,13 167:25 168:2,4 170:5,7 172:14,18 174:6 188:6 189:17,25 191:20 193:8,10 194:3 198:7,11 199:12 212:21 215:6 218:10,23,25 219:11 220:8 221:4,18,19 222:7 227:18 231:19 232:4 234:12 236:5,10 238:18
---	---	---	---	---

<p>238:22 243:12,18 244:18 244:18,19 245:21 246:10 246:14,15 247:7,9 248:2 248:17 249:7,8 251:10 255:16 256:25 257:21 259:1,23 272:8,10 276:5 276:10,12 277:22 278:12 279:7,11,18 281:5,18 283:21 286:20 287:16 293:23 294:2,6,12 295:15 296:25 297:4 305:8 336:15,19 338:22 361:16 361:18 366:20 370:1 <b>treatments</b> [4] 193:16 295:1 297:8 336:23 <b>trends</b> [1] 297:7 <b>triage</b> [1] 366:12 <b>trial</b> [1] 290:5 <b>trials</b> [7] 147:25 305:3,5 307:20 323:9 338:15 369:18 <b>tried</b> [4] 56:14 88:13 90:12 245:9 <b>true</b> [5] 5:16 7:13 36:6 358:14 376:3 <b>try</b> [28] 33:2 34:7 56:12 58:12 60:20 80:13 111:20 111:20 116:24 130:10,14 131:22 132:7,15 141:25 150:1 151:13,23 185:18 187:13 236:12 313:3,12 336:4 337:25 345:1 360:2 370:21 <b>trying</b> [16] 5:18 19:12 47:13 53:11 60:5 71:5 91:10 235:19 250:4 256:18 308:12 314:7 319:2 359:3 360:13 362:20 <b>tumour</b> [64] 16:12 24:1 61:8,24 64:3 79:21 80:10 99:18 100:4 104:17 105:15 108:25 109:4,8 117:21 119:1 120:12 122:7,15,20 169:15,22 184:21 214:25 235:23,24 236:2,6,16 237:6,9 246:23 281:19,21 282:21 283:19 284:5,16,18 287:14 306:14 307:6 316:7,14 324:2 325:11 362:2,4,17 364:9,17,20 365:3,8,20,22,24 366:2 366:8 367:2 368:15 369:4 369:25 375:2 <b>tumour-specific</b> [2] 361:22 364:7 <b>tumours</b> [4] 283:10,11 283:11 352:7 <b>turn</b> [6] 87:13 88:25 98:8 124:8,13 371:6 <b>turnaround</b> [1] 12:6 <b>turned</b> [3] 195:15 204:23 352:6 <b>turning</b> [1] 347:22 <b>turnover</b> [3] 345:21 346:6 347:12 <b>turns</b> [1] 168:1</p>	<p><b>twelve</b> [1] 185:12 <b>twenty</b> [1] 239:5 <b>twice</b> [10] 21:22 23:11 45:12 133:17 178:8 222:20 255:5 298:12 323:4 355:24 <b>two</b> [101] 8:13 9:2 18:25 18:25 19:18 21:19 23:9 23:10 42:20 52:1 54:25 55:1 64:16 71:8 74:19 79:18 100:17 101:10,10 101:14 102:22,24 104:1 104:10 106:2 119:13,14 120:2,23 121:11,18 123:2 123:3,10,14,19,25 127:16 133:18 143:3,8 149:8,17 155:11 159:9 162:22 163:6 167:16 181:12 187:13 188:6 201:8 209:25 221:20 222:10,12 223:10,11 228:12 231:6 233:20,22 238:24 239:23 242:23 245:13 246:7 263:8,13,22 271:25 275:22 281:4 286:20 287:23 288:7 291:12 294:7 306:11 309:10,15 310:5 323:5 324:6 328:21 329:3,13 341:11 343:5,8 343:13,17 344:5,11,18 345:25 349:18 351:13 354:6 358:19 371:14 <b>type</b> [11] 102:21 210:18 246:16 249:6 281:19,21 282:21 312:19 332:7,13 340:14 <b>types</b> [9] 99:19 210:25 212:2 233:12 244:11 247:9 248:14 283:11 329:19 <b>typically</b> [1] 218:8 <b>typing</b> [1] 130:5 <b>typographical</b> [3] 127:13 128:7 191:7</p> <hr/> <p style="text-align: center;"><b>-U-</b></p> <p><b>Uh-hm</b> [7] 67:16 211:4 221:7,14 237:2 239:3,8 <b>ultimately</b> [4] 108:20 231:18 238:8 250:10 <b>ultrasounds</b> [1] 154:13 <b>Um-hm</b> [12] 22:7 24:16 49:6 134:24 174:9 183:8 261:20 277:25 280:2 281:7 293:16 294:21 <b>umbrella</b> [2] 311:16 318:4 <b>unable</b> [1] 91:21 <b>unchanged</b> [1] 60:19 <b>uncle</b> [2] 148:22 151:2 <b>uncles</b> [2] 148:21 151:1 <b>uncommon</b> [1] 102:7 <b>under</b> [19] 11:14 16:7 90:25 102:23 123:24 138:15 150:22 160:17 197:13 198:18 202:25 266:13 284:4 311:15,23</p>	<p>318:4 319:24 332:17 372:18 <b>undergraduate</b> [2] 304:16 322:16 <b>understaffed</b> [1] 347:13 <b>understand</b> [22] 31:14 38:24 44:4 45:6 110:17 120:11 125:1 134:6 135:20 136:3,22 196:17 230:15,18 237:10 238:1 255:18 266:2 276:10 298:8 310:11 374:15 <b>understood</b> [2] 130:6 296:2 <b>underway</b> [2] 154:15 158:1 <b>unfortunately</b> [2] 90:6 288:22 <b>unheard</b> [1] 102:4 <b>unhelpful</b> [1] 262:21 <b>uniform</b> [1] 61:15 <b>unions</b> [1] 318:22 <b>unique</b> [1] 295:11 <b>unit</b> [3] 311:13 322:21 374:21 <b>university</b> [18] 125:8,9 125:13,18 304:15,18,23 320:16,17,19 321:10,20 322:5,10 323:13 337:20 358:25 359:2 <b>unless</b> [2] 133:11 222:24 <b>unlikely</b> [1] 157:16 <b>unprecedented</b> [1] 297:3 <b>unreliable</b> [2] 10:12 262:21 <b>unrestricted</b> [1] 326:8 <b>unscheduled</b> [1] 96:1 <b>unusual</b> [7] 102:3,15 104:19 123:2,19 135:9 356:24 <b>up</b> [97] 8:14 10:19 11:5 20:22 24:2 29:16 33:11 34:24 35:1 45:3 46:19 59:15,17 71:18 77:10 84:10 93:23 103:12 104:25 106:1 108:4,19 109:1 114:19 120:20 121:6 122:2,3,4,5 129:15 132:20 133:20 134:16 140:4,6,11,24 142:7,8 147:8 149:14 150:18 151:20 154:1,9,12 156:20 164:2 178:14 179:10 180:5 181:2 183:12 191:24 195:20 201:16 203:9 206:24 208:9,20 213:20 226:18 235:9 241:4,12,14 247:25 250:1 250:18 256:3,5,17,18 257:10,11,19 261:24 266:13 269:21 274:14,17 274:19 290:4 304:22 307:2 317:23 323:3 325:13 328:8 339:18 343:8 347:14 358:7,17 359:20 366:1</p>	<p><b>update</b> [3] 91:17 111:2 111:10 <b>updated</b> [2] 113:21 256:12 <b>ups</b> [2] 73:13 185:16 <b>upset</b> [4] 199:14 200:13 200:18,23 <b>upwards</b> [1] 227:19 <b>urgent</b> [1] 209:23 <b>used</b> [14] 5:20 7:5 12:15 13:4 79:12 108:8 139:22 140:2 191:4 329:9 365:5 367:16 372:2 373:1 <b>useful</b> [1] 260:4 <b>uses</b> [1] 145:24 <b>using</b> [4] 5:24 121:7 287:24 288:21 <b>usual</b> [2] 144:8 206:3 <b>usually</b> [50] 12:9 17:14 24:22 25:12 56:21,23 57:25 58:6 59:9 73:3 76:11 103:24 120:20 135:4 140:3 144:9 151:6 152:15 153:5 155:17 159:20 168:14 171:14 188:9 190:15 205:19,20 206:8 211:18 219:5 222:23 232:7 236:16,24 238:13,14 240:19,20,24 244:14,15 284:2,11 289:15 306:1 324:17,18 326:9,9 327:14</p> <hr/> <p style="text-align: center;"><b>-V-</b></p> <p><b>vacancies</b> [2] 343:18 344:5 <b>vacant</b> [1] 344:1 <b>vacation</b> [2] 69:12 86:24 <b>Valley</b> [1] 311:19 <b>value</b> [6] 5:24 235:22 238:5 244:2 276:23 284:22 <b>values</b> [1] 275:20 <b>Vancouver</b> [1] 311:11 <b>variables</b> [3] 79:13 246:25 247:2 <b>varied</b> [1] 355:11 <b>varies</b> [2] 133:3 221:4 <b>various</b> [11] 233:1 283:11 306:14 309:14 324:16 327:10 335:20 342:15 355:1 358:5 361:23 <b>vary</b> [1] 249:10 <b>Ventana</b> [1] 32:12 <b>verbal</b> [2] 111:2,10 <b>verbally</b> [2] 114:22 115:16 <b>version</b> [1] 171:12 <b>versus</b> [2] 7:8 359:23 <b>viable</b> [1] 354:13 <b>view</b> [4] 15:21 219:9 258:2 318:24 <b>views</b> [3] 218:9 219:11</p>	<p>220:13 <b>virtual</b> [2] 311:24 324:18 <b>visit</b> [12] 62:7 127:3,5,6 127:6 150:18 200:19,19 288:23,25 356:13,24 <b>visits</b> [1] 241:4 <b>vividly</b> [1] 291:14 <b>voice</b> [2] 69:18,24 <b>void</b> [1] 352:13 <b>volume</b> [1] 133:11 <b>volumes</b> [1] 25:17 <b>VP</b> [1] 335:21</p> <hr/> <p style="text-align: center;"><b>-W-</b></p> <p><b>wait</b> [12] 60:9,14 61:8 62:9 85:2 95:21 97:6 218:18 222:4 227:18 234:10 269:4 <b>waited</b> [1] 157:16 <b>waiting</b> [2] 227:4 233:2 <b>walked</b> [1] 205:2 <b>wants</b> [4] 87:1,2 153:3 208:23 <b>wash</b> [1] 206:1 <b>watching</b> [1] 351:4 <b>Wayne</b> [4] 125:9,11,16 125:18 <b>ways</b> [4] 23:10 102:20 299:6 323:20 <b>weakens</b> [1] 278:3 <b>website</b> [1] 316:4 <b>Wednesday</b> [1] 365:9 <b>week</b> [12] 12:10 79:25 83:24 95:2 195:18 209:25 221:11 320:4 357:12 359:21 365:5,23 <b>weekend</b> [2] 29:21 40:2 <b>weekends</b> [1] 30:5 <b>weekly</b> [3] 365:8,14,16 <b>weeks</b> [7] 41:1 138:18 138:23 187:14 221:16 344:20 366:21 <b>weighed</b> [1] 127:6 <b>weight</b> [13] 126:11,18 127:3,5,9,10,15,16,17 128:3,8 174:21 187:10 <b>Welcome</b> [1] 86:23 <b>west</b> [1] 96:9 <b>Western</b> [2] 1:16 319:15 <b>whereas</b> [3] 80:11 136:19 138:9 <b>whichever</b> [3] 146:19 292:22 354:11 <b>white</b> [11] 67:12,19 68:1 69:15 80:14 81:11 126:4 126:7 243:22 244:8 252:16 <b>White's</b> [3] 79:16,17 113:20 <b>whole</b> [17] 23:22 30:10 49:17 52:14,20 65:7 83:9 84:15 146:7 156:10 174:14 233:21 296:25</p>
---	--	---	---	---

<p>314:21 317:13 318:9 347:14 <b>wife's</b> [1] 298:13 <b>Williams</b> [2] 360:25 362:13 <b>Wiseman</b> [3] 356:14 358:9 359:5 <b>wish</b> [4] 114:16 288:16 296:15,21 <b>wishes</b> [1] 207:11 <b>wishing</b> [1] 281:12 <b>wishlist</b> [1] 298:3 <b>within</b> [31] 39:24 40:25 93:16,16 226:22 310:12 311:5,10 313:23 314:1 318:7 319:17 322:17 335:9 337:6,6,13,19 338:8,8 340:18 345:2 346:2 352:2,20 353:9 354:23 355:9 362:21 366:3,21 <b>without</b> [7] 4:25 5:1 51:3 81:25 169:10 202:22,22 <b>witness</b> [4] 216:21 217:2 217:14 302:18 <b>witnesses</b> [1] 296:10 <b>wonder</b> [1] 236:3 <b>wonderful</b> [1] 347:19 <b>wondering</b> [19] 29:13 33:20 55:7 75:19,23 121:19 133:9 156:1 196:23 208:15 216:25 228:4 234:18 240:5 241:4 242:13 244:9 245:19 247:4 <b>Woodland</b> [1] 170:11 <b>word</b> [8] 58:13 59:24 197:17 204:14 245:5,6 282:7 367:16 <b>wording</b> [1] 145:24 <b>words</b> [6] 50:10,16,19 70:11 146:6 201:25 <b>worked</b> [6] 84:10 134:2 154:9 179:10 347:16 363:16 <b>worker</b> [1] 253:9 <b>workforce</b> [1] 352:13 <b>workload</b> [4] 131:25 353:2 354:8 359:24 <b>works</b> [4] 139:17 272:7 340:15 355:13 <b>worry</b> [1] 232:2 <b>write</b> [7] 21:4 72:5 89:14 96:16 134:24 150:23 361:15 <b>writes</b> [3] 87:10 126:10 180:3 <b>writing</b> [10] 10:17 30:23 72:3,4 80:1,5 142:12,15 274:16 362:12 <b>written</b> [25] 9:3,5 10:15 32:3,6 79:22,24 91:17 99:9,23 114:12,13,14 118:9,16 134:19 138:15 143:25 151:22 161:6 165:22 166:11 171:5</p>	<p>256:4 296:19 <b>wrong</b> [3] 120:1 269:18 360:12 <b>wrote</b> [8] 8:25 9:24 88:25 90:23 163:14 181:20 360:25 362:15</p> <hr/> <p style="text-align: center;"><b>-Y-</b></p> <hr/> <p><b>year</b> [48] 37:3 69:3 84:2 163:15,18 173:17 175:3 177:4 185:13 213:11 222:14,18,20,21,24 231:6 257:13,15 264:21,25 265:2,10 266:18 305:2,4 307:10,10,13,17,24 308:1 308:2,17 318:10,11,13 323:23 324:7 325:1 327:13 328:13 333:20 334:10 343:13 346:12 348:11 351:12 352:8 <b>year's</b> [1] 158:8 <b>years</b> [57] 5:14 23:11,12 23:13 103:23,25 104:2,6 112:25,25 113:22 133:18 133:18 139:16 144:15,18 144:22 147:4 149:1,17 163:6,7 185:14 205:12 221:21,22 233:20,21 243:20 244:1 257:10,12 297:2,25 298:23 304:16 304:19 306:11 309:10,15 310:5 312:24 313:24 315:25 322:18 324:25 325:22,25 341:12 343:13 343:24 344:9,24 351:5 352:3,23 358:19 <b>yesterday</b> [1] 252:16 <b>yet</b> [7] 147:1 150:11 151:13 213:23 226:3 268:4 318:23 <b>young</b> [3] 146:20 193:7 194:6 <b>younger</b> [2] 284:2,11 <b>yourself</b> [31] 11:12 25:5 29:14 33:3 34:6 37:14 40:16 48:23 63:12 66:2 79:23 86:16 90:2 93:4 95:3 108:21 112:4 118:16 138:14 149:20 154:3 197:10 248:3 251:22 254:9 320:12 328:14,24 331:19 338:4 351:16</p> <hr/> <p style="text-align: center;"><b>-Z-</b></p> <hr/> <p><b>Z-A-B-E-T-H</b> [1] 303:2 <b>Zaidi</b> [4] 331:1,14 346:14 346:16 <b>zero</b> [9] 105:3 122:13 136:10,11 161:12 169:20 246:5 278:8 286:10 <b>zone</b> [4] 108:24 109:12 109:17,25 <b>zones</b> [1] 109:8 <b>Zulfiqar</b> [5] 39:5 45:10 331:1,19 346:14</p>			
--	---	--	--	--